

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASE 10,556

EXAMINER HEARING

IN THE MATTER OF:

In the matter of Case 10,556 being reopened pursuant to the Provisions of Division Order R-9759, which order promulgated special pool rules and regulations for the Old Millman Ranch-Bone Spring Pool in Eddy County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

July 15, 1993

ORIGINAL

JUL 16 1993

OIL CONSERVATION DIVISION

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR CHI ENERGY, INC.:

KELLAHIN & KELLAHIN
Attorneys at Law
By: W. THOMAS KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265

FOR MEWBOURNE OIL COMPANY:

HINKLE, COX, EATON, COFFIELD & HENSLEY
Attorneys at Law
By: JAMES G. BRUCE
218 Montezuma
P.O. Box 2068
Santa Fe, New Mexico 87504-2068

FOR MARALO, INC.:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Attorneys at Law
By: WILLIAM F. CARR
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

Page Number

Appearances

2

MICHAEL D. HAYS

Direct Examination by Mr. Kellahin

6

Examination by Examiner Catanach

16

MIKE FEAGAN

Direct Examination by Mr. Kellahin

20

Examination by Examiner Catanach

33

Certificate of Reporter

39

* * *

E X H I B I T S

CHI ENERGY EXHIBITS:

Exhibit 1

6

Exhibit 2

6

Exhibit 3

6

* * *

1 WHEREUPON, the following proceedings were had
2 at 11:08 a.m.:

3 EXAMINER CATANACH: Okay, at this time we'll
4 call Case 10,556.

5 MR. STOVALL: In the matter of Case 10,556
6 being reopened pursuant to the Provisions of Division
7 Order R-9759, which Order promulgated special pool
8 rules and regulations for the Old Millman Ranch-Bone
9 Spring Pool in Eddy County, New Mexico.

10 EXAMINER CATANACH: Are there appearances in
11 this case?

12 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin
13 of the Santa Fe law firm of Kellahin and Kellahin,
14 appearing on behalf of Chi Energy, Inc., and I have two
15 witnesses to be sworn.

16 MR. BRUCE: Mr. Examiner, Jim Bruce
17 representing Mewbourne Oil Company, and I have no
18 witnesses.

19 EXAMINER CATANACH: Any additional
20 appearances?

21 Can I get the witnesses to stand and be sworn
22 in?

23 (Thereupon, the witnesses were sworn.)

24 MR. KELLAHIN: Mr. Examiner, we'll call as
25 our first witness Mike Hays.

1 Mr. Examiner, this case is back on your
2 docket as a result of a prior Order by the Division,
3 which was issued in November of 1992, establishing a
4 special gas/oil ratio for this Bone Spring Pool. It
5 was set at that time for a temporary period at the rate
6 of 20,000-to-1 gas/oil ratio.

7 It's Order Number R-9759, and I'll hand you a
8 copy of that Order.

9 The major operator in the Pool is Chi Energy,
10 Inc., Mr. Examiner, and they presented the original
11 request and are now back before you today with
12 additional information.

13 The end result of their technical work leads
14 them to the following conclusion: That the gas/oil
15 ratio should be reduced to 5000 to 1, that the Pool
16 should be governed by the associated pool rules, and
17 that pursuant to those pool rules, then, oil wells
18 would be spaced on 80-acre spacing and gas wells would
19 be spaced on 160-acre gas well spacing.

20 And that will be the end result of the
21 testimony of Mr. Feagan, who is the petroleum engineer,
22 and Mr. Hays, who's the geologist. That's where
23 they're headed with their technical conclusions.

24 In addition, with their assistance, we have
25 notified all the operators and any operator within a

1 mile boundary of the existing Pool.

2 I need to mark this as Exhibit Number 3, but
3 this is our certificate of mailing.

4 Of those parties notified, including
5 operators inside the Pool and those outside the Pool,
6 the only operator to express an interest was Mewbourne
7 Oil Company. Our package of exhibits shows a letter of
8 support by Mewbourne Oil Company to the recommendations
9 we will make.

10 The exhibit book is arranged as Exhibit 1,
11 and the pages numbered 1 through 37 I believe.

12 The second exhibit is a cross-section that
13 Mr. Hays has to present.

14 With that introduction, I'd like to call Mr.
15 Hays.

16 MICHAEL D. HAYS,
17 the witness herein, after having been first duly sworn
18 upon his oath, was examined and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. KELLAHIN:

21 Q. Would you please state your name and
22 occupation?

23 A. Michael D. Hays. I'm a petroleum geologist.

24 Q. On prior occasions, Mr. Hays, have you
25 testified before the Division as a petroleum geologist?

1 A. Yes, I have.

2 Q. And pursuant to that professional occupation,
3 have you made a geologic study of the Old Millman
4 Ranch-Bone Spring Pool?

5 A. Yes, I have.

6 MR. KELLAHIN: We tender Mr. Hays as an
7 expert petroleum geologist.

8 EXAMINER CATANACH: He is so qualified.

9 MR. KELLAHIN: Before we get into the
10 specific details of the geology of this particular
11 Pool, let me ask you to turn to the exhibit book --
12 it's the blue binder -- and if you'll turn past the
13 cover sheet and the introduction, let's look at page 2,
14 which is the regional locator map.

15 Identify for the Examiner where this Pool is
16 located.

17 A. The Old Millman Ranch field is highlighted
18 with a yellow highlighter in Township 20-28, and it's
19 in a position in the northwest corner or flank of the
20 Delaware Basin.

21 Q. In conjunction with this display, Mr. Hays,
22 let's look at page number 3. Identify that page for
23 us.

24 A. This map is a general lease map, and areas
25 highlighted with the yellow highlighter are the acreage

1 that Chi operates, the east half of Section 4, the west
2 half of Section 3, and the east half of Section 9.

3 The circled wells, with the dark circle
4 around them, indicate the wells that are currently
5 producers within the Old Millman Ranch-Bone Spring
6 field.

7 Q. Before we look at the specific displays,
8 would you give us a general sense of the geology, the
9 geologic setting and the geologic components that are
10 characteristic of this Bone Spring Pool at this
11 location?

12 A. The Pool itself is somewhat anomalous in that
13 it produces a lot of gas. Most Bone Spring first sand
14 pools are oil producers primarily.

15 The position of this field is right -- as
16 I'll show on one of my other exhibits, is in a position
17 right near the ultimate pinchout of the first Bone
18 Spring sand. The sand continues for tens of miles out
19 into the Basin, but in this location it's right about
20 at the updip limit of the first Bone Spring sand.

21 Q. How has that structural or geologic position
22 in the Bone Spring reservoirs affected the production
23 of the wells?

24 A. I think it may be that this ultimate position
25 of the trap here may be the reason that we have a gas

1 cap, what appears to be a free gas cap on the field.

2 Q. From your perspective as a geologist, do you
3 have a recommendation to the Examiner as to how to
4 establish rules and make decisions about operating
5 procedures for maximizing production in the Pool?

6 A. It appears that the associated oil and gas
7 rules for this Pool would be the most effective way of
8 doing it.

9 Q. You have personally reviewed and read the
10 current rules for associated pool rules?

11 A. Yes, I have.

12 Q. Based upon your study as a geologist, do you
13 have a recommendation as to what to do about the
14 current 20,000-to-1 gas/oil ratio?

15 A. I feel that the most prudent thing right now
16 is to reduce the GOR down to 5000 to 1 and develop
17 spacing rules for the gas wells in the field and the
18 oil well that's in the field.

19 Q. Does Chi Energy have a recommendation to the
20 Examiner as to gas well spacing and oil well spacing?

21 A. Yes, the spacing that we think is most
22 prudent is a 160-acre gas spacing, and then the oil
23 spacing on 80-acre spacing.

24 Q. Would the implementation of those spacing
25 sizes for the existing wells disrupt any equity that

1 currently exists for those wells?

2 A. No, it would not.

3 Q. You would have the ability in the Pool to
4 dedicate 160 acres to a single gas well?

5 A. That's correct.

6 Q. And then that would not be concurrently
7 dedicated to an oil well?

8 A. That's correct.

9 Q. The exhibit book contains written summaries
10 of the geology as well as the engineering. Let's go
11 beyond that and start with the structure map on page 5.

12 Give us your conclusions about that display.

13 A. The structure map is a scale of 1 to 2000,
14 with a contour interval of a hundred feet. It's
15 contoured on the top of the first Bone Spring sand.

16 The dip in the vicinity of the field is
17 approximately 200 feet per mile.

18 Again on this map, I've circled the producers
19 in the first Bone Spring sand and have also marked the
20 location of the cross-section A-A', which goes roughly
21 from west to east and goes through all of the producers
22 that are in the field at this time.

23 The dashed line again indicates Chi's
24 acreage.

25 There does not appear to be any structural

1 closure over the field area on this -- in the area, and
2 in my opinion it's a stratigraphic trap within the
3 first Bone Spring sand.

4 There's approximately 180 feet of relief
5 between the most updip well, which is the Mewbourne
6 well in Section 8, in the northeast quarter, then going
7 down to the Remington Number 1 in the southwest quarter
8 of Section 3.

9 Q. When you think of oil wells and gas wells in
10 the same reservoir and think in the simplest terms of a
11 continuous reservoir with a structural trap, gas wells
12 at the highest point of structure, the lowest wells
13 produce oil, is that the setting we have for this
14 reservoir?

15 A. It appears that way at this time, yes.

16 Q. The next display is an isopach on Exhibit 6.

17 A. That's correct.

18 Q. Identify and describe that for us.

19 A. This is, again, a scale of 1-to-2000 isopach
20 map of the net sand in the first Bone Spring that's
21 greater than 12 percent. The contour interval here is
22 20 feet.

23 The 12 percent cutoff is what I consider an
24 effective pay cutoff in this area.

25 The maximum thickness in the field area is

1 145 feet of net sand in the Remington Federal Number 1
2 in the southwest corner of Section 3.

3 The minimum field well here is the Strata
4 Aquila Fed in the southwest quarter of Section 4. It's
5 currently temporarily abandoned. And it has 18 feet of
6 pay in that well.

7 As an overall general view, the wells in the
8 east half of Section 4 and the west half of Section 3
9 have the best porosity and permeability, and it shows
10 up in its production characteristics.

11 The Mewbourne well is something -- somewhat
12 intermediate between that and the Aquila Fed in the
13 southwest quarter of Section 4.

14 And generally, this is a view of what I think
15 is the stratigraphic trap that's out there.

16 Q. Will the adoption of the associated rules,
17 including 160-acre gas and 80-acre oil spacing, afford
18 the opportunity for further development in the Pool?

19 A. Yes, it would be, particularly, it appears,
20 for oil wells.

21 Q. So there would still be open spacing units
22 that do not yet have a well, that would have the
23 opportunity, then, to obtain production from the Pool
24 if the Division adopted the associated rules?

25 A. That's correct.

1 Q. Let's go to the cross-section. It's Exhibit
2 Number 2, and it's the insert into the exhibit book.

3 Was this display prepared by you, as well as
4 the other geologic displays?

5 A. Yes, it was.

6 Q. These represent your own geologic
7 conclusions?

8 A. Yes, sir.

9 Q. What do you conclude from this display?

10 A. The general conclusion from it is that the
11 producers in the field are producing from the same
12 zone, within the first Bone Springs sand.

13 This is a structural cross-section going from
14 roughly west to east. The datum on this structural
15 cross-section is subsea minus 2900 feet.

16 The logs that I've shown here are density
17 neutron logs. This is porosity data.

18 The gross intervals of the perforated
19 intervals in the wells is shown here with a line and
20 the little circles that are there to show the
21 perforated interval.

22 All of the wells, with the exception of the
23 Mewbourne well in the far west, have perforated and
24 treated with sand frac, the entire interval, the
25 Mewbourne well, have treated approximately the upper

1 two-thirds of the zone and did not treat the bottom
2 third of the zone.

3 Q. How would you characterize the continuity of
4 the pay among the wells?

5 A. The continuity of the pay appears to be
6 pretty good, I guess is the best way to characterize it
7 at this time.

8 Q. Geologically, do they appear to be continuous
9 from well to well within the same pay interval?

10 A. Yes, they do.

11 Q. So geologically the gas wells should have
12 some effect on the oil well?

13 A. It would appear so, yes.

14 Q. Okay. Do you find evidence in your geologic
15 investigation of a water/oil contact in the reservoir?

16 A. Not at this time. The wells that Chi
17 operates produce very little if any water at this time.

18 The three wells, the Winchester Number 1, the
19 Winchester Number 2, and then the Colt Number 1,
20 produce approximately about a barrel a day or something
21 in that range.

22 And then the most downdip well, the Remington
23 Number 1, the farthest one to the right here, I believe
24 it's something on that same order. It's like a barrel
25 a day.

1 I made a mistake. The Colt is the one that
2 produces about eight barrels a day. The other three
3 produce about a barrel a day.

4 There is no clear log evidence of any kind of
5 either gas/oil contact or water/oil contact in the
6 field.

7 Q. Since the last hearing in which this case was
8 discussed, back in September of 1992, what has been the
9 drilling activity?

10 A. Chi has drilled the Winchester Number 2, the
11 Colt Federal Number 1 and the Remington Federal Number
12 1, and have completed them as producers.

13 The Winchester Federal Number 2, the Colt
14 Federal Number 1 appear to be gas wells. The Remington
15 Federal Number 1 appears to be an oil well. Mr. Feagan
16 will go through some more of the details on it.

17 Chi also drilled a well in the south half of
18 Section 8, south of the Mewbourne well, and it was
19 completed as a dryhole.

20 Q. My question is, based upon that activity
21 would you be comfortable as a geologist in having the
22 Division adopt these proposed rules on a permanent
23 basis?

24 A. Yes, I am.

25 Q. You don't see any opportunity to have the

1 material change based upon further development?

2 A. No, at this time it seems pretty clear that
3 we've got gas wells and an oil well, oil leg.

4 MR. KELLAHIN: That concludes my examination
5 of Mr. Hays.

6 EXAMINATION

7 BY EXAMINER CATANACH:

8 Q. Mr. Hays, how many wells do we currently have
9 in the pool?

10 A. There are -- The six wells in the cross-
11 section are currently in the pool right now, producing.
12 The Strata Aquila Federal Number 1 is temporarily
13 abandoned at this time. It hasn't produced since the
14 last hearing we had.

15 Q. Okay, so there's six. Does that include the
16 Strata well?

17 A. That includes the Strata well, that's
18 correct.

19 The other well that we drilled was dry and
20 abandoned.

21 Q. Okay. Of the five wells that are producing,
22 which ones do you believe are gas wells?

23 A. The Mewbourne FB Number 2, which is the well
24 the farthest to the left.

25 Q. Hang on a second.

1 A. Perhaps on the map might be a little easier
2 way to go.

3 Q. Okay.

4 A. That's the -- I've identified them here on
5 the map with the characteristics or the style of a gas
6 well and an oil well there.

7 The starred well, the FB 2, is a gas well, it
8 appears.

9 The Aquila Number 1, I think, would be a gas
10 well if they allowed it to produce for any significant
11 amount of time. It has not produced any large period
12 of time.

13 The Winchester Number 1 is a gas well, and
14 the Winchester Number 2, which is the well in the
15 southwest of the northwest of 3, and then the Colt
16 Number 1, which is the well in the southeast of the
17 southeast of 4.

18 The Remington Number 1 is identified as the
19 oil well.

20 Q. And you've not been able to identify a
21 gas/water contact in the reservoir, gas/oil contact?

22 A. No, I haven't. There's some zones that
23 appear to be gas or gassier, just from the
24 characteristics on the density neutron log where you're
25 getting crossover on it; that gives the appearance of a

1 gas effect.

2 And in the case of the Remington well, if you
3 look at that there's very little crossover, suggesting
4 that it is not a gas -- they're not getting gas effect
5 on those wells.

6 But using resistivity wells also in
7 conjunction with that, I haven't been able to identify
8 any clearcut structural datum that would indicate a
9 contact.

10 Q. So are we talking basically just one
11 producing sand member?

12 A. Yes.

13 Q. That's all connected vertically?

14 A. Yes, I think it is. And certainly it is
15 after the wells are treated with massive hydraulic
16 fracs.

17 Q. Okay. And the wells are generally perforated
18 throughout the sand?

19 A. Yes. What we typically do on completions
20 with Chi is, we'll put a limited entry frac, 10 or 15
21 perfs, and then pump approximately a couple hundred
22 thousand pounds of sand into them for a fracture
23 treatment.

24 So the interval that I've shown on here as
25 the perforations is the gross interval that's been

1 perforated.

2 Q. You feel there's no horizontal separation of
3 any of these wells in the reservoir?

4 A. In what sense? Do you mean -- ?

5 Q. I mean the reservoir is all connected, as far
6 as you can tell, in all of these wells.

7 A. I think it is, yeah. These are --
8 Particularly in the Chi wells, they're very good
9 porosities, exceptionally high porosities for the first
10 Bone Spring sand, maxing out at approximately 20
11 percent. So I think there's pretty good continuity in
12 these wells at this time.

13 Q. What further development do you anticipate in
14 the Pool?

15 A. I think the next logical choice to go to
16 would be a well that I think would be an oil well in
17 the northwest quarter of the southwest quarter of
18 Section 3, basically an 80-acre offset there.

19 And then another logical location would
20 probably be a well in the northeast of the northwest of
21 Section 10.

22 Q. Is -- Do you feel like the reservoir is going
23 to be essentially limited to this small area in here?

24 A. I think so at this time. We have pretty good
25 control from all the deep Morrow tests and Wolfcamp

1 tests that are in these areas, so you've got a pretty
2 good -- There's a lot more data than there is, just the
3 wells that we've drilled. And so it appears that way
4 at this time.

5 EXAMINER CATANACH: I believe that's all I
6 have.

7 The witness may be excused.

8 THE WITNESS: Thank you.

9 MR. KELLAHIN: Mr. Examiner, call at this
10 time Mr. Mike Feagan.

11 MIKE FEAGAN,

12 the witness herein, after having been first duly sworn
13 upon his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. CATANACH:

16 Q. Mr. Feagan, would you please state your name
17 and occupation?

18 A. Mike Feagan, I'm a petroleum engineer for Chi
19 Energy.

20 Q. Mr. Feagan, on prior occasions have you
21 testified before the Division as a petroleum engineer?

22 A. Yes, I have.

23 Q. Pursuant to your employment by Chi Energy,
24 Inc., have you continued to perform reservoir
25 engineering studies and duties concerning the Old

1 Millman Ranch-Bone Spring Pool?

2 A. Yes, I have.

3 MR. KELLAHIN: We tender Mr. Feagan as an
4 expert petroleum engineer.

5 EXAMINER CATANACH: Mr. Feagan is so
6 qualified.

7 Q. (By Mr. Kellahin) Before we look at the
8 details of your actual engineering work, Mr. Feagan,
9 let's talk about your conclusions.

10 The pool rules currently provide for a
11 10,000-to-1 gas/oil ratio?

12 A. 20,000.

13 Q. I'm sorry, 20,000-to-1 gas/oil ratio.

14 And what is your conclusion and
15 recommendation?

16 A. Well, what we've recommended is that this
17 field be put into an associated oil and gas field pool
18 in order to best produce the gas wells, as we
19 previously stated, and the single oil well.

20 What we also propose to do is drop the GOR
21 from 20,000-to-1 to 5000-to-1. We feel like this will
22 best allow the oil producer to produce more oil and
23 limit the gas producers to some degree in the amount of
24 gas that we're going to be able to produce out of the
25 wells.

1 Q. Give us the reasons that cause you to reach
2 that conclusion.

3 A. Well, we -- As Mike previously testified, we
4 feel like we've got three gas wells and we have one oil
5 well, and from the GOR of the gas wells, as we've
6 increased production on those, we've dropped the amount
7 of liquids that we seem to be recovering. Conversely,
8 from the oil well we seem to be producing less gas, the
9 more that we open these wells up.

10 But there has to be a balance somewhere in
11 between, and we feel like providing this 5000-to-1, it
12 gives the gas wells a chance to produce at a rate that
13 would effectively bring out the most liquids.

14 And by also limiting the GOR but increasing
15 the spacing, it will allow us to produce the oil wells
16 at a rate that we can best produce the oil.

17 Q. The associated rules, if they apply to this
18 pool, will cause gas wells to be classified as gas
19 wells once they reach 30,000-to-1 gas/oil ratios?

20 A. That's correct, yes.

21 Q. If that happens and the Division adopts the
22 associated rules, is that a problem for any of the gas
23 wells that are currently gas wells?

24 A. No, all of the gas wells currently are
25 producing in excess of 30,000-to-1, and we'll see that

1 here in the...

2 Q. If we go to 80-acre oil spacing at this
3 depth, what is the maximum daily oil rate in barrels of
4 oil?

5 A. That would be 222 barrels a day.

6 Q. Does the oil well have the capacity to
7 produce in excess of that top allowable?

8 A. Yes, it does.

9 Q. Describe for us the drive mechanism of the
10 reservoir.

11 A. Well, as we mentioned, we feel like this is a
12 gas -- possibly a gas-cap reservoir, and solution gas
13 driving.

14 Q. Do you agree with Mr. Hays that you don't see
15 any water influx or any water driving the reservoir?

16 A. No.

17 Q. Okay, there isn't any, huh?

18 A. No.

19 Q. Let's go to some of the specifics of the data
20 that you've compiled on the wells in the pool. I see
21 your written summary. Let's leave the written summary
22 for later.

23 Turn to the first tabulation, which is page
24 8.

25 A. Uh-huh.

1 Q. What are we looking at here?

2 A. This is just general well data. The four
3 wells that Chi Energy -- or Chi Operating, actually --
4 is currently producing in this Old Millman Ranch field.

5 They're just a list of the perforations which
6 range from 6146 feet to 6400 feet in the four wells.

7 The stimulation jobs, which I think Mike
8 previously stated, is approximately 55,000 to 60,000
9 gallons of a cross-linked fluid with approximately
10 150,000 to 200,000 pounds of sand.

11 These wells have -- the next -- It shows the
12 completion dates. All have been done since
13 approximately one year ago, the Winchester Number 1 was
14 drilled and completed, the most recent well being
15 drilled and completed in April of 1993.

16 We show the initial potentials. We ran an
17 absolute open flow on three of the wells that we
18 consider gas wells, which show a fairly high absolute
19 open flow, I feel like. We did not run a four point on
20 the oil well.

21 The oil gravity indicates that the Winchester
22 Number 1, the Winchester Number 2 and the Colt Federal
23 all have a fairly high API oil gravity or condensate
24 gravity. And the Remington Number 1, which we're
25 calling the oil well, is a lower oil gravity.

1 And it gives our current producing rates and
2 current GORs, which could be noted at this time is --
3 Winchester Federal Number 1 is 150,000-to-1, based on
4 current production. The Winchester Federal Number 2 is
5 38,000-plus-to-1. The Colt Federal Number 1 is 35,270
6 standard cubic feet per barrel GOR. And then of course
7 the oil well showing current production rates, the GOR
8 of 4697 standard cubic feet.

9 Q. Do you have sufficient engineering data to
10 reach an engineering conclusion about whether or not
11 these wells are producing from the same common source
12 of supply?

13 A. Based on geological data we feel like they
14 are.

15 Q. How about engineering data?

16 A. Other than the fact that the oil gravity
17 crudes and the gas compositional analysis indicate that
18 they are.

19 Q. Do you see any pressure differentials between
20 wells that would conclude for you as an engineer that
21 the wells are not in the same source of supply?

22 A. No, no, by bottomhole pressures, I see none
23 of that.

24 Q. All right. What do we achieve by applying
25 the associated rules to this pool?

1 A. What we achieve is allowing us to produce the
2 gas wells at a rate that we're able to recover the
3 ultimate amount of liquids as well as upping the oil
4 rate in order to allow us to recover more oil from the
5 oil well at this time.

6 Q. In your opinion as a reservoir engineer, is
7 that the optimum way in which to maximize ultimate
8 recovery from the reservoir?

9 A. Yes, from this reservoir it is.

10 Q. Let's look at some of the other information
11 you've included. What's shown on page 9?

12 A. Page 9 is a current production map shown on
13 the bottom with barrels of oil, and then the gas volume
14 in MCF a day.

15 Over that is shown the current GOR, which
16 I've just stated.

17 It also shows the current production and
18 current GOR for the Mewbourne Oil Federal B Number 2.

19 Q. Is there any PVT data for the reservoir?

20 A. Yes, there is.

21 Q. And have you examined that data?

22 A. Yes, and it's been previously submitted here
23 to the Commission.

24 Q. And is it included in the exhibit book here?

25 A. Yes, it starts on page 10.

1 Q. Okay. What's the end result of the analysis
2 of the PVT information?

3 A. The end result, as stated previously in this
4 case, shows that it is a gas well. This has been
5 done -- This PVT analysis was done in September of 1992
6 on the Winchester Federal Number 1, and --

7 Q. Reservoir conditions show that the
8 hydrocarbons are what in the reservoir?

9 A. Are condensate in the reservoir.

10 Q. How would you characterize the reservoir
11 there? Is this a retrograde gas condensate --

12 A. Yes, that's what I would classify it at this
13 time.

14 Q. After the fluid study information, I think if
15 you'll go to page --

16 A. -- 24?

17 Q. You've got some volumetrics in here, I think,
18 starting on page 21?

19 A. This is just part of the --

20 Q. That was part of the PVT study?

21 A. Yes, this is part of the PVT study.

22 Q. You've got some pressure data starting on
23 page 24?

24 A. Well, this is pressure data that went along
25 with the four-point test.

1 Attached for each of the three gas wells is
2 the Form C-122, New Mexico Oil Conservation Division
3 Form C-122, showing the results of that four-point, and
4 the following page for each well shows the actual
5 calculations of the absolute open flow.

6 Q. Let's go to page 30. I want to talk with you
7 about page 30 and 31 and deal with the issue of gas/oil
8 ratio. We're talking about taking it down from 20,000
9 to 5000?

10 A. Correct.

11 Q. Give us the reasons that you're making that
12 recommendation.

13 A. Well, because we do have an oil well and gas
14 wells present, we feel like we need to somehow limit
15 our gas production to some degree in order to recover
16 the most liquids out of the oil leg of this thing.

17 Q. Okay, let's look at the gas wells first --

18 A. Okay.

19 Q. -- and see what you've done with the various
20 choke settings.

21 A. What we did for each of the wells that Chi
22 Operating is operating currently, we varied the choke
23 setting in four different settings at four different
24 producing rates, to see what the results were.

25 And from the three gas wells we found that as

1 we increased the choke size, increasing the gas volume,
2 we disproportionately increased the oil volume, meaning
3 that we recovered less oil per same ratio for the gas,
4 resulting in a lower GOR as we increased production
5 from those gas wells.

6 Q. So at higher choke settings you dropped your
7 gas/oil ratio on all three gas wells?

8 A. That's correct.

9 Q. When you turned to the oil well, what
10 happened?

11 A. Now, just the opposite happened. When we
12 opened the choke settings on the oil well, as
13 production increased, gas production also increased,
14 but our GOR increased at that time.

15 And it ended up -- As a result of our last
16 choke setting of 232 barrels a day, that's a little
17 over what our top allowable would be for an 80-acre
18 spacing. But you can see that the GOR is approximately
19 5000, and that's what we were looking for, and that's
20 what we based part of our recommendation on, in the
21 5000-to-1 GOR application.

22 Q. All right. So it has a real effect, then, on
23 this oil well --

24 A. Yes.

25 Q. -- insofar as when you look at the top daily

1 oil rate of 222?

2 A. Uh-huh.

3 Q. At this choke setting you've got 232?

4 A. Uh-huh.

5 Q. Producing at that rate, you peak out at just
6 slightly over 5000-to-1 oil/gas ratio?

7 A. That's correct.

8 Q. So what does that tell you as a reservoir
9 engineer concerning the gas/oil ratios for the oil
10 wells?

11 A. That that is the actual gas/oil ratio that
12 this well can produce at.

13 And again, we would like to produce this well
14 at a rate that we can produce most liquids out of the
15 oil leg of this particular reservoir.

16 Q. Does this well have the capacity to produce
17 in excess of the top oil rate?

18 A. Yes, it does.

19 Q. Are you comfortable as a reservoir engineer
20 using the 5000-to-1 as a cap?

21 A. Yes.

22 Q. We're not going to be wasting liquids in the
23 reservoir by using that number?

24 A. No.

25 Q. Turn to the next display on page 31. I think

1 you've got the same information, but in a graph form?

2 A. Yes, the next four pages are that same
3 information, just shown on a bar graph.

4 Q. Okay. Page 35 is the calculations using the
5 proposed allowables at this spacing configuration?

6 A. That's correct.

7 Q. All right, sir. And then finally you've
8 written your conclusions on page 36. Those are your
9 ultimate conclusions as an engineer?

10 A. Uh-huh, that's correct.

11 Q. And then page 37 is Mewbourne's letter of
12 support?

13 A. Yes, we've discussed with both Mewbourne --

14 Q. Okay.

15 A. -- the details of those.

16 Q. Summarize for us your conclusions, then, and
17 your ultimate recommendations to the Examiner.

18 A. The summary of our conclusions is that we
19 would -- the Old Millman Ranch-Bone Spring Pool would
20 best be produced by putting it into an associated oil
21 and gas pool with gas well spacing of 160 acres, oil
22 well spacing of 80-acre spacing, and a GOR of 5000-to-
23 1.

24 We're recommending this so that we can better
25 produce the liquids out of the oil well and still

1 produce the three gas wells, which are the major part
2 of the production of this field.

3 Q. When we look at the topic of the oil spacing,
4 the 80 acres, for a Bone Spring oil well that is this
5 prolific is that a reasonable number of acres to
6 dedicate to a well like this?

7 A. Yes, it is. We feel like it is. Through
8 pressure data we have looked at the approximate
9 drainage radius, and we feel like it's in excess of 40
10 acres. So production seems to validate that too.

11 Q. If you went to 40-acre oil spacing, then you
12 create the opportunity where you're going to drill an
13 unnecessary well, which will compete for the same
14 reserves as the first well?

15 A. That's correct, and I think it will do
16 ultimately the amount same amount of -- the same thing.
17 It will be producing the same amount of gas, basically,
18 from two oil wells as one well.

19 Q. So we're better off with one oil well on 80-
20 acre spacing?

21 A. Right.

22 Q. How about the gas wells? What's the basis
23 for the 160 gas spacing?

24 A. Well, we're currently drilled on 160-acre
25 spacing. We don't see any effect on the others based

1 on bottomhole pressure data at this time.

2 And other than that, we really have not got a
3 true fit for it, other than the fact that, like I said,
4 we feel like they'll produce at 160 acres, the ultimate
5 recovery that we can for --

6 Q. And you're stuck with that spacing now
7 because of the --

8 A. Yes.

9 Q. -- configuration of the wells?

10 A. The current -- Yes, the current drilling
11 pattern on this.

12 MR. KELLAHIN: That concludes my examination
13 of Mr. Feagan.

14 We move the introduction of the Applicant's
15 Exhibits 1, 2 and 3.

16 EXAMINER CATANACH: Exhibits 1, 2 and 3 will
17 be admitted as evidence.

18 EXAMINATION

19 BY EXAMINER CATANACH:

20 Q. Mr. Feagan, the situation as you see it is,
21 you've got an interval that is a retrograde gas
22 condensate zone?

23 A. Uh-huh.

24 Q. Is the oil well not completed in that zone,
25 or not -- Is that zone not present in that --

1 A. No, it is, they're completed in the same
2 interval.

3 Q. The same interval. And it's just -- Why does
4 it show different characteristics in the oil well?

5 A. I can't answer that question, other than the
6 fact of structurally where it sits.

7 Q. So at reservoir conditions you've essentially
8 got condensate. As the pressure dissipates, it flashes
9 to gas; is that a correct statement, as you produce it?

10 A. Well, at reservoir -- Excuse me, say that
11 again. At reservoir conditions you've got condensate,
12 and as you produce, it flashes to gas?

13 Q. At reservoir conditions it's basically
14 condensate in the reservoir?

15 A. There is very little liquid in the -- As the
16 PVT analysis will show, the recovery was only .66
17 percent of one percent liquid recovery out of the study
18 that was done at reservoir conditions.

19 Q. Okay. And you've seen no evidence of a
20 gas/water, gas/oil contact?

21 A. No, I sure haven't.

22 Q. Is this -- This isn't typical of a Bone
23 Spring reservoir in this --

24 A. No, we've found no analogy to this particular
25 field. We can't find another example of a similar

1 circumstance in the Bone Spring.

2 Q. On page 30, on those tests that you ran on
3 the well, where you adjusted the choke size --

4 A. Uh-huh.

5 Q. -- how long were those left --

6 A. They were left anywhere in the neighborhood
7 of six to eight days --

8 Q. On each setting?

9 A. -- at a minimum. At a minimum, uh-huh.

10 Q. And this is just the average production
11 during that period?

12 A. That's right. Yeah, I just took the average
13 of -- And those were done, as it says on the bottom, in
14 May and June of this year.

15 Q. Are your gas wells capable of 2.2 million a
16 day?

17 A. Yes, they are.

18 Q. All of them?

19 A. All of them. As a matter of fact, if you'll
20 see on the highest choke setting, all of them produced
21 in excess.

22 Q. Do you have an opinion as to whether 2.2
23 million a day per well will have any detrimental effect
24 on the reservoir, leave liquids or gas behind?

25 A. No, we feel like -- Actually, when you look

1 at the production data, like I said, as the GOR
2 increases, we actually feel like we seem to be pulling
3 more liquids with the higher producing rates. So we
4 don't feel like that will be the case.

5 We will be doing some further bottomhole
6 pressure testing of this reservoir, so...

7 But currently our allowable is at 2.8 million
8 a day, so we're actually asking to curtail that rate.

9 Q. Okay, on the 80-acre oil spacing, that's
10 based on what again?

11 MR. KELLAHIN: Say it again, I'm sorry. You
12 said 80-acre oil? Was that --

13 EXAMINER CATANACH: Right.

14 THE WITNESS: Yeah, that was based on
15 bottomhole pressure information we did, bottomhole
16 pressure data we had run, and volumetric calculations
17 and backing in a drainage radius.

18 Q. (By Examiner Catanach) You don't have those
19 volumetric calculations?

20 A. No, I don't, not present.

21 Q. Can you submit those?

22 A. Yes, sure can.

23 Q. And on the 160-acre gas spacing, did you say
24 you've seen no interference between wells?

25 A. That's correct, no interference, based on

1 bottomhole pressure or production testing.

2 Q. Okay, would it be in the best interests to
3 look at these rules in about another year?

4 A. Obviously as the operator, we will be looking
5 at them constantly, but it would not be objectionable
6 to us.

7 Q. Do you think a year would give you enough
8 time to finally establish what you've got in this
9 reservoir?

10 A. I do, unless there's some drilling done to
11 the south of us that, you know, that extends the
12 reservoir.

13 EXAMINER CATANACH: Uh-huh, okay. That's all
14 I have of the witness at this time.

15 MR. KELLAHIN: That concludes our
16 presentation.

17 EXAMINER CATANACH: Mr. Kellahin, can I ask
18 you for a rough draft order in this case?

19 MR. KELLAHIN: Yes, sir.

20 EXAMINER CATANACH: There being nothing
21 further --

22 MR. CARR: Mr. Catanach?

23 EXAMINER CATANACH: I'm sorry, Mr. Carr?

24 MR. CARR: I filed a written entry of
25 appearance on behalf of Maralo, Inc., in this matter,

1 and I'd just like to go on record for Maralo, stating
2 they support the Application of Chi in this case.

3 EXAMINER CATANACH: Okay, there being nothing
4 further, Case 10,556 will be taken under advisement.

5 (Thereupon, these proceedings were concluded
6 at 11:55 a.m.)

7 * * *

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 10,556
)
CASE NUMBER 10,556 (REOPENED))
_____)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

RECEIVED

March 2nd, 1995

MAR 10 1995

Santa Fe, New Mexico

Oil Conservation Division

This matter came on for hearing before the Oil Conservation Division on Thursday, March 2nd, 1995, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

March 2nd, 1995
 Examiner Hearing
 CASE NO. 10,556 (Reopened)

	PAGE
EXHIBITS	3
APPEARANCES	4
OPENING STATEMENTS:	
By Mr. Carr	6
By Mr. Kellahin	6
OXY USA WITNESSES:	
<u>THOMAS J. TINNEY</u>	
Direct Examination by Mr. Carr	8
Cross-Examination by Mr. Kellahin	17
Redirect Examination by Mr. Carr	25
Examination by Examiner Catanach	26
<u>RAJ PRASAD</u>	
Direct Examination by Mr. Carr	28
Cross-Examination by Mr. Kellahin	43
Examination by Examiner Catanach	54
Further Examination by Mr. Carr	58
<u>RICHARD E. FOPPIANO</u>	
Direct Examination by Mr. Carr	60
Examination by Examiner Catanach	63
CHI WITNESSES:	
<u>MICHAEL D. HAYES</u>	
Direct Examination by Mr. Kellahin	64
Examination by Examiner Catanach	73
<u>DAVID C. MYERS</u>	
Direct Examination by Mr. Kellahin	75
Examination by Examiner Catanach	93
REPORTER'S CERTIFICATE	95

* * *

E X H I B I T S

OXY USA, Inc.	Identified	Admitted
Exhibit 1	10	17
Exhibit 2	11	17
Exhibit 3	11	17
Exhibit 4	14	17
Exhibit 5	15	17
Exhibit 6	30	43
Exhibit 7	30	43
Exhibit 8	33	43
Exhibit 9	38	43
Exhibit 10	40	43

Chi Energy	Identified	Admitted
Exhibit 1	65	73
Exhibit 2	66	73
Exhibit 3	76	92
Exhibit 4	77	92
Exhibit 5	78	92
Exhibit 6	79	92
Exhibit 7	79	92
Exhibit 8	82	92
Exhibit 9	84	92
Exhibit 10	85	92
Exhibit 11	87	92
Exhibit 12	90	92
Exhibit 13	89	92
Exhibit 14	91	92
Exhibit 15	92	92

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR OXY USA:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

FOR CHI ENERGY:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 1:11 p.m.:

3 EXAMINER CATANACH: We will now call Case 10,556.

4 MR. RAND CARROLL: In the matter of Case Number
5 10,556 being reopened pursuant to the provisions of
6 Division Order Number R-5353-M, which order reclassified
7 the Old Millman Ranch-Bone Spring Pool in Townships 19 and
8 20 South, Range 28 East, Eddy County, New Mexico.

9 EXAMINER CATANACH: Are there appearances in this
10 case?

11 MR. CARR: May it please the Examiner, my name is
12 William F. Carr with the Santa Fe law firm Campbell, Carr,
13 Berge and Sheridan.

14 We represent OXY USA in this case, and I have two
15 witnesses.

16 EXAMINER CATANACH: Additional appearances?

17 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
18 the Santa Fe law firm of Kellahin and Kellahin, appearing
19 on behalf of Chi Energy, Inc., and I also have two
20 witnesses to be sworn.

21 EXAMINER CATANACH: Any additional appearances?

22 Okay, will the four witnesses please stand to be
23 sworn in at this time?

24 (Thereupon, the witnesses were sworn.)

25 EXAMINER CATANACH: Who would like to go first?

1 MR. CARR: Mr. Catanach, I'll go first and call
2 the OXY witnesses.

3 I think we need to note at the outset that Chi
4 will be requesting a change in the spacing in the pool and
5 that we'll be requesting the 80-acre gas well spacing and
6 40-acre oil well spacing that is different from the
7 temporary pool rules that are now applicable to this
8 reservoir, and if there is a further advertisement or
9 something of that nature that is required, nonetheless, we
10 will go forward and present testimony supporting the pool
11 rules as we believe they should be today.

12 I would note that as to the presentation of OXY,
13 we will focus on the 40-acre oil well spacing aspect of the
14 case and the 5000-to-1 GOR. I don't believe there is a
15 dispute between the parties, however, as to what's being
16 sought.

17 EXAMINER CATANACH: Okay.

18 MR. KELLAHIN: Mr. Examiner, Chi Energy was the
19 original Applicant and obtained the designation of this
20 pool under special rules.

21 We returned back to the Division which in August
22 31st of 1993 issued Division Order Number 5353-M, and it
23 was that order, based upon Chi's request, which
24 reclassified the Old Millman Ranch Pool as an associated
25 pool.

1 It was our belief at that time that the pool
2 could go forward for the next temporary period on 80-acre
3 oil spacing and 160-acre gas spacing.

4 You may remember that the gas-oil ratio has been
5 the subject of prior discussions. At one point, the gas-
6 oil ratio in the pool was 20,000 to 1. At Chi's request,
7 it was reduced to 5000 to 1, as a result of the August,
8 1993, Order

9 Subsequent to the 1993 Order, additional wells
10 have been drilled, further information has been gathered,
11 and we are now before you to ask for further modifications
12 of the rules.

13 Chi has contacted and worked extensively with OXY
14 and their technical people. We believe we are in agreement
15 in our recommendations. The only other well in the pool
16 not operated either by Chi or OXY is a well to the
17 southwest, operated by Mewbourne. We have a letter from
18 Mewbourne showing that they have no objection to the rule
19 change.

20 What we're asking you to do is to continue the
21 associated pool rules, to reduce the 80-acre oil spacing to
22 40-acre oil, to reduce the gas spacing from 160 acres to 80
23 acres, and to maintain the 5000-to-1 gas-oil ratio, and
24 that will be our recommendations, and we will present a
25 geologist and an engineer in support of those

1 recommendations.

2 EXAMINER CATANACH: Mr. Carr?

3 MR. CARR: Mr. Catanach, at this time we're
4 prepared to call Mr. Tinny.

5 THOMAS J. TINNEY,

6 the witness herein, after having been first duly sworn upon
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. CARR:

10 Q. Will you state your name for the record, please?

11 A. Tom Tinney.

12 Q. Mr. Tinney, where do you reside?

13 A. Midland, Texas.

14 Q. By whom are you employed?

15 A. Cities Service/OXY USA, Inc.

16 Q. What is your current position with OXY?

17 A. I'm a senior geologist.

18 Q. Have you previously testified before this
19 Division?

20 A. No, sir.

21 Q. Could you summarize for Mr. Catanach your
22 educational background?

23 A. I graduated in 1981 from the University of Texas
24 with a bachelor of science in geology.

25 Q. Since graduation from the University of Texas,

1 for whom have you worked?

2 A. Cities Service/OXY USA, Inc.

3 Q. So always really the same company?

4 A. That's correct.

5 Q. Have you always been employed as a geologist for
6 Cities and then OXY?

7 A. Yes, sir.

8 Q. Does the geographic area of your responsibility
9 include the portion of southeastern New Mexico involved in
10 this case?

11 A. Yes, it does.

12 Q. Have you made a geologic study of the Old Millman
13 Ranch-Bone Spring Pool area?

14 A. Yes, sir.

15 MR. CARR: We would tender Mr. Tinney as an
16 expert witness in petroleum geology.

17 EXAMINER CATANACH: Mr. Tinney is so qualified.

18 Q. (By Mr. Carr) Would you briefly state what OXY
19 seeks in this case?

20 A. OXY is here in support of Chi asking for 80-acre
21 gas proration units, 40-acre oil units, and to maintain the
22 current 5000-to-1 GOR.

23 Q. Are you asking that the temporary rules with the
24 changes you are recommending be adopted on a permanent
25 basis?

1 A. Yes, sir.

2 Q. What is the current depth bracket allowable for
3 40-acre oil wells in this area?

4 A. 142 barrels of oil per day.

5 Q. Now, Mr. Tinney, were you called upon to prepare
6 the geologic parameters that have been utilized by OXY to
7 model this particular reservoir?

8 A. Yes, I was.

9 Q. Let's go to what has been marked for
10 identification as OXY Exhibit Number 1. Could you identify
11 this exhibit for Mr. Catanach and then review the
12 information contained thereon?

13 A. This is a base map showing -- The green circles
14 show all the current producers within the field. The black
15 dots are the oil producers, the open stars are the gas
16 wells, and then the open circles are proposed locations.

17 Also shown are the different operators within the
18 field. The heavy black lines show the current proration
19 units for each well, and there is a green line that runs
20 from northwest to southeast which is a cross-section that
21 has been prepared.

22 Q. Did you note the additional circles that indicate
23 potential locations for further development?

24 A. Yes, sir.

25 Q. And all wells currently producing from the Old

1 Millman Ranch-Bone Springs Pool are shown on this exhibit?

2 A. Yes, sir.

3 Q. Okay. Let's move to Exhibit Number 2. Would you
4 identify that, please?

5 A. This is a structure map on the top of the first
6 Bone Springs sand, using the current well control, and the
7 contour interval is 50 feet.

8 The map shows the present-day dip to the east and
9 to the southeast. Within the heart of the field there is a
10 widening of contours, if you will. You'll notice to the
11 north contours are at pretty regular intervals, and as you
12 get down to where the majority of the producers are, you
13 already actually have a widening of contours. And there's
14 also a gentle nosing across the field.

15 Also shown is the same northeast to southeast
16 X-section that runs through the center of the field.

17 Q. Have you seen any oil-water contact in the
18 reservoir?

19 A. Not at this time, not yet.

20 Q. Let's go to Exhibit Number 3. Exhibit Number 3
21 is on the easel behind you. It might be easier if you
22 stand and go to the exhibit.

23 And I'd ask you first to identify what this is,
24 Mr. Tinney, and then review the information contained on
25 this exhibit.

1 A. Okay, this is a northwest-to-southeast cross-
2 section that were on the previous exhibits that runs
3 through the center of the field.

4 The blue is limestone, Bone Springs limestone
5 carbonates. As you can see, the sand is encased within --
6 the first Bone Springs sand is encased within these
7 carbonates.

8 To the east and southeast, the sand thickens.
9 You'll note as you move updip and to the northwest, the
10 sand actually pinches out into the carbonate vein.

11 The black line on the left is your gamma-ray
12 curve. The heavy green line is the density-porosity curve.
13 The density-porosity curve has been contoured, and that's
14 shown by these colors. The gray is less than 12-percent
15 porosity. This pumpkin color right here is between 12- and
16 14-percent porosity, the yellow is 14- to 16-percent
17 porosity, and the red is anything greater than 16-percent
18 porosity.

19 There is a direct correlation between
20 permeability and porosity, a linear relationship, so that
21 your better porosity is also going to be your better
22 permeability reservoir.

23 Also, you'll note that some of the sands are
24 continuous. I feel there's at least three sands that are
25 continuous across the field that I can correlate from every

1 well.

2 You'll also notice that there are a number of
3 sands that are discontinuous from wellbore to wellbore.

4 One thing else I'd like to point out is, within
5 the section I was able to pick out nine layers, and those
6 nine layers were -- geologic data was supplied for each
7 layer, and that was supplied to the reservoir engineer for
8 his simulation work.

9 As you can see if you look at this well, there's
10 nine. As you go updip some of the layers actually pinch
11 out, so you may not have all nine present in each wellbore.
12 But I was able to pick out nine layers based on gamma-ray
13 correlations and the density-porosity pick in the
14 individual sand packages.

15 Q. Can you indicate where the gas-oil contact would
16 be in the reservoir?

17 A. OXY believes that the gas-oil contact is a minus
18 2945, and that's going to be approximately right here on
19 this Chi-operated Winchester Number 1, which is a gas well.

20 As you can see, there's a small portion that's
21 within the oil leg, but the majority of the well is
22 actually in the gas leg of the reservoir.

23 And that will go across in this fashion, straight
24 across, so that the Winchester Number 2, as you can see,
25 has the majority of its reservoir within the gas leg.

1 There's a small portion, albeit a somewhat larger portion
2 in the oil leg.

3 As you go to the Remington Number 2, which would
4 be this well, which is actually an oil producer, there is a
5 small amount of the well actually has -- is in the gas leg.
6 The majority is in the oil.

7 And OXY's two operated wells on the cross-
8 section, the Government S Number 3 and the Government AB
9 Number 9, the gas leg is not present within those wells.

10 Q. Let's go now to OXY Exhibit Number 4.

11 A. Okay.

12 Q. Can you identify this and then explain to Mr.
13 Catanach what it shows?

14 A. Okay. This is a crossplot of core permeability
15 in millidarcies and core porosity. This is four five wells
16 within the field that we have core data on. That includes
17 four OXY wells and one Chi well.

18 The first thing to note is that the crossplot
19 shows that within these five wells there's no permeability
20 greater than 10 millidarcies. The majority of the points
21 fall between 1 millidarcy and .1 millidarcies, which shows
22 this to be a very low-permeability reservoirs.

23 One thing I might also note is that for pay
24 calculations, we use a 12-percent cutoff.

25 As you can see from the crossplot, anything less

1 than 12-percent porosity falls around 1 -- or below .1,
2 excuse me -- millidarcies. So very, very low permeability.

3 Q. This exhibit, in fact, shows there is a direct
4 correlation or relationship between the porosity and the
5 permeability in the reservoir?

6 A. That's correct. As I noted from the cross-
7 section exhibit, there's definitely a linear relationship
8 between porosity and permeability, and that your better
9 porosity, upwards of 18-percent porosity, is going to be
10 your higher permeability.

11 Q. Is the 12-percent porosity cutoff figure that
12 you've been using, to your understanding, consistent with
13 what other operators in the reservoir are actually using?

14 A. Yes, it is, and that's somewhat based on my
15 experience from the field.

16 We participated in a well that had less than one
17 on ϕ_h , based on a 12-percent cutoff. That was the Strata
18 Garza Federal Well. That well is producing about 6 MCF
19 currently, is uneconomic, the well will never pay out.

20 As opposed to our worst well, using a 12-percent
21 cutoff, which is the AB Number 6, Government AB Number 6,
22 which is a little over 5 on ϕ_h , and that well is economic,
23 but it obviously is on the low end of the scale.

24 Q. All right, Mr. Tinney, let's go to Exhibit Number
25 5. Could you tell us what this is?

1 A. This is a core permeability. It's a histogram of
2 the core permeability that I showed from the same five
3 wells.

4 This histogram shows that out of 311 samples,
5 that the mean or the average permeability is a .239
6 millidarcies -- this is also a millidarcy scale -- with a
7 standard deviation of 3.345.

8 Within that deviation you can see the heavy
9 dashed line on this exhibit, is the actual mean, the .239,
10 and then the two smaller dashed lines on each side are the
11 standard deviations, one positive and one negative to each
12 side, that 68 percent of your data falls within those
13 standard deviations, which once again shows that overall,
14 the first Bone Springs sand within this reservoir has a
15 very low permeability.

16 And once again you can also see that none of the
17 permeability is over 10 millidarcies, and there's very few
18 number of samples that actually are on the high end of the
19 scale.

20 Q. Could you identify for Mr. Catanach the
21 geological data that you developed in the course of your
22 study of this reservoir that is going to be utilized by the
23 next witness in actually conducting the modeling of the
24 reservoir?

25 A. From the data that we've had, that we've gathered

1 from logs and from core, I provided a structure top on the
2 first Bone Springs sand to our reservoir engineer, for the
3 first layer on the top. And then for each subsequent layer
4 I provided a gross thickness for each layer, a ϕ_a or an
5 average porosity for each layer, for each grid cell within
6 the model, and then also a geometric mean permeability for
7 each cell, grid cell within the model that he was using.

8 Q. Were Exhibits 1 through 5 prepared by you?

9 A. Yes, sir.

10 MR. CARR: Mr. Catanach, at this time we move the
11 admission into evidence of OXY Exhibits 1 through 5.

12 EXAMINER CATANACH: Exhibits 1 through 5 will be
13 admitted as evidence.

14 MR. CARR: And that concludes my direct
15 examination of Mr. Tinney.

16 EXAMINER CATANACH: Mr. Kellahin?

17 MR. KELLAHIN: Thank you, Mr. Examiner.

18 CROSS-EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Mr. Tinney, would you help give me a word picture
21 of the reservoir?

22 When we look first of all at the structure, why
23 did you choose to draw your structure map on top of the
24 first Bone Springs sand?

25 A. I felt like that, since that was the producing

1 horizon, that that was the best place to start, would be at
2 the top of the first Bone Springs sand. And then it was
3 reflective of -- as far as showing the dip of that sand.

4 Q. When you use that as the marker point for
5 building your structure map, is it a point on the log
6 that's readily identifiable to you as a geologist?

7 A. Yes, sir.

8 Q. Having built the structure map, describe for us
9 what effect structure has on the distribution of
10 hydrocarbons in the reservoir.

11 A. As you go updip, you actually have a gas cap, if
12 you will. And as I described within the cross-section
13 below the -- we feel like below 2945 subsea, that there's
14 actually a gas-oil contact, and below that point you have
15 an oil leg.

16 At this point in time there hasn't been a known
17 oil-water contact established. There may be certain sands
18 within the overall reservoir that could be wet, but it's
19 not really readily determinable from log analysis.

20 There could be some difference -- changes in
21 relative permeability that also would make an individual
22 sand more -- produce more water than oil.

23 Q. When you look at the distribution of the sand,
24 what's the gross thickness that you have in the reservoir?

25 A. Thickness varies from an updip position. The Chi

1 wells are somewhere -- 150, 160 feet thick of gross
2 interval.

3 As you move downdip, RS Number 3 is approximately
4 275 feet thick, so it's thickening as you move to --
5 downdip to the east and southeast, and it continues to stay
6 that thickness to the east.

7 Q. Within that gross thickness, are we dealing with
8 a common reservoir system?

9 A. I don't know exactly what --

10 Q. Geologically, how would you characterize that
11 gross interval in terms of its lithology and other geologic
12 characteristics?

13 A. I believe that there are continuous sands across
14 the field, that some sands are discontinuous between wells,
15 that the sand was deposited from density flows out over the
16 basin or the slope, the shelf slope.

17 Q. All right, describe for me the depositional --
18 how these sands were laid out or deposited.

19 A. Okay. I believe that the sands were deposited in
20 deep water as density flows, that the sand was deposited --
21 was carried out on these density flows and then settled
22 out.

23 And then during periods when the sand didn't have
24 sediment being brought out, you had normal shell
25 deposition. You look at the sands in -- from core, you'll

1 actually see fine lamina from these alternating sand-to-
2 shell deposition.

3 You also had changes within -- periodic changes
4 in bottom oxygen water content, because you'll have this
5 alternating lamina, facies, and then you will periodically
6 have bioturbation that went on from deep-water worms that
7 bioturbated this sediment. So there had to be some change
8 in bottom water oxygen content, in my opinion.

9 Q. Would you take all those individual
10 characteristics and make a general qualification of that
11 reservoir as to whether it's homogeneous or heterogeneous?

12 A. I guess it depends on what scale you mean.

13 If you look at permeability, you have to say that
14 it's heterogeneous, just in the fact that ten percent of
15 your permeability comes from, say, 50 percent of your rock.
16 It's a very small portion of your rock, is given the
17 majority of your permeability.

18 Q. When you take the reservoir and subdivided it
19 into layers, how many individual layers are productive of
20 hydrocarbons?

21 A. I think they're all productive. Within -- If you
22 use that 12-percent cutoff, each layer has pay within each
23 layer, depending on which wellbore.

24 As you can see --

25 Q. How many layers do you have?

1 A. I have nine layers, sir.

2 Q. Nine layers?

3 A. Yes, sir.

4 Q. And at any particular point in the reservoir, one
5 or more of those layers will be productive?

6 A. That's correct.

7 Q. So you found at least nine layers in a cumulative
8 total sense that have been productive in various
9 combinations of wells?

10 A. Yes, sir.

11 Q. When you map them laterally in terms of a cross-
12 section, is any individual layer continuous throughout the
13 entire reservoir?

14 A. Yes, sir, I believe -- There's one sand within
15 this layer that's continuous across the reservoir.

16 Q. Before you say "this" and "that", for the record
17 tell me where "this" is.

18 A. In layer 3, and then in layer 4 and in layer 6.

19 Q. In terms of developing an isopach, I believe you
20 have either given your simulator, engineering simulator, a
21 ϕh map or some net-pay porosity map about which he then can
22 do his work. Do I understand that correctly?

23 A. Yes, sir.

24 Q. And that you constructed a -- was it a ϕh map?

25 A. I constructed a ϕh and a net-feet-of-pay map,

1 both.

2 Q. Okay. For each individual interval within the
3 pool?

4 A. That's correct, and then each grid block has a
5 value associated with that.

6 Q. Okay. So geologically, you've subdivided the
7 reservoir into at least nine of these layers, each of which
8 has a corresponding isopach?

9 A. Correct.

10 Q. Okay. Is there any segregation of hydrocarbon-
11 type among these layers, between oil and gas?

12 A. There's just a gas-oil contact which goes across,
13 you know, all layers, actually, as you go updip.

14 Q. So as you look for the gas --

15 A. In other words, your gas-oil contact is here, and
16 it will run crossways within each layer as they go updip.

17 Q. All right. You will find in your analysis that
18 the gas-oil contact is consistent in a structural position
19 in all layers?

20 A. (Nods)

21 Q. All right.

22 A. Yes, sir.

23 Q. What accounts for that?

24 A. I would venture to say, just the separation, the
25 physical separation of gas and oil.

1 Q. All right.

2 A. You have an updip pinchout of the sand, you have
3 migration up to a certain point, to a fill point, and then
4 you have oil -- a gas-oil contact that's actually --

5 Q. Well, let me ask you this way: In a vertical
6 sense, geologically, do you see any impermeable barriers to
7 vertical flow within the reservoir?

8 A. Yes, sir.

9 Q. Okay. And as a result of changes in
10 permeability, then, it will affect how the fluids move in
11 the reservoir?

12 A. Yes.

13 Q. What kind of permeability ranges do we have?

14 A. On the high end you have nothing less than --
15 from the core data we have to date out of the five wells,
16 you have nothing greater than 10 millidarcies, and the
17 average is .239.

18 Q. Pretty tight reservoir, isn't it?

19 A. That's what I've testified to, yes, sir.

20 Q. And all geologic indications based upon core
21 analysis and other available information would characterize
22 this as a tight reservoir?

23 A. Yes, sir.

24 Q. What geologically supports your conclusion about
25 taking the oil spacing to 40 acres? What sense do you have

1 as a geologist that that feels valid and reasonable?

2 A. I would say I don't have any. I'm depending on
3 the reservoir engineer to tell me basically what he feels
4 like we're draining.

5 Q. So as far as you're concerned, geologically it's
6 a reservoir-engineering issue?

7 A. I provided geologic data so that simulations
8 could be run, and obviously the simulations are keyed to
9 the geologic model.

10 Q. Well, let me put a geologic question to you.

11 When you look at 40-acre oil spacing within this
12 geologic picture, are you more likely to encounter more of
13 the nine layers on 40-acre oil spacing versus wider oil
14 spacing?

15 A. No, sir. The number of layers that you encounter
16 will be dependent on the structural position that your well
17 falls within the overall structural dip of the reservoir,
18 and whether you get nine or whether you have seven layers,
19 that's how that's going to fall out.

20 Q. I'm not sure I understood the answer.

21 A. Okay, structurally in this position, if you're in
22 this position structurally, you're going to get nine
23 layers.

24 Q. All right, sir.

25 A. All right, if you come up here, you may only have

1 eight. This ninth layer is actually pinched out from the
2 base.

3 Q. Right.

4 A. Okay, so it really depends on where you drill
5 structurally to how many layers you're going to get.

6 Q. Well, and that's my point. My question for you
7 is, either structurally and/or based upon distribution of
8 the sand, you have a greater probability of maximizing the
9 number of layers you intersect if you're doing that on 40-
10 acre oil spacing?

11 A. I don't really agree with that, but --

12 Q. All right, well, don't agree with it. I'm asking
13 a question.

14 On each and every of the 40-acre locations in the
15 pool, do we have all nine layers?

16 A. No.

17 MR. KELLAHIN: Okay, no further questions.

18 EXAMINER CATANACH: Mr. Carr?

19 MR. CARR: Just a couple.

20 REDIRECT EXAMINATION

21 BY MR. CARR:

22 Q. Mr. Tinney, I think you were testifying about
23 vertical permeability. Do you really see any in this
24 reservoir?

25 A. We see barriers to vertical permeability, so...

1 Within certain sand packages -- In other words, you know,
2 within this sand there's some vertical permeability, but
3 there's vertical permeability barriers between layers.

4 Q. And that's why you have developed these nine
5 different layers in the reservoir and have utilized those
6 in the modeling effort; isn't that correct?

7 A. That's correct.

8 Q. Now, if you drill at one point on the structure
9 as opposed to another, you may encounter different
10 productive layers, depending on where you place the well;
11 was that not your testimony?

12 A. Yes, sir.

13 Q. So isn't it fair to say that you can maximize the
14 drainage achieved by placing oil wells on a 40-acre spacing
15 over what you can achieve on an 80-acre spacing?

16 A. Yes.

17 MR. CARR: That's all I have.

18 EXAMINER CATANACH: Just a couple.

19 EXAMINATION

20 BY EXAMINER CATANACH:

21 Q. Mr. Tinney, you testified that you believe that
22 all of these zones are contributing production to these --
23 in this field?

24 A. Yes, sir.

25 Q. What do you base that on?

1 A. I'm basing that on log calculations, using the
2 primaries that we set up for pay.

3 I'm also basing it on sample. I'm actually
4 drilling the well, fluorescence, the chromatograph, the gas
5 analysis, having good, live fluorescence all the way
6 through this section as we drilled it. Even in the -- Say
7 in this well, we had good, live oil fluorescence. Even at
8 the base of this section there was no indication to say the
9 base was wet, like dull fluorescence or whatever there
10 might be, that it might be wet.

11 Q. Is it generally a practice to perforate all these
12 various zones in these wells?

13 A. Yes, sir, and on your exhibit the perforations on
14 this cross-section are actually marked, and we do
15 perforations of the entire section.

16 Q. And this is the first Bone Springs sand interval;
17 is that right?

18 A. Yes, sir.

19 Q. Is there other gross sand intervals in the Bone
20 Spring in this area?

21 A. There is some sand in the second Bone Springs,
22 yes, sir, that's had shows in it. But it to date hasn't
23 been productive.

24 Q. Okay, this is the only producing interval so far?

25 A. Yes, sir.

1 EXAMINER CATANACH: Okay, I don't have anything
2 further of the witness. He may be excused.

3 MR. CARR: At this time, Mr. Catanach, we call
4 Raj Prasad.

5 RAJ PRASAD,
6 the witness herein, after having been first duly sworn upon
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. CARR:

10 Q. Would you state your name for the record, please?

11 A. Raj Prasad.

12 Q. Where do you reside?

13 A. Midland, Texas.

14 Q. Mr. Prasad, by whom are you employed?

15 A. I'm an independent consultant employed by OXY for
16 the simulation work.

17 Q. What specifically were you attempting to
18 establish with this simulation work?

19 A. Specifically, I was trying to find out if the 40-
20 acre oil spacing is worthwhile doing and a 5000-to-1 gas-
21 oil ratio is a better way of exploiting this reservoir.

22 Q. Have you previously testified before the New
23 Mexico Oil Conservation Division?

24 A. No, sir.

25 Q. Could you briefly summarize for Mr. Catanach your

1 educational background?

2 A. I have a master's degree in petroleum engineering
3 from University of Tulsa.

4 Q. And when did you receive the degree?

5 A. 1970.

6 Q. And since graduation, for whom have you worked?

7 A. I worked for H.G. Grue and Associates for ten
8 years as a reservoir engineering consultant, and since 1980
9 I've been independent consultant most of the time.

10 Q. While with Mr. Grue and since, have you had an
11 opportunity on occasion to testify before other regulatory
12 bodies?

13 A. Yes, sir.

14 Q. And before what agencies have you testified?

15 A. Railroad Commission of Texas and Mineral
16 Management Services in Louisiana.

17 Q. Are you familiar with the Old Millman Ranch Bone-
18 Spring Pool and the wells drilled and completed therein?

19 A. Yes, sir.

20 MR. CARR: We tender Mr. Prasad as an expert
21 witness in reservoir engineering.

22 EXAMINER CATANACH: Mr. Prasad is so qualified.

23 Q. (By Mr. Carr) Have you prepared exhibits for
24 presentation here today?

25 A. Yes, sir.

1 Q. Let's go to what has been marked OXY Exhibit
2 Number 6. Would you first identify this and then review
3 the information on these plots for Mr. Catanach?

4 A. Yes, sir. OXY Exhibit Number 6 is a set of
5 plots, performance plots, for the wells drilled by and
6 operated by OXY.

7 There are eight wells that OXY has drilled so
8 far, and each plot shows the oil rate, water rate, and gas-
9 oil ratio from each well.

10 And you will notice that the gas-oil ratio mostly
11 lies between 1000 to 3000 cubic feet per barrel for most of
12 the wells. There is one well that showed gas-oil ratio
13 higher than 10,000, about 10,000, but most of the gas-oil
14 ratios are below 3000, so on that basis they're all
15 classified as an oil well.

16 Q. And so when we look at the statewide rules for
17 associated pools, all of these wells will be classified
18 oil?

19 A. Yes, sir.

20 Q. All right. Let's go to OXY Exhibit Number 7.
21 Would you identify that?

22 A. Yes, OXY Exhibit Number 7 is a grid map that we
23 utilized for modeling the reservoir, Bone Spring Ranch
24 reservoir.

25 This is a 50-by-50 grid, and we used the nine

1 layers that were defined by the geological model.

2 Q. All right. Attached to this is a list. Could
3 you identify and review that?

4 A. Yes, this list shows all the data that were
5 collected and used in this simulation study. As Mr. Tinney
6 pointed out, the logs and cores were used for defining the
7 geological layers and obtaining the properties for each
8 layer, which were important to the model, for each model
9 grid.

10 Then we also have collected the PVT sample from
11 OXY Government S 4 well, which has been included in the
12 simulation study.

13 Then we collected pressure buildup test from OXY
14 Government S 3 well, which has been included -- or at least
15 the results of those have been incorporated in the model
16 study.

17 And we collected some capillary pressure and gas-
18 oil relative permeability data from OXY Government AB 8
19 well. This information has been incorporated in the model.
20 And again, we modeled the performance of all the wells in
21 this pool through November of 1994.

22 Q. Mr. Prasad, what type of model did you use?

23 A. We used a commercial model, Eclipse 100, that has
24 been developed by Intera ECL Company from Denver.

25 Q. And this is a black-oil model?

1 A. This is a black-oil model, suitable for modeling
2 associated gas, solution gas and oil and water flow
3 performance.

4 Q. And this model has been generally accepted by the
5 industry?

6 A. Yes, it has, very well accepted model.

7 Q. What experience have you personally had using
8 this model?

9 A. I have used this model for several other studies
10 that I have done for OXY and Conoco.

11 Q. Now, Mr. Prasad, to match historical performance
12 data from the reservoir with the model's calculated
13 performance, what adjustments, if any, were made to the
14 data?

15 A. We basically used all the data that we collected
16 geologically, as well as through PVT and capillary pressure
17 and relative permeability.

18 We made only one change to match the performance:
19 When we initialized the model with the permeability that we
20 calculated from the core, the model was not able to produce
21 these wells at the rates that have historically produced,
22 so we made adjustments on the permeability in order to be
23 able to produce at the rates that the historical
24 performance indicates, and essentially we multiplied the
25 core permeability data by a factor of 2.5 to be able to

1 produce these wells at the rates that they have produced.

2 Then we also investigated that S-3 buildup data
3 shows that if you calculate a flow capacity, which is K
4 times H, from the buildup data, that data showed it was
5 about 2 1/2 times more -- or 2 1/2 times the permeability
6 thickness plotted that we obtained from the core data.

7 So we thought that we had a good justification
8 for multiplying a factor of 2.5 to the core permeability
9 data, and that is the only adjustment we made in this
10 model.

11 Q. All other data was utilized just as this
12 information was obtained?

13 A. That's correct.

14 Q. Did you make any particular assumptions about any
15 of the wells that were being utilized?

16 A. For the performance calculations, we used the
17 state rule and the field rule limitations to calculate the
18 performance of the well in the future cases.

19 Q. Did you assume any additional wells would be
20 drilled or --

21 A. Yes.

22 Q. And that's shown later in the results?

23 A. That will be shown later.

24 Q. All right. Let's go now to Exhibit Number 8, the
25 historical matches, and I'd ask you to review those for the

1 Examiner.

2 A. Yes, there are a set of plots here, I think about
3 six of them, that are included to show the historical
4 performance match that we calculated from the model to
5 match the performance of the wells.

6 Figure 3 and 4 are the two wells that we selected
7 from the OXY-operated oil wells, and here we input the oil
8 producing rate that we have historically observed, and we
9 calculate the gas production and the pressure from the
10 model.

11 Q. Now, in terms of the color-coding used on the
12 exhibit, the red indicates what?

13 A. The red line indicates the historical production,
14 oil and gas, and the black line indicates the model-
15 calculated production.

16 Q. All right. Let's review first what is marked
17 Figure 3, the first of these.

18 A. Figure 3 is the performance match for the
19 Government AB-6 well, which is operated by OXY. And you
20 notice that the oil rate has got only a red curve, no
21 black. What it says, that the model input the oil rate.
22 So the model rate and the actual historical performance
23 rate is the same.

24 On the gas rate, the model-calculated values are
25 shown in black, and the actual values are shown in red.

1 And you'll notice that it's a reasonable match on the gas
2 production rate.

3 On the pressure match, the model-calculated
4 values are shown in the black line and the measured values
5 shown on the cross, and we can see that the match is very
6 good on the pressure.

7 Q. All right. Let's go to Figure Number 4, the
8 second page of this exhibit.

9 A. Figure Number 4 is also the similar matches for
10 OXY-operated S-3 well. Here again, you will see only red
11 plots for the oil rate, which indicates that in the model
12 the oil rate was input, and naturally they will be the same
13 curve.

14 We calculated the gas rate, and I would say that
15 the match is very good on the gas production rate.

16 And we calculated -- or the model was calculating
17 the pressure data, which is shown in the black line, which
18 matches the crosses, which are the measured data, very
19 well.

20 Q. Okay, now Figure Number 5?

21 A. Figure Number 5 is performance match for the Chi-
22 operated Winchester Number 1 well. Here, Winchester Number
23 1 well is a gas producing rate, so in the model we input
24 the gas production rate and we calculated the oil
25 production rate and the pressures from the model, and those

1 matches are shown here.

2 You will notice that the gas production rate,
3 there's only a red curve, which is the measured data. And
4 since it was input to the model, there is no black data;
5 they're all the same.

6 The oil production rate, the red curve is the
7 measured data and the black is the model-calculated values,
8 and I would say that the match is excellent on the oil
9 production rate.

10 If you look at the pressure match, the model
11 pressures are higher than the one single value that I had
12 to match. Again, these pressures, the measured values, are
13 much before any production began from this well, and it
14 shows me that the well had not been shut in sufficient time
15 to build up to the original reservoir pressures.

16 Q. Okay. If we go to Figure Number 6, what does
17 this show?

18 A. Figure Number 6 is again a match of the
19 Winchester Number 2 well, operated by Chi Producing, and
20 this is also a gas-producing well, and gas rates were input
21 to the model, so you see only one curve for the gas
22 production rate.

23 The oil production rate match is excellent. We
24 have the black curve, shows the model-calculated values,
25 and the red curve is the measured values, and the match is

1 very good on that.

2 Again, the pressure match, you will see that the
3 measured values are much lower than the model-calculated
4 values. And this match also -- This pressure data was
5 collected much before the model production began, and again
6 it shows that the shut-in time was probably not large
7 enough for this pressure to build up to the original value.

8 Q. All right. Now, we've looked at history matches
9 on two oil wells, two gas wells.

10 Let's take a look at the entire field, and I
11 direct your attention to the next page, which is marked
12 "Figure 1".

13 A. Okay, this is the oil production rate for the
14 entire field as calculated by the model and as measured
15 by -- historically, added for all the oil and the gas
16 wells.

17 The match -- The model-calculated values are
18 shown in the black, and the measured values are shown in
19 the red. And again, for the gas wells we were calculating
20 oil rate, so there is some difference between the model and
21 the measured values, but the matches are very good.

22 Q. Okay. And the last page of this exhibit?

23 A. The last page of this exhibit shows the gas
24 production performance match for the gas production for the
25 entire field, which means that we included the gas

1 production from the gas wells, as well as the gas
2 production from the oil wells.

3 And again, the model was calculating the gas
4 production from the oil wells. For that reason, they are
5 close to the measured values, but not exactly the same as
6 the measured values, and I would say that this match shows
7 a very good match of the gas production.

8 Q. Mr. Prasad, based on your experience modeling
9 reservoirs and the kinds of matches you've been able to
10 achieve as set forth in Exhibit Number 8, what degree of
11 confidence do you have in this model?

12 A. I have a very high degree of confidence.

13 Q. Now that you've matched the historical
14 performance, what is the next thing that you did with the
15 model?

16 A. Once we got a good history match from this model,
17 then we used this model to calculate the performance,
18 future performance, under various operating conditions and
19 under various development --

20 Q. Let's go to OXY Exhibit Number 9, and I would ask
21 you to identify this and review the information on the top
22 portion of the exhibit.

23 A. Okay, the top portion -- That top table on this
24 exhibit shows various field rules that were utilized to
25 calculate the performance of the wells, either drilled or

1 -- drilled within an earlier period to control their
2 production phenomena.

3 And we have three different field -- I mean rules
4 -- that we have tried to calculate the performance.

5 Under the current field rules it shows we should
6 have an 80-acre oil unit and then a 160-acre gas unit with
7 an oil allowable of 222 barrels a day and a GOR limit of
8 5000 to 1 cubic feet per barrel, which calculates a gas
9 limit of 1.11 million cubic feet per day and a gas limit
10 for gas wells of 2.22 million cubic feet per day.

11 And then the next column shows Chi's proposed
12 ruling in which the oil unit will be 40-acre, gas unit will
13 be 80-acre, oil allowable will be 142 stock tank barrels
14 per day, GOR limit that they are proposing is 5200, and gas
15 limit based on the GOR limit will be 710,000 cubic feet a
16 day, and gas limit for gas wells will be 1.42 million cubic
17 feet per day.

18 And then the last column shows the statewide
19 rules under which the oil unit will be a 40-acre oil unit,
20 gas unit will be 160 acres, oil allowable will be 142
21 barrels a day, GOR limit will be 2000 to 1 cubic feet per
22 barrel, and the gas limit for oil wells will be 284 MCF a
23 day, and the gas limit for gas wells will be 1136 MCF a
24 day.

25 Q. Now, before we review the bottom portion of this

1 exhibit, let's go to OXY Exhibit Number 10. Would you
2 review that exhibit for the Examiner?

3 A. This exhibit shows the future possible well
4 locations under the current field rules or under the Chi's
5 proposed rules, and the red circle that I have -- we have
6 got there on this plot shows the future oil wells that can
7 be drilled under the current field rules.

8 Now, there may be more oil well locations that
9 can be drilled. We have selected that makes economic sense
10 to show on this plot.

11 The black circles show the new oil wells that
12 could possibly be drilled under the Chi's proposed ruling,
13 and the green circles -- two green circles are the two
14 possible gas locations that can be drilled under the Chi's
15 proposed ruling.

16 Q. All right, let's go back to Exhibit Number 9, and
17 let's go to the bottom portion of this exhibit, and I would
18 like you now to review for Mr. Catanach the results of your
19 modeling.

20 A. All right. Under the operating rules that we
21 stated earlier, we made three production performance runs.

22 Number 1 run, or case 1, is the current operation
23 in which we did not drill any wells. We used wells drilled
24 to date and produced them under the current field rules to
25 calculate the recovery through the year 2014, which is a

1 20-year prediction, and we calculated the gas and the oil
2 production recovery through the year 2014.

3 Then the second case that we ran is, under the
4 current field rules, we included five additional drilling
5 locations that we showed on Exhibit 10, and we calculated
6 the performance of the field and calculated the oil
7 recovery and the gas recovery under those conditions.

8 And the third run that we made is based on the
9 Chi's proposed ruling in which we drilled the seven
10 possible oil locations and the two gas wells, and we
11 calculated the production performance for this particular
12 case, to the year 2014.

13 Q. Based on your modeling, what conclusions can you
14 reach about the appropriate rules for the reservoir?

15 A. The conclusion that we reach is that by adopting
16 Chi's proposed rule, oil recovery will not be adversely
17 impacted, but it will result in 3.2 billion cubic feet
18 increase in gas recovery by the year 2014.

19 Q. Now, Mr. Prasad, have you also attempted to
20 determine the impact on ultimate recovery from the
21 reservoir of reverting from a 5000-to-1 GOR to a 2000-to-1
22 GOR?

23 A. Yes, sir.

24 Q. And what have you been able to conclude?

25 A. By changing the GOR from 5000 to 1, to 2000 to 1,

1 what we found is, by the year 2014, which is a 20-year
2 prediction period, there will be 69,000 net barrels-of-oil
3 equivalent lost in the hydrocarbon, by going from 5000 to
4 2000 GOR limit.

5 Q. In your opinion, will maintaining the 5000-to-1
6 GOR limit and the -- obtaining the additional recovery of
7 69,000 barrels of oil be in the best interests of
8 conservation and the prevention of waste?

9 A. Yes, sir.

10 Q. What conclusions can you generally reach from
11 your modeling of the reservoir?

12 A. The conclusions that I reached from the modeling
13 of this reservoir is that 40-acre oil units is what we
14 should be doing for the oil, and we do not have any problem
15 with Chi's proposal of 80-acre gas well units, and we
16 should have a 5000-to-1 gas-oil ratio limit.

17 Q. Have you evaluated the Chi proposal in the
18 context of the impact it could have on the correlative
19 rights of the operators in this pool?

20 A. Yes, sir.

21 Q. And do you see any adverse impact to the
22 correlative rights of any operator in the pool from the
23 adoption on a permanent basis of the proposal made here
24 today by Chi?

25 A. No, sir.

1 Q. In your opinion, will the approval of the Chi
2 Application in all other respects be in the best interests
3 of conservation, the prevention of waste and the protection
4 of correlative rights?

5 A. Yes.

6 Q. Were Exhibits 6 through 10 prepared by you or
7 compiled under your supervision?

8 A. Yes, sir.

9 MR. CARR: At this time, Mr. Catanach, we move
10 the admission of OXY Exhibits 6 through 10.

11 EXAMINER CATANACH: Exhibits 6 through 10 will be
12 admitted as evidence.

13 MR. CARR: That concludes my direct examination
14 of Mr. Prasad.

15 EXAMINER CATANACH: Mr. Kellahin?

16 MR. KELLAHIN: Thank you, Mr. Examiner.

17 CROSS-EXAMINATION

18 BY MR. KELLAHIN:

19 Q. Sir, would you help me with your last name?
20 Would you spell it, please?

21 A. Yes, P like Paul, r like Robert, a, s like Sam,
22 a, d like David.

23 Q. You've done that before, haven't you?

24 A. Several times. A lot of people call me Brusard.

25 Q. Prasad?

1 A. Yes.

2 Q. Mr. Prasad, let me go to your last testimony
3 about the difference in the gas-oil ratios. You used the
4 term barrel-of-oil equivalent?

5 A. Right.

6 Q. Are you meaning, sir, that in your analysis what
7 you've taken is barrels of oil, taken the gas production,
8 converted that into barrels of oil, added them together and
9 gotten a number?

10 A. Yes, sir.

11 Q. And under that analysis, using your simulation,
12 you have satisfied yourself that if the gas-oil ratio
13 reverts to 2000 to 1, it's going to be a loss of at least
14 67,000 stock tank barrels of oil equivalent? Did I say
15 that correctly?

16 A. 69,000 stock tank barrels of oil equivalent.

17 Q. All right. When we look at the exhibit -- I
18 think it's 9 or 10, is this -- the little spreadsheet, is
19 this --

20 MR. CARR: Nine.

21 Q. (By Mr. Kellahin) Nine? Exhibit 9. Make sure
22 I've understood how you have analyzed the simulation
23 results.

24 If you look at the last column and find the wells
25 that you have displayed on Exhibit 10, if a total of nine

1 additional wells are drilled --

2 A. Yes, sir.

3 Q. -- then under barrels of oil recovered we get
4 more oil, even with the additional wells being drilled?

5 A. Yes, sir.

6 Q. And we get another half BCF of gas if all those
7 additional wells are drilled?

8 A. Over which case are you talking about?

9 Q. I'm looking at the Chi proposal, the very bottom
10 case.

11 A. Right.

12 Q. We're getting 4.3 BCF --

13 A. 4.8.

14 Q. I'm sorry, I've got my decimal in the wrong
15 point. It's 43 BCF?

16 A. Yes.

17 Q. All right, and --

18 A. 42.8 BCF, which is 43.

19 Q. All right. So we're getting more gas and more
20 oil by going to 40-acre oil, 80-acre gas and keeping the
21 5000-to-1 GOR?

22 A. Yes, sir.

23 Q. And in each analysis, that conclusion remains the
24 same? The first analysis is no more wells are drilled?

25 A. Yes, sir.

1 Q. And that gives us a baseline of --

2 A. Right.

3 Q. -- recoveries?

4 A. Right.

5 Q. If we add some more wells, we can add some
6 production to both oil and gas?

7 A. Right.

8 Q. If we change the field rules and drill the
9 additional wells, we're still going to get more oil and
10 more gas?

11 A. Right.

12 Q. All right. My question is, can we recover the
13 additional gas without compromising the oil recovery?

14 A. Yes.

15 Q. That's what this shows, isn't it?

16 A. Yes, that's exactly what it shows.

17 Q. So the additional gas recovered is not at the
18 detriment or expense of any remaining oil?

19 A. That's what we have concluded, yes.

20 Q. Okay, no doubt about that?

21 A. No.

22 Q. Okay. Let me understand some things about the
23 simulation. The data sheet that you've attached onto the
24 grid map --

25 A. Uh-huh.

1 Q. -- shows the source of the input data but does
2 not give me the input values?

3 A. That's correct.

4 Q. All right. One of your input values is an
5 initial reservoir pressure, is it not?

6 A. Yes, sir.

7 Q. And do you have a sheet or something that will
8 tell you what your initial reservoir pressure was in the
9 model?

10 A. I don't have it here with me, but we can provide
11 you later.

12 Q. All right. How did you get initial reservoir
13 pressure?

14 A. From pressure data that was collected -- I don't
15 remember which well, but we had some pressure data obtained
16 from some early wells, and we got the initial pressure data
17 from those wells.

18 Q. And you examined the initial pressure data?

19 A. Yes, I examined the initial pressure data.

20 Q. Were you satisfied as an engineer that you had
21 achieved the maximum initial pressure based upon that
22 pressure test?

23 A. We extrapolated them to infinite shut-in time to
24 make sure that they are completely built in. That's how we
25 calculated it.

1 Q. All right. So there's no weakness in that
2 parameter?

3 A. No.

4 Q. What did you use for reservoir height? You have
5 a ϕh component in the model, do you?

6 A. The reservoir heights were provided from the
7 geological study, and for each grid block we have a gross
8 thickness and the net thickness that we inputted into each
9 and every grid block of the model.

10 Q. When you say "grid block", is that the same as a
11 cell?

12 A. The cell, yes.

13 Q. All right, the cell. And the cell is 50 feet by
14 50 feet?

15 A. No, the cells are 50 by 50 by 9. So they total
16 2500 times 9.

17 Q. Wait, you're going too fast for me.

18 A. There are 50 by 50; that means 2500 grids in each
19 layer. And there are nine layers, so there will be almost
20 like 20,000 grid blocks in this model, approximately.

21 Q. All right. Within each grid, what's the size of
22 a grid?

23 A. Each grid is -- on an areal basis, there are --
24 the grid sizes are approximately 250 by 250 feet.

25 Q. Okay.

1 A. And vertically they're changing depending on what
2 the gross thicknesses are.

3 Q. Okay, it's the gross thickness I want to address.
4 When Mr. Tinney gives you the gross thickness,
5 he's also given you as many as nine layers in his geologic
6 analysis?

7 A. Right.

8 Q. All right. How did you convert those layers into
9 the net thickness component for that grid?

10 A. He also gave me -- For each grid he gave me a
11 gross thickness, and also the net thickness based on his
12 12-percent porosity cutoff.

13 Q. Okay. Will the model -- Will the computer
14 recognize that within that grid it is dealing with a
15 homogeneous component where the values are the same?

16 A. The value is the same -- There is only one value
17 within that grid --

18 Q. That's right.

19 A. -- of thickness or permeability. So if you -- I
20 mean, yeah, within that 250-foot grid everything is
21 homogeneous.

22 Q. That's right. So within the grid we have got the
23 same values?

24 A. Yes.

25 Q. And as we move from grid to grid, then, you are

1 changing values to be consistent with his geologic
2 interpretation?

3 A. But he is providing me those values.

4 Q. All right, okay. And of all the values that you
5 had available, the one parameter you adjusted to get your
6 history match was permeability?

7 A. Yes, sir.

8 Q. When you started, what was the initial
9 permeability you inputted into the model?

10 A. Those are the values that were provided for each
11 grid by Mr. Tinney from his geological study.

12 Q. All right, and he started off with a core
13 permeability?

14 A. Right.

15 Q. And then I assume by some extrapolation or
16 analysis, he converted that into a log value where he could
17 identify per well with a corresponding permeability was to
18 be?

19 A. Yes, he -- Yeah, he probably calculated it from a
20 transport -- some kind of correlation between the logs and
21 the core. He probably had a permeability-porosity
22 correlation.

23 Q. All right. So for each grid, then, as we get a
24 log value per well, you've adjusted the permeability
25 initially into the model?

1 A. It's been calculated from a permeability-porosity
2 correlation.

3 Q. All right. And to get the model to match
4 history, then you have adjusted the permeability?

5 A. Yes, sir.

6 Q. To what range did you have to adjust the
7 permeability to achieve the match?

8 A. I multiplied a factor of 2.5 for the entire 2500-
9 times-9 grids.

10 Q. Okay.

11 A. All of these values were multiplied by a factor
12 of 2.5.

13 Q. And you consistently use 2.5 as the adjustment?

14 A. Right.

15 Q. Why did you choose 2.5?

16 A. The basis for that 2.5 was, I started looking at
17 the permeability thickness product -- we call it flow
18 capacity -- from the buildup test of S 3, and that showed
19 me that the S 3 buildup calculates the KH value, which is
20 2.5 times the core-derived KH values, and that was one
21 reason.

22 Second reason for multiplying by 2.5 is that when
23 I inputted the permeability data provided by the geologist,
24 we were not able to produce the model at the rates that
25 historically these wells have produced.

1 Q. Mr. Carr asked you the degree of confidence you
2 had in the reliability of the model to make accurate
3 forecasts, and you said you had a high degree of
4 confidence.

5 A. Yes, sir.

6 Q. Can you express that confidence in terms of a
7 percentage?

8 A. My -- The way I would address this question is
9 that, based on today's information, everything that we have
10 available in terms of information, this is the best results
11 that we can obtain.

12 Now, if we find some more drilling and it changes
13 the geologic picture or, you know, we obtain some certain
14 other information -- for example, oil-water contact, or --
15 which will -- or obtain some more pressures which shows
16 differently, then of course the model can change.

17 But as of right now, I have a very good
18 confidence that we have used all the data appropriately to
19 calculate the performance that we have calculated right
20 now.

21 Q. I have no quarrel with that. My question is that
22 computer-generated reservoir simulation is certainly not an
23 exact science? It's based upon lots of assumptions?

24 A. Yes, sir, but we use them quite often --

25 Q. I understand.

1 A. -- in our analysis.

2 Q. And this Examiner sees simulations on a frequent
3 basis, and some of them have an expert such as you that
4 doesn't have a lot of confidence in the result because they
5 don't have enough in values to utilize.

6 A. Yes.

7 Q. And so what I'm trying to ask you is, how good is
8 this model in forecasting results?

9 A. I'm pretty confident that the results that we are
10 getting from this model are reliable.

11 Q. Okay. Can you express it in terms of a plus or
12 minus in terms of a degree of accuracy?

13 A. I would say that we have probably 70-percent-plus
14 in degree of accuracy.

15 Q. One of the other components of modeling work is
16 to establish a geometry for the boundary, if you will?

17 A. Yes, sir.

18 Q. When we look at the grid, help me visualize how
19 you established a boundary for your model. Is there a
20 geologic component to the boundary?

21 A. Yes, sir, and that was provided to me from the
22 geological study.

23 Q. Were you using a reservoir boundary based upon
24 the zero line of an isopach map?

25 A. Yes, sir.

1 Q. So that's how you got a boundary?

2 A. Yes, sir.

3 Q. Okay. And that boundary was large enough, then,
4 to include all the current producing wells?

5 A. Yes, sir.

6 Q. Okay. How many model runs did you have to make
7 before you got a history match that you were satisfied
8 with?

9 A. Oh, I would -- I didn't count them, but I would
10 say roughly not more than 15 runs.

11 MR. KELLAHIN: Okay. Thank you, Mr. Examiner.

12 MR. CARR: I have no redirect.

13 EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Mr. Prasad, do you know how many wells there are
16 in this field?

17 A. OXY-operated wells, there are about eight of
18 them, and then there are two wells on the -- Are you
19 talking about all together?

20 A. Yes, sir.

21 Q. Producing? Fifteen wells have been producing,
22 and I think that Parker has drilled one well recently that
23 probably is not included in the model history match, but
24 they have been included in the model prediction runs.

25 Q. Okay. I'm looking at your Exhibit Number 9, and

1 under the current field rules you've got that you can
2 possibly drill five additional oil wells. And then on this
3 -- On Exhibit 10 you've shown them on the map as red
4 circles; is that correct?

5 A. Right.

6 Q. There are some additional oil well locations that
7 can be drilled?

8 A. Yes, sir.

9 Q. Why were those excluded?

10 A. We drilled them in the model, and we found that
11 because of the limited reservoir in that area, they were
12 not making economical recovery, so we excluded them in our
13 analysis. See, as an operator they will drill only the
14 wells that's economical for them.

15 Q. So according to your model, those wells will not
16 likely be drilled?

17 A. Not under the current information that we have.

18 Now, things can change based on, you know, the
19 further drilling and whatever they develop as far as
20 reservoir information is concerned.

21 Q. So even if we change the pool rules to 40-acre
22 spacing, they'll still not get drilled; is that correct?

23 A. No -- Yeah, if the model stays the same, if the
24 geological models do not change, then those locations may
25 not get drilled.

1 Q. Okay. Under the proposed pool rules, you're
2 drilling nine wells all together, seven oil wells, two gas
3 wells. And those will basically be drilled to increase gas
4 recoveries, not oil recoveries?

5 A. That's what it shows, yes.

6 Q. But you're also showing that oil recovery won't
7 be harmed in any way?

8 A. That's correct.

9 Q. Does your model show -- Will most of that gas be
10 recovered from the gas wells, or how is it distributed?

11 A. Most of it will be coming from the gas wells.
12 But yeah, the oil well -- associated gas will be produced
13 from the oil wells too.

14 Q. Do you have any conclusions as to whether this
15 reservoir is rate-sensitive at all, as far as producing too
16 much gas or too much oil off these proration units?

17 A. We did not make any variations in the rate other
18 than what the field rules or the proposed rules are
19 indicating, but I doubt that there will be any rate-
20 sensitivity to this model, to this reservoir.

21 Q. Under the current pool rules, the only difference
22 -- you would be able to drill an additional oil well on an
23 oil proration unit; you just wouldn't be able to drill oil
24 wells on a gas proration unit. So the only basic
25 difference is, you're able to drill two new gas wells with

1 the new pool rules?

2 A. Yes, sir.

3 Q. Will it be in effect increasing the gas limit and
4 the oil limit on all these proration units -- Well, I guess
5 I've already asked you. You see no detrimental effects in
6 increasing the gas limit on these --

7 A. No, I don't.

8 Q. -- proration units?

9 But you didn't run any simulation on that, did
10 you?

11 A. I ran the simulation according to the rules that
12 we were proposing, yes, sir.

13 Q. What rates did -- What gas rates did those show
14 for the new gas wells, the simulation?

15 A. I believe -- I don't have those runs right now
16 with me, but I believe most gas wells were limited to the
17 proration rates. I mean, they probably had a better
18 capacity to produce but were limited to, say, 1.42 million
19 a day because of the proposed rules.

20 Q. Okay. Drilling -- By drilling these additional
21 wells, it's not going to -- Is it going to accelerate the
22 recovery?

23 A. Some. Some will be acceleration, some will be
24 adding reserves.

25 EXAMINER CATANACH: I think that's all I have of

1 the witness.

2 MR. CARR: May I ask a couple?

3 EXAMINER CATANACH: Sure.

4 FURTHER EXAMINATION

5 BY MR. CARR:

6 Q. Mr. Prasad, to follow up on the last question,
7 you indicated that there would be some acceleration of
8 production, some new recovery.

9 If we look at the four oil wells that are shown
10 on Exhibit Number 10 in the extreme eastern portion of
11 Section 3, would -- in your opinion, would those new wells
12 be recovering oil that currently can be recovered from the
13 existing well on those spacing units?

14 A. Yes, sir.

15 Q. Would they be recovering additional oil that
16 cannot be recovered by the current well on the spacing
17 unit?

18 A. That is correct.

19 Q. Do you have any estimate as to how much
20 additional recovery might be obtained on any one of those
21 spacing units as a result of placing a second well thereon?

22 A. I have the estimate for, say, the five wells that
23 we are proposing under the current field rules. And if you
24 look at the oil recovery that I have calculated to the year
25 2014, with the five additional wells the oil recovery is

1 3.4, and without these five wells the oil recovery is 3.1.
2 So roughly we are getting about 300,000 barrels for the
3 five wells, which is like 60,000 barrels per well.

4 Q. And that is oil that otherwise will not be
5 recovered?

6 A. That is correct.

7 Q. Now, if we change the spacing rules as
8 recommended by Chi, I believe in response to a question
9 from Mr. Catanach you indicated that it would make
10 available two additional gas well locations, as shown on
11 Exhibit Number 10, in the eastern portion of Exhibit 4,
12 correct?

13 A. Yes, sir.

14 Q. Would it not also, by going to the proposed
15 rules, free up or make available two additional oil well
16 locations in the northwest of Section 3?

17 A. Yes, sir.

18 Q. So in Section 3, the northwest quarter could then
19 be developed with a gas well on the west half of the
20 northwest, and there would be two 40-acre oil tracts
21 available as well?

22 A. Yes, sir.

23 MR. CARR: That's all I have, Mr. Catanach.

24 EXAMINER CATANACH: Okay. Mr. Carr, those are
25 both your witnesses, right?

1 MR. CARR: Yes, sir, that concludes OXY's
2 presentation.

3 Chi has two witnesses.

4 EXAMINER CATANACH: Would either of your
5 witnesses be able to address issues regarding downspacing,
6 regarding the interest ownership within proration units and
7 whether or not that's going to have an effect on anybody?

8 MR. KELLAHIN: We can for our properties.

9 MR. CARR: I could call Mr. Foppiano, if you
10 would care to have Mr. Foppiano testify on that.

11 EXAMINER CATANACH: I think we need to address
12 it.

13 MR. CARR: Okay, then I'd call him at this time,
14 with your permission.

15 MR. FOPPIANO: I haven't been sworn.

16 EXAMINER CATANACH: Would you stand to be sworn?

17 RICHARD E. FOPPIANO,

18 the witness herein, after having been first duly sworn upon
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. CARR:

22 Q. State your name for the record, please.

23 A. My name is Richard E. Foppiano. It's spelled
24 F as in Frank, o, p, p as in Paul, i, a, n, o.

25 Q. Where do you reside?

1 A. Midland, Texas.

2 Q. By whom are you employed?

3 A. OXY USA.

4 Q. And what is your current position with OXY?

5 A. I'm the regulatory affairs advisor for OXY's
6 operations out of Midland, Texas.

7 Q. Mr. Foppiano, have you on prior occasions
8 testified before this Oil Conservation Division?

9 A. Yes, I have.

10 Q. Are you familiar with the status of the ownership
11 of the various leases that are operated by OXY in the Old
12 Millman Ranch-Bone Spring field?

13 A. Yes, I am.

14 Q. And can you provide testimony today concerning
15 the impact of the change in spacing being considered here
16 today on those interest owners in OXY-operated properties?

17 A. Yes, I can.

18 MR. CARR: Are the witness's qualifications
19 acceptable?

20 EXAMINER CATANACH: They are.

21 Q. (By Mr. Carr) Mr. Foppiano, I'd like to direct
22 your attention to what has been marked as OXY Exhibit 10,
23 and I'd like to refer to that exhibit, and if you could
24 provide to Mr. Catanach a summary of the -- or the general
25 status of the ownership of the leases involved, and then

1 identify the impact that downspacing would have on the
2 owners of those interests.

3 A. Yes, the wells that we have drilled are on very
4 large government leases, and as you can see from -- Exhibit
5 1, I think, clearly shows the lease names. Government S
6 lease is one, Government AB lease is another, and all of
7 our development has occurred on those two leases at this
8 point.

9 And if those units, those currently existing 80-
10 acre units were reduced to 40-acre, in our opinion there's
11 no impact because those are very large leases and the
12 equity is already being -- would be distributed the same
13 anyway to the federal government.

14 Q. So you see no change in the ownership that would
15 occur as a result of the downspacing, that the existing
16 wells' ownership would have the ownership it has today, and
17 that under the new locations the ownership would be the
18 same as it is under the existing well?

19 A. That's correct, it would not impact the
20 distribution of proceeds from any of our existing wells to
21 downspace from 80 to 40.

22 Q. Do you have anything further to add to your
23 testimony?

24 A. No, I do not.

25 MR. CARR: I pass the witness, Mr. Catanach.

1 MR. KELLAHIN: No questions.

2 EXAMINATION

3 BY EXAMINER CATANACH:

4 Q. Mr. Foppiano, these are federal leases; is that
5 correct?

6 A. Yes, sir.

7 Q. And you currently only operate oil wells, right?

8 A. That is correct.

9 Q. Okay. Is OXY the only working interest owner in
10 these wells?

11 A. I can't testify to that exactly.

12 Q. Okay. But you can testify that the interest
13 ownership would be the same going from an 80-acre unit to a
14 40-acre unit?

15 A. Yes, sir, and I can testify to that because I
16 commissioned a review from our land department with that
17 very same question, and that was their conclusion, that
18 there would be no effect on the interest ownership to do
19 that.

20 EXAMINER CATANACH: Okay, I have nothing further
21 of the witness. He may be excused.

22 MR. CARR: We have nothing further of Mr.
23 Foppiano.

24 EXAMINER CATANACH: Let's take a few minutes
25 before we start your end.

1 (Thereupon, a recess was taken at 3:40 p.m.)

2 (The following proceedings had at 3:47 p.m.)

3 MR. KELLAHIN: Mr. Examiner, I'll call our first
4 witness, Mike Hayes. Mr. Hayes is a geologist.

5 MICHAEL D. HAYES,

6 the witness herein, after having been first duly sworn upon
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. KELLAHIN:

10 Q. For the record, Mr. Hayes, would you please state
11 your name and occupation?

12 A. My name is Michael D. Hays, and I'm a petroleum
13 geologist.

14 Q. You'll have to speak up a little bit. The hum of
15 the -- whatever that contraption is, is competing with you.

16 A. Michael D. Hayes, I'm a petroleum geologist.

17 Q. And where do you reside, sir?

18 A. Midland, Texas.

19 Q. On prior occasions have you testified before the
20 Division as a petroleum geologist and had your
21 qualifications as an expert accepted and made a matter of
22 record?

23 A. Yes, I have. And yes, they have been.

24 Q. Have you made a geologic study of the facts
25 surrounding this particular Application to make the rules

1 we have for the Old Millman Ranch permanent?

2 A. Yes, I have.

3 Q. And based upon your geologic studies, do you have
4 recommendations for the Examiner?

5 A. Yes.

6 MR. KELLAHIN: We tender Mr. Hayes as an expert
7 geologist.

8 EXAMINER CATANACH: Mr. Hayes is so qualified.

9 Q. (By Mr. Kellahin) Mr. Hayes, let's get to the
10 conclusion. What do you recommend?

11 A. I recommend that oil be spaced on 40-acre
12 proration units and gas wells be spaced on 80-acre
13 proration units with a 5000-to-1 GOR allowable.

14 Q. Let's turn to some of the geologic basis, and
15 then we'll talk to you about the reasons that support your
16 conclusions.

17 If you'll turn to what has been marked as Chi
18 Exhibit Number 1, can you identify this display?

19 A. Yes, I can.

20 Q. Does this represent your work product?

21 A. This is my work.

22 Q. What does it show us?

23 A. It's a structure map on the top of the first Bone
24 Springs sand. It shows several other things, but what I'm
25 showing on this map is, first off, Bone Spring first sand

1 penetrations, or deeper, only. I've taken off some of the
2 shallower tests on there, just to clean up the map a little
3 bit for clarity.

4 The scale of the map is one inch equals 3000 feet
5 on the map. The contour interval on the top of the first
6 Bone Spring sand is 100 feet.

7 Q. Are you and Mr. Tinney using the same marker
8 point to get the top of the first Bone Spring sand?

9 A. I haven't checked exactly all the data points,
10 but I suspect that we correspond almost exactly, yes.
11 We're using the same marker, yes.

12 Q. Is there a material difference, from your
13 perspective, in your work versus Mr. Tinney's work when it
14 comes to depicting structure?

15 A. No material difference, no.

16 Q. All right. Let's set that aside for a moment,
17 then, and go to the next display. Does this also represent
18 your work product?

19 A. Yes, it does.

20 Q. And what is this called?

21 A. This is an isopach map of the net pay in the
22 first Bone Spring sand.

23 Q. All right. Describe for us what you mean when
24 you have characterized this as a net pay map.

25 A. What I've done is, I've gone through all the log

1 data available in the map area and have used a 12-percent
2 porosity cutoff to essentially qualify the rock that we
3 think is pay rock, will actually produce hydrocarbons.

4 Q. Okay, characterize for me so that I have a word
5 description of your geologic characterization of this
6 reservoir.

7 A. We have -- From looking at the logs and from a
8 core that we cut on the Remington Number 3 -- We took a
9 120-foot core out of the middle of a well in the southeast
10 of the southwest of Section 3. And that is -- that
11 particular well is an oil well.

12 And based on that data, generally what you have
13 is a gray, very fine-grain sandstone, and its average
14 porosity in that -- say in the core well, is approximately
15 11 percent, perhaps 12 to 14 percent average over all the
16 whole field on a log porosity basis.

17 In general, the average perms are probably on the
18 order of about half a millidarcy. And the -- In general,
19 the rock is very tight from an overall standpoint, and it
20 needs very large fracs to produce at economic rates, on the
21 order of 250,000 pounds of proppant or so to complete the
22 wells.

23 Q. When you look at Exhibit 2, we're working with a
24 net map?

25 A. Yes.

1 Q. And using the net map criteria, what is the point
2 of greatest reservoir net thickness? What is that vertical
3 distance?

4 A. In this map area it's 185 feet.

5 Q. Is that characteristic of Bone Spring reservoirs?

6 A. I wouldn't say it's totally anomalous, bit it's
7 fairly unusual to get that much net pay, yes, especially
8 with the porosities that we're looking at, some very good
9 porosity.

10 Q. In terms of completion techniques, what would you
11 recommend to an engineer in terms of how best to access the
12 reservoir when you have a reservoir that's got this 150
13 feet of net pay?

14 A. Our completion technique -- and I believe OXY's
15 have been fairly similar -- is to essentially perforate the
16 whole large gross interval, including all the net, with
17 approximately ten to twenty perforations, limited-entry
18 frac, and then hydraulically frac it with proppant.

19 Q. What is the range of stimulation programs you
20 use?

21 A. I think, as I recall, we started off with
22 approximately 150,000 pounds of sand and slowly over time
23 have ramped up to perhaps as high on some of the wells,
24 close to 300,000 pounds of sand.

25 Q. What's the purpose of doing that?

1 A. What we have found in the past, on this field and
2 other Bone Spring fields in the first sand, is that,
3 surprisingly, as good as production is out here, you can
4 perforate these wells, acidize them and swab them back and,
5 in some cases, swab them dry. They simply won't produce --
6 sometimes, any hydrocarbons, let alone hydrocarbons at
7 commercial rates.

8 The purpose of the frac is to make economic rates
9 of production.

10 Q. You've been involved in other hearings to further
11 refine and modify the rules for the pool, have you not,
12 sir?

13 A. Yes, I have.

14 Q. You've recommended to the Examiner that they
15 reduce the oil spacing from 80-acre to 40-acre oil. What
16 is accomplished geologically if that is allowed to occur?

17 A. Geologically, I believe that this deposit here,
18 the first sand, is a turbidite or density-current-type
19 deposit. From examination of the core photos that we have,
20 other regional data on the wells, even just examining the
21 map data, I think there's a high degree of variability
22 within the zone itself, within the overall interval.

23 As an example, you can look to the southeast
24 corner of Section 3 and you can see two wells there. One
25 is a deeper Morrow test, and the other one is a recent Bone

1 Spring completion by OXY. And you can see there's a
2 variation from 164 feet to 94 feet in a distance that's
3 probably on the order of 300 feet.

4 And I wouldn't claim that -- That's possible,
5 that's partly related to log runs and different passes and
6 things like that. But you can see that I think the overall
7 example is that there's a high degree of variation, and --
8 which suggests to me a fairly large lack of continuity of
9 pay in the overall pay zone.

10 Q. When we look at the northwest quarter of Section
11 3, I believe that is a 160-acre spacing unit that's
12 currently dedicated to a gas well; it's your Winchester 2,
13 I think?

14 A. That's correct.

15 Q. All right. And under the current associated
16 rules, you cannot drill and produce an oil well in that 160
17 at this point?

18 A. That's my understanding of the state rules, yes.

19 Q. All right. And if the rule is changed, what
20 opportunity does that afford you in the northwest quarter
21 of 3, that you do not now have?

22 A. We would probably fairly quickly go out and drill
23 two oil wells on 40-acre spacing.

24 Q. Based upon your geologic investigation, what is
25 your estimate of the probability that those would be oil

1 wells, as opposed to another gas well?

2 A. I believe there will be oil wells. There's
3 certainly some risk that there's a possibility that it could
4 be gas.

5 But if I refer you back to Exhibit Number 1, you
6 can see the subsea 2900-foot contour cutting across the
7 field area. And the significance of that, from just a map-
8 view visual basis, you can see that the gas wells tend to
9 lie above the 2900-foot subsea contour and the oil wells
10 within the pool tend to lie below the 2900-foot contour.

11 And my recommendation to Chi has been -- and in
12 fact we've staked wells in those positions -- is that my
13 best estimate at this time is those two wells will be oil
14 wells, based on this map.

15 Q. Are you familiar enough with the ownership within
16 your spacing unit to advise the Examiner that if he changes
17 the spacing down, he is not disrupting the equity of the
18 interest owners that currently share in the production on
19 current spacing patterns?

20 A. My understanding is that there will be no change
21 in ownership based on my knowledge of what I know of the
22 working interests in there.

23 Q. Is there a geologic predicate, if not a basis,
24 for your recommendation of changing the gas well spacing
25 from 160 to 80?

1 A. Is there a geologic basis for that --

2 Q. Yes, sir.

3 A. -- position?

4 Yes, I think just like in the oil wells, that
5 essentially you have fairly poor continuity over the large
6 interval of the pay, and I don't personally feel that over
7 160 acres all these zones are all connected so that you
8 would recover all the gas in those -- in the spacing units,
9 160 acres.

10 Q. All right. Mr. Tinney has provided us with a
11 cross-section in which he's identified what in his opinion
12 are as many as five layers or various intervals within the
13 first sand of the Bone Springs?

14 A. Yes, I believe it's nine.

15 Q. I'm sorry, nine.

16 A. Yes.

17 Q. That's right, nine intervals or layers.

18 Do you have an opinion on that topic? And if so,
19 what is it?

20 A. I'm not totally intimate with how he chose those
21 layers. My personal feeling is that that's -- They have to
22 do something for their model that's within reasonableness
23 of trying to get beds or zones that look basically the
24 same.

25 The reality is, if -- from some of the core data

1 that I've seen, is that the beds are in fact on the order
2 of perhaps a millimeter or two thick, so in fact there's
3 literally thousands of individual beds within the overall
4 gross thickness.

5 But from a practical standpoint for simulating
6 the reservoir, I suspect that that's a reasonable place to
7 start, with nine layers, something like that.

8 I don't know precisely how he divvied those up,
9 but that seems reasonable to me.

10 MR. KELLAHIN: Okay. That concludes my
11 examination of Mr. Hayes, Mr. Examiner.

12 We move the introduction of his Exhibits 1 and 2.

13 EXAMINER CATANACH: Exhibits 1 and 2 will be
14 admitted as evidence.

15 MR. CARR: I have no questions of Mr. Hayes.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Mr. Hayes, is it your testimony that -- did you
19 testify that over a 160-acre proration unit, that these
20 nine sand layers may not be continuous?

21 A. I believe that's so. It may be more so on the
22 gross nine layers, but certainly on a real geologic basis
23 of the hundreds or thousands of layers that are actually
24 there, I don't believe they're continuous. In fact, you
25 can see some termination of beds just within a four-inch

1 core on core data.

2 Q. So your conclusion is that another gas well may
3 have to be drilled just to encounter some of these beds
4 that may not be encountered?

5 A. I believe so. In fact, if I can refer to Tom's
6 cross-section here, you can see where there are beds that
7 are terminating, even within his nine-layer model, and I
8 think if you certainly went to a larger number of layers
9 you would see even more terminations, rather than less.

10 Q. You -- I believe you mentioned that in the
11 northwest quarter of Section 3, you have the potential for
12 two oil-well locations?

13 A. That's correct.

14 Q. Where would you locate those wells?

15 A. In fact, we have staked wells out there. The
16 position, roughly, if I can identify, is approximately 660
17 off the north line and 1980 off the west line. Now, it
18 isn't exactly that; I don't know precisely where it is.

19 But I moved it, I think, 100 feet because you can
20 see that deep Morrow well there. There's a gas well on our
21 map that isn't circled. Just the producers are circled on
22 this map -- or, no, on both maps, actually. And that's a
23 deep-plug Morrow well that cannot be re-entered
24 mechanically, and so I've put it approximately in that
25 position and moved it a little bit for to keep it away from

1 the old wellbore.

2 And then the other location would be
3 approximately 1980 from the north and 1980 from the west,
4 within the parameters that are allowed under the present
5 field rules, 150 feet from the center of the quarter
6 quarter.

7 Q. Do you believe both of those would be oil wells?

8 A. I do. There is some risk that you might get gas
9 enough to actually hit the gas qualification, but I believe
10 they'll be oil wells.

11 EXAMINER CATANACH: I have nothing further.

12 MR. KELLAHIN: I'd like to call at this time, Mr.
13 Examiner, David Myers.

14 DAVID C. MYERS,
15 the witness herein, after having been first duly sworn upon
16 his oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. KELLAHIN:

19 Q. Mr. Myers would you state your name and your
20 occupation?

21 A. David Myers. I'm a petroleum engineer for Chi
22 Energy.

23 Q. Mr. Myers, on prior occasions have you testified
24 before the Division as a petroleum engineer?

25 A. No, I have not.

1 Q. Summarize for us your education.

2 A. I graduated in 1982 from the University of Texas
3 with a bachelor of science in petroleum engineering, a
4 master's in business from Houston in 1989, and worked for
5 Arco from 1982 to January of 1994 in the capacity of
6 drilling, production reservoir engineering.

7 Q. And what is it that you currently do?

8 A. Currently I'm titled as operations manager.
9 Basically, I am the engineer for Chi Energy.

10 Q. You are the engineering department for your
11 company?

12 A. Yes, sir.

13 Q. All right, and where do you reside?

14 A. I reside in Midland, Texas.

15 Q. And based upon your duties and your experience,
16 have you made an engineering study of the various
17 recommendations you're proposing to the Examiner?

18 A. Yes, sir, I have.

19 MR. KELLAHIN: We tender Mr. Myers as an expert
20 petroleum engineer.

21 EXAMINER CATANACH: Mr. Myers is so qualified.

22 Q. (By Mr. Kellahin) If you'll turn to your first
23 display, sir, will you summarize for us your
24 recommendations?

25 A. Exhibit 1 [sic], what I'm trying to do is go

1 ahead and tell you what I am recommending and also provide
2 an outline for the argument that I'll make here today.

3 We are going to define the field as an associated
4 pool based on GOR information that corresponds to
5 structure. We're going to show, both in the case of gas
6 wells and oil wells, that we believe the drainage areas
7 will support reduction to 80s and 40s respectively, and we
8 believe that we have data that supports the maintenance of
9 a 5000-to-1 GOR as being beneficial to the reservoir.

10 Q. Let's turn to the next piece of information.
11 It's marked as Chi Exhibit 4. Identify for us what we're
12 looking at here.

13 A. What I've attempted to do here is back up and
14 just allow you to see the total field progress that has
15 occurred, specifically since the last hearing in this
16 field, which would have been in July of 1993.

17 Since that time there have been 15 wells drilled,
18 one of which was dry, the Savage Number 1. We have -- In
19 addition to the data supplied at that point in time, we
20 have an additional 20 months of production history on the
21 Chi-operated wells. We have specifically drilled two
22 additional wells, the Remington Number 2 and the Remington
23 Number 3.

24 We've conducted about five bottomhole pressure
25 surveys, most of them more recently. Of note relative to

1 those bottomhole pressures is that we have extended the
2 length of time from original 72-hour buildups to as much as
3 330 hours, to attempt to get a stabilized pressure. We
4 have not been able to get a stabilized pressure, so it is
5 basically time-prohibitive. And as Raj mentioned, we are
6 really kind of relegated to models to extrapolate the
7 pressures.

8 We have taken a 120-foot full core on the
9 Remington Number 3. Relative to that core we've done PVT
10 work, capillary pressure studies and mechanical core
11 studies.

12 Currently, Chi is operating one pumping oil well,
13 two flowing oil wells and three flowing gas wells at about
14 340 barrels a day, 5 million a day in gas and about 50
15 barrels of water. Cumulative to date for Chi's production
16 has been 190,000 barrels and 5.2 BCF.

17 In the lower part of that exhibit, given the
18 granting of the downsizing, we would propose that within
19 the next 12 months we would drill the Winchester 3,
20 Winchester 4, and the USA 9 Number 2, all first Bone Spring
21 tests.

22 Q. All right, sir, let's turn to the next page of
23 information, if you'll find Exhibit 5 and identify and
24 describe for us that information.

25 A. Exhibit 5 is an attempt just to briefly address

1 the issue of an associated pool. It is a plot of current
2 GOR tests as of January of 1995, with data submitted by Chi
3 to the State, as well as data submitted by OXY to the
4 State.

5 I think it clearly shows going from 452,000 GOR
6 in the Winchester Number 1, down to a band of 55,000 to
7 36,000 GOR, which are our other two gas wells, and you can
8 see the gradation of the GORs as you go down in the
9 structure.

10 Q. All right, sir. If you'll turn to Exhibit 6,
11 identify and describe that display.

12 A. Exhibit 6 is a presentation of GORs over time,
13 surface producing GORs over time, and it's meant just to
14 infer that the data that I showed you in the previous map
15 was not a one-time deal. The reservoir has behaved as a
16 reservoir with a gas cap.

17 Q. All right, let's turn to Exhibit 7. Would you
18 identify and describe that display?

19 A. Exhibit 7 is presented one time. What it is is
20 just an explanation of the methodology that I have spent
21 most -- I have relied on most.

22 It's basically a decline-curve analysis, taking
23 exponential decline of well data through November of 1994.
24 I've applied a hyperbolic fit to that data, and I have also
25 used a hyperbolic fit on data through February of this

1 year.

2 In layman's terms, it's basically conservative
3 through optimistic, is what I've tried to do.

4 Q. One of the things that you wanted to find out is
5 to calculate the drainage effects or drainage areas for
6 certain oil wells and for certain of the gas wells in the
7 pool, right?

8 A. That's correct.

9 Q. One of the methods to do that would be based
10 either on P-over-Z plots --

11 A. That's correct.

12 Q. -- or you could use them production versus time
13 to get you a recovery number and oil and gas volumes?

14 A. That is correct.

15 Q. All right. You chose not to use P over Z because
16 of what problem with the pressure data?

17 A. In the case of the gas wells, I attempted to take
18 the bottomhole pressure data that we have, extrapolate a
19 P* value for bottomhole pressures run subsequent to the
20 initial test and correct those back to an average reservoir
21 pressure.

22 The results of that P-over-Z graph for the
23 Winchester Number 1 showed approximately 2.2 BCF recovery,
24 down to, say, a 100-pound abandonment pressure.

25 Currently that well has made 1.9 BCF and is

1 producing at 1.3 million a day.

2 In my judgment that was an overly conservative
3 case.

4 Q. What did that tell you, then, about the pressure
5 you were utilizing in the display? That you didn't have a
6 built-up stabilized pressure at a sufficient period of
7 time?

8 A. Yes, that is correct.

9 Q. How long a period of shut in did you have for any
10 pressure test?

11 A. As I previously mentioned, we started -- When the
12 field development started, 72 hours was a typical buildup.
13 And I believe for the Winchester Number 1, which was the
14 first penetration of that reservoir, that was adequate.
15 There had been no production; it built up immediately.

16 Subsequent to that, we have gone as long as 330
17 hours on our buildups to try and get a stabilized pressure.

18 Q. As an engineer, what does that tell you about the
19 permeability of your reservoir?

20 A. It tells me the reservoir is very tight.

21 Q. Okay, does that give you any engineering sense
22 about what you do in terms of spacing wells in this type of
23 reservoir with such low permeability?

24 A. The sense that I have is that you increase
25 density.

1 Q. What then did you use Exhibit 7 for?

2 A. Mine aren't numbered. Is this --

3 Q. Seven is the production plot.

4 A. Okay, in both the oil and gas well cases, which
5 I'll be showing you, I used that as the primary mechanism
6 to determine drainage areas for the wells.

7 Q. All right. Let's turn to the gas drainage
8 calculations. If you'll look at Exhibit 8, it starts a
9 display that deals with the three gas wells, and there are
10 only three gas wells currently to work with, are there not?

11 A. That's correct.

12 Q. Describe for us what you did and what you
13 concluded.

14 A. Okay, the top square, if you will, includes the
15 reserve calculations for the most conservative, obviously,
16 to the most optimistic case, based on the decline curve
17 data that I showed you previously, or technique that I
18 showed you previously, and then we have the averages which
19 range from 2.1 BCF to 3.3 BCF per well.

20 What I have attempted to do next is look at the
21 gross pay and determine a relationship, an overall
22 relationship for the field between gross and net for the
23 purpose of reserve calculations. What I provide is a
24 comparison of the geologic net pay as determined by the 12-
25 percent log cutoff that both of the previous geologists

1 have discussed they used, would have resulted in an average
2 pay thickness of 130 feet for the three wells.

3 Based on the core data that we had, I derived an
4 overall 55-percent net-to-gross ratio, which I can use for
5 the entire field, and that was based on a 12-percent log
6 porosity corresponding to 9.5-percent core porosity, which
7 if you plug it into crossplots and a .05 permeability,
8 that's what you're going to come up with.

9 So on a fieldwide basis what I've assumed is that
10 we have a 55-percent net-to-gross ratio.

11 In all cases where I had the option here to
12 determine an acreage -- or a spacing -- drainage area that
13 was larger, I have assumed that those variables would be
14 the ones put into the equation. In this case we put in 107
15 feet because obviously it would support a larger drainage
16 area.

17 Q. When we look at the bottom of the first block
18 average, what are we averaging?

19 A. Pay thicknesses for the gas wells.

20 Q. What then did you do?

21 A. Basically applied material balance calculation
22 for gas reservoirs. What I've -- I've got a 33-percent
23 water saturation, which is based on capillary pressure data
24 that was performed on a core. I have a 12.8-percent
25 porosity. This is the average core porosity, excluding

1 core pay, that is, excluding the sections below 12-percent
2 log porosity. And the Bgi and the Bga assumed an
3 abandonment pressure of 400 p.s.i. and an initial pressure
4 of 2432.

5 What I'm coming up with is 632 MCF per acre-feet,
6 which corresponds to about 87-percent recovery, which I
7 think is probably legitimate.

8 Q. What did you do to convert this into a drainage
9 area?

10 A. I applied the 632 MCF per acre-feet, the average
11 pay thickness of 107 feet, and ratio'd that with the -- or
12 divided that by the total reserves that I calculated, based
13 on decline-curve analysis.

14 Q. All right, sir. If we turn to Exhibit 9, then,
15 show us the results of the calculation.

16 A. The results of those calculations show an average
17 drainage radius of anywhere from 33 to 50 acres; on a
18 single-well basis, anywhere from 16 to 71.

19 Q. All right. If we look in the far right column of
20 the information within the block and look at the Winchester
21 1, the far right number is 71.5?

22 A. Yes, sir.

23 Q. What does that represent?

24 A. That represents the most optimistic decline-curve
25 case for the Winchester Number 1, and that would be the

1 drainage radius that I would apply to that well.

2 Q. And then the Colt Number 1 drains 31.5 acres?

3 A. Yes, sir. Yes, sir.

4 Q. Typically, we're more accustomed in work before
5 the agency of seeing Bone Spring wells dedicated to 160
6 acres and occasionally seeing drainage calculations that
7 are in that range.

8 What accounts, in your opinion, for the fact that
9 drainage areas in Bone Springs are only in this 32- to 50-
10 acre range?

11 A. Clearly it's a height issue. The formation is
12 much thicker than the formations that we're typically used
13 to dealing with.

14 Q. Have you satisfied yourself to a reasonable
15 engineering degree of accuracy that you're working with an
16 appropriate height factor in the calculations?

17 A. Yes, sir, I have.

18 Q. All right, sir. What then is your recommendation
19 concerning the gas spacing that's appropriate for the
20 remaining producing life of the pool?

21 A. My recommendation is to downspace to 80 acres.

22 Q. Let's turn now to how you've approached the oil-
23 well spacing issue, and if you'll look at Exhibit 10, tell
24 us how you've set up the spreadshseet and then lead us
25 through your work.

1 A. Okay, similar-type situation. What I've done in
2 this case is actually combine the Remington Federal Number
3 1 and Number 2 for the sake of simplicity.

4 What it shows is that those two wells combined
5 will produce between 155,000 and 320,000 barrels of oil.

6 The second graph is similar to the one -- or the
7 second box is similar to the one I showed you with the gas
8 wells. Basically we come up with 116 feet of pay, based on
9 the geologic cutoff and 125 feet based on a net-to-gross
10 ratio of 55 percent.

11 What I've then done in the final box -- In
12 between those two boxes what I did was investigate the
13 literature, basically looking at typical solution gas drive
14 reservoir recovery factors, one of which is classic
15 material balance, taking your endpoints.

16 The second method that I used was an Arp's,
17 basically calculation tables, which gave me a 22-percent
18 recovery factor. There are nomographs that, if you apply
19 the proper inputs, will give you about 24-percent recovery
20 factor, and API has a formula which will give you 26.

21 The end result is, the range is from 22 to 32
22 percent.

23 Based on that, and an initial oil in place of
24 about 430 barrels per acre-foot, what we're seeing is
25 drainage radiuses on the order of four to 15 acres.

1 Q. What's then your recommendation on the
2 appropriate oil well spacing for the remaining producing
3 life of the pool?

4 A. My recommendation is to downspace to 40 acres.

5 As a -- I'll interject one thing. The final
6 number on there is more of a reality check. What I wanted
7 to do was calculate what recovery factor we would have to
8 have in the reservoir to equal a 40-acre spacing, given all
9 the other data supplied. And the bottom line is that we
10 come up to about a 7- or 8-percent recovery factor to
11 justify 40-acre spacing.

12 Q. All right, sir. Let's turn to the next display;
13 it's Exhibit 11. What is that, and why are we looking at
14 it?

15 A. This is a two-part exhibit. What -- It is a plot
16 of the P*'s associated with all of the buildups that we
17 have done, and also my calculation of the P*'s of two wells
18 that -- OXY's wells that we traded data on.

19 My believe is that the P*'s on initial completion
20 are legitimate measures if they're run for a long-enough
21 length of time of bottomhole pressure. Subsequent data is
22 suspect after production.

23 The items in red are the dates and the pressures
24 next to the wells in which the tests were performed.

25 Q. How is this information of use to us in this

1 hearing?

2 A. Okay, this is a two-part -- I'm going to use this
3 in two parts. One is to support the argument for 40-acre
4 spacing in oil, and with regards to that we see the
5 original bottomhole pressure of 2440 in the Winchester
6 Number 1, the first penetration of the reservoir.

7 The Remington Number 2 bottomhole pressure, which
8 was run only for 72 hours, was roughly 2200 pounds, 2177.

9 OXY's two wells show bottomhole pressures of 2300
10 to 2378. This is after the production from the Winchester
11 Number 1. I think that was what? 24 months, we had 24
12 months of production -- We've had 24 months of production
13 from the Remington 1 and 24 months of production from the
14 Remington Number 2.

15 We drilled the Remington Number 3 in July of last
16 year and came up with basically what I would consider to
17 be, within engineering accuracy, an original bottomhole
18 pressure. That well, by virtue of the way the wells around
19 it had been spaced, was essentially an infill 40.

20 Therefore, my conclusion based on this data is
21 that we have not, based on prior production, affected any
22 pressure drainage in this portion of the reservoir. And it
23 would further support, in my opinion, the development of
24 the oil wells on 40-acre spacing.

25 Q. All right, sir. Let's turn now to Exhibit 12.

1 A. Actually, we probably need to skip to Exhibit 13.

2 Q. All right, let's do that.

3 A. I think they're out of order.

4 Q. Yes, sir, let's do 13 first and then come back to
5 12.

6 A. Okay, related to the gas-oil ratio issue, I think
7 the fact that the -- I'll refer you back to the bottomhole
8 pressure graph before we jump to the GOR graph.

9 The fact that the pressure was original also
10 would infer to me that we had not negatively swept this
11 region with gas as being pushed down from a gas cap, based
12 on the 5000-to-1 GOR that we have been limited by today.

13 The second plot is a plot of cumulative GOR over
14 time for the two oil wells that we have on our lease. My
15 belief is that that supports the fact that the GOR has
16 remained relatively constant.

17 What I would expect to see in a solution gas cap
18 drive reservoir, if damage was being done to the reservoir,
19 is, I would expect that GOR to start going through the
20 roof, as my gas started breaking out and my relative
21 permeability to gas increased so much that I started
22 leaving my oil in the ground.

23 Q. Do you see that here?

24 A. I do not see that here.

25 Q. Would you also see if you were pulling the gas

1 out -- Well, describe for me the relationship and the
2 expansion of the gas cap. How would you be seeing that if
3 you were producing the reservoir too quickly? Is there a
4 relationship there?

5 A. In a typical homogeneous reservoir, if I was
6 producing it too quickly, I would be expecting two things.
7 One is, I would be expecting my gas cap to be expanding.
8 And I would expect that gas cap expansion to start
9 affecting my oil wells downdip at some point in time, based
10 on their proximity to the original gas-oil contact.

11 Secondly, I would expect more and more gas to
12 start -- at some point in time, more and more gas to start
13 breaking out of my oil wells, causing the effect that I
14 just discussed.

15 Q. Here you have evidence to the contrary, do you
16 not?

17 A. I do not see those effects present, no, I do not.

18 Q. All right, sir, take us back to 12, then. What
19 does that show us?

20 A. 12 is basically a summary of where we will be
21 under adoption if the new rules are adopted, primarily from
22 Chi's point of view.

23 Our current allowables are 1110 barrels of oil a
24 day, 8.8 million cubic feet of gas.

25 Under adoption of the new rules, initially our

1 allowable will be 852 barrels of oil, 6.4 million cubic
2 feet of gas.

3 Subsequent to drilling the three wells that I
4 previously mentioned, we will basically be back on square
5 one. We'll be at roughly 1.3 million cubic feet of gas and
6 8.5, as compared with 1.1 and 8.8 right now.

7 Q. So what's the resulting opportunity to Chi that
8 you currently don't have under the existing rules?

9 A. The specific opportunity that we have available
10 to us under the new rules would be to drill the two
11 additional oil wells on the Winchester lease.

12 Q. Do you believe the rule changes can be made, plus
13 maintaining the 5000-to-1 gas-oil ratio, without causing
14 reservoir waste or without adversely affecting correlative
15 rights?

16 A. Yes, sir. Yes, sir, I do.

17 Q. Let's look, then, at Exhibit 14.

18 A. Exhibit 14 is a summary of what hopefully I've
19 discussed to this point. Basically we believe it is an
20 associated pool with a GOR varying from structure from
21 anywhere from 400,000 to 2000 standard cubic feet per
22 barrel.

23 The 80-acre gas well spacing is supported by
24 calculations which show drainage radiuses on the order of
25 32 to 50 acres.

1 We believe that 40-acre oil well spacing is
2 supported by our drainage calculations of 5 to 14 acres, by
3 a reasonableness test saying that 8-percent recovery is
4 what would be required to justify a 40-acre spacing and the
5 fact that our bottomhole pressure on the Remington 3 was
6 very near original.

7 I believe that we hopefully have supported the
8 case that the 5000-to-1 GOR limitation to date has not been
9 detrimental to the reservoir, and the current production
10 data would suggest that we should continue with that ratio.

11 Q. In addition, with your conversations with OXY USA
12 personnel, have you also discussed this proposed rule
13 change with the other operator in the pool?

14 A. We have discussed it with Mewbourne and --

15 Q. Have you obtained their written concurrence and
16 recommendation for supporting these rule changes?

17 A. Yes, we have, and that is the final exhibit.

18 Q. And that's Exhibit 15?

19 A. Yes, sir.

20 MR. KELLAHIN: Mr. Examiner, that concludes my
21 examination of Mr. Myers.

22 We move the introduction of his Exhibits 3
23 through 15.

24 EXAMINER CATANACH: Exhibits 3 through 15 will be
25 admitted as evidence.

1 MR. CARR: No questions.

2 EXAMINATION

3 BY EXAMINER CATANACH:

4 Q. Just a couple, Mr. Myers.

5 Do you agree with the reservoir simulation that
6 was presented by OXY?

7 A. I believe that the simulation appears to be -- to
8 have merit. I am not overly familiar with reservoir
9 simulations, so I'll qualify that.

10 Q. Changing the pool rules will allow you to drill
11 -- was it two oil wells and one gas well, or three oil
12 wells?

13 A. It will allow us to drill two oil wells
14 initially. I believe it does allow us for an additional
15 gas well.

16 Right now we haven't thought too much about gas
17 wells, simply because gas price is pretty poor.

18 Q. Drilling these two oil wells, that's basically
19 going to increase substantially your gas recoveries and not
20 so much your oil; is that your opinion?

21 A. I think it will increase our oil recoveries more
22 so than gas.

23 EXAMINER CATANACH: I don't have any more
24 questions of the witness.

25 MR. KELLAHIN: That concludes our presentation,

1 Mr. Examiner.

2 EXAMINER CATANACH: Mr. Carr, anything further?

3 MR. CARR: Nothing further, Mr. Catanach.

4 EXAMINER CATANACH: Would you gentlemen like to
5 collaborate on a rough order or submit your own each in
6 this case?

7 MR. KELLAHIN: We'll have to negotiate the ground
8 rules for the collaboration, Mr. Examiner, but I believe
9 that in the spirit of good will and accommodation to your
10 desires we might be able to get along to do that.

11 MR. CARR: We'll see.

12 EXAMINER CATANACH: Okay. There being nothing
13 further in this case, Case 10,556 will be taken under
14 advisement.

15 (Thereupon, these proceedings were concluded at
16 3:28 p.m.)

17 * * *

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.


I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL March 9th, 1995.


 STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 10536, heard by me on March 2 1995.


 , Examiner
 Oil Conservation Division
 STEVEN T. BRENNER, CCR
 (505) 989-9317

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEW MEXICO OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
STATE OF NEW MEXICO
CASE NO. 10556

IN THE MATTER OF:

The Application of Chi Energy,
Inc., for Special Pool Rules,
Eddy County, New Mexico

BEFORE:

DAVID R. CATANACH
Hearing Examiner
State Land Office Building
September 17, 1992

REPORTED BY:

CARLA DIANE RODRIGUEZ
Certified Shorthand Reporter
for the State of New Mexico

COPY

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN, P.C.
Post Office Box 2265
Santa Fe, New Mexico 87504-2265
BY: **W. THOMAS KELLAHIN, ESQ.**

FOR MEWBOURNE OIL COMPANY:

HINKLE, COX, EATON, COFFIELD & HENSLEY
218 Montezuma Street
Post Office Box 2068
Santa Fe, New Mexico 87504-2068
BY: **JAMES G. BRUCE, ESQ.**

I N D E X

1			
2			Page Number
3	Appearances		2
4	WITNESSES FOR THE APPLICANT:		
5	1. MICHAEL D. HAYES		
6	Examination by Mr. Kellahin		5
7	2. ROBERT LEE		
8	Examination by Mr. Kellahin		13
9	Examination by Mr. Catanach		30
10	Certificate of Reporter		39

E X H I B I T S

11			Page Marked
12	Exhibit No. 1		6
13	Exhibit No. 2		8
14	Exhibit No. 3		11
15	Exhibit No. 4		16
16	Exhibit No. 5		17
17	Exhibit No. 6		18
18	Exhibit No. 7		21
19	Exhibit No. 8		23
20	Exhibit No. 9		27
21	Exhibit No. 10		36
22			
23			
24			
25			

1 EXAMINER CATANACH: At this time we'll
2 call Case 10556.

3 MR. STOVALL: Application of Chi
4 Energy, Inc., for special pool rules, Eddy
5 County, New Mexico.

6 EXAMINER CATANACH: Are there
7 appearances in this case?

8 MR. KELLAHIN: Mr. Examiner, I'm Tom
9 Kellahin of the Santa Fe law firm Kellahin &
10 Kellahin, appearing on behalf of the Applicant,
11 and I have two witnesses to be sworn.

12 EXAMINER CATANACH: Additional
13 appearances?

14 Will the two witnesses please stand to
15 be sworn in.

16 [The witnesses were duly sworn.]

17 MR. BRUCE: I'm Jim Bruce of the Hinkle
18 Law Firm in Santa Fe, representing Mewbourne Oil
19 Company, and I have no witnesses.

20 **MICHAEL D. HAYES**

21 Having been first duly sworn upon his oath, was
22 examined and testified as follows:

23 EXAMINATION

24 BY MR. KELLAHIN:

25 Q. Mr. Hayes, for the record would you

1 please state your name and occupation.

2 A. Michael D. Hayes. I'm a geologist with
3 Chi Energy.

4 Q. Have you testified as a petroleum
5 geologist before the Division on prior occasions?

6 A. Yes, I have.

7 Q. Pursuant to your employment, have you
8 made a geologic study of what is identified on
9 the docket as the Old Millman Ranch Bone Springs
10 Pool?

11 A. Yes, I have.

12 Q. Have you completed that study and
13 reached certain conclusions about that reservoir?

14 A. Yes, I have.

15 Q. As part of your study and that of other
16 consultants and employees of Chi Energy, what is
17 it that you're seeking to accomplish with this
18 application?

19 A. We're asking for a GOR increase of
20 20,000-to-1.

21 Q. When we look at this pool as currently
22 designated by the Division, how many wells
23 currently produce in the pool?

24 A. There are three wells that have been
25 drilled and completed in the Bone Springs. Two

1 of them are currently capable of production. One
2 of them is temporarily abandoned or shut in at
3 this time.

4 Q. Are there additional drilling
5 activities occurring along the boundary and
6 within a mile of the current pool?

7 A. Yes, there are.

8 Q. Does Chi propose to drill any of those
9 wells?

10 A. Yes, we're planning on drilling a well
11 in the west half or the northwest quarter of
12 Section 3.

13 MR. KELLAHIN: At this time, Mr.
14 Examiner, I tender Mr. Hayes as an expert
15 petroleum geologist.

16 EXAMINER CATANACH: Mr. Hayes is so
17 qualified.

18 Q. Have you made a geologic investigation
19 to satisfy yourself that the existing wells in
20 the pool are correlative, one to another, within
21 the pool?

22 A. Yes.

23 Q. Let me have you turn to what is marked
24 as Exhibit No. 1. Would you identify that for
25 us, please?

1 A. Exhibit 1 is a stratigraphic
2 cross-section with the datum as the top of the
3 First Bone Springs Sand.

4 Q. Is this an exhibit you prepared?

5 A. Yes, it is.

6 Q. Does this display show the entire
7 vertical limits of the pool?

8 A. It shows the entire vertical limits of
9 the First Bone Springs Sand, yes.

10 Q. Find a well that we can use as a type
11 well, and I would have you describe, then, the
12 approximate top and bottom of the pool.

13 A. Okay. I'll use what is now marked on
14 here as the Pennzoil Winchester Fed No. 1 but
15 it's now the Chi Energy No. 1. It's located in
16 the northeast quarter of Section 4. The First
17 Bone Springs Sand section runs from approximately
18 6140 feet to about 6310 feet as the gross
19 interval.

20 Q. What is the primary producing sand
21 within the vertical limits of the pool?

22 A. It is the First Bone Springs Sand.

23 Q. Each of the three wells that are
24 currently completed in that pool are producing
25 from the First Bone Springs?

1 A. Yes, they are.

2 Q. Let's come back to this display in just
3 a minute, but let me have you identify Exhibit
4 No. 2.

5 A. Exhibit 2 is a structure map that is
6 based on the top of the First Bone Springs Sand.
7 And it has a contour interval of a hundred feet
8 on it.

9 Q. We'll come back to 2. Let's go to 3
10 and identify No. 3.

11 A. That's an isopach map of the net pay
12 within the First Bone Springs Sand and I've used
13 a pay cutoff of 12 percent density porosity as a
14 cutoff, and the constraint interval is 20 feet.

15 Q. Exhibits 1, 2 and 3 were all prepared
16 by you?

17 A. Yes.

18 Q. This represents your work product?

19 A. Yes.

20 Q. Using Exhibit 2 as a reference map to
21 see the line of the cross-section, can you
22 conclude, from an examination of the
23 cross-section, that you have sufficient reservoir
24 continuity as you move from one well to the next?

25 A. Yes, it appears to be good reservoir

1 continuity.

2 Q. That continuity is established in the
3 First Bone Springs member of the pool?

4 A. Yes.

5 Q. Give us a quick review of the
6 cross-section, then, and lead us through the
7 correlation.

8 A. The cross-section, A - A' basically
9 runs through the heart of the field from the
10 south part of Section 8 to the south part of
11 Section 3. The three key wells that are
12 completed within the First Bone Springs Sand are
13 marked with a circle on Exhibits 2 and 3.

14 The cross-section shows the gross
15 interval of the First Bone Springs Sand and has
16 the perforated interval put on the
17 cross-section. The Mewbourne FB No. 2 has a
18 perforated interval of approximately 6038 feet to
19 6131 feet. It goes over to the Strata Aquila Fed
20 which is perforated from 6140 to 6250 feet, and
21 the Chi Winchester Fed No. 1, which is perforated
22 from 6146 to 6300 feet.

23 Q. Looking at Exhibit 2 now, let's
24 identify, so that we can keep track of them, the
25 three wells in the pool, starting in Section 8

1 with the Mewbourne well.

2 A. The completed well is the well in the
3 northwest of the northeast of Section 8.

4 Q. As you move, then, to the next well in
5 the pool in the southwest quarter of 4?

6 A. That's correct. That's in the
7 northwest of the southwest of 4.

8 Q. That's the Strata well?

9 A. Yes.

10 Q. They call it the Aquila?

11 A. Aquila Fed.

12 Q. The Chi well is located where?

13 A. In the southeast of the northeast of
14 Section 4.

15 Q. Looking at the structure map, Exhibit
16 No. 2, describe for us the conclusions concerning
17 structure, in terms of the relationship of the
18 three producing wells, one to another.

19 A. The three key wells lie roughly on
20 strike to one another. The Mewbourne well is
21 approximately 100 feet updip from both the Aquila
22 Fed and the Chi Winchester Fed No. 1. The wells,
23 like I said, are basically on strike to one
24 another.

25 Q. Geologically, can you support the

1 conclusion that these wells, in fact, are
2 producing from the same common source of supply?

3 A. Yes.

4 Q. Let's look at the isopach, Exhibit No.
5 3.

6 A. Okay.

7 Q. Identify and describe your geologic
8 conclusions about the isopach.

9 A. What I've shown here again is a net
10 porosity greater than 12 percent, density
11 porosity greater than 12 percent. The Mewbourne
12 FB No. 2 has approximately 80 feet of net pay
13 which I would consider a good, quality
14 reservoir.

15 The Strata Aquila Fed has 18 feet of
16 net pay, a much poorer quality reservoir, and the
17 Chi Winchester Fed has approximately 80 feet of
18 pay. So the Winchester Fed and the Mewbourne FB
19 2 are approximately the same reservoir quality.

20 If I can refer back to the
21 cross-section, the maximum porosities for the
22 Mewbourne and the Chi wells are the same in that
23 their maximum porosity is around 20 percent;
24 whereas on the Strata well, the maximum porosity
25 within the reservoir is approximately 14 percent.

1 Q. Using Exhibit No. 3, identify for us
2 the probable additional wells that will be
3 drilled and added to the pool.

4 A. At the moment, our intent for the next
5 well will be in the southwest of the northwest of
6 Section 3.

7 Q. That's where you have the well location
8 symbol on the display?

9 A. That's correct. And if I can refer you
10 back to No. 2, it shows roughly our acreage
11 position as we have there. Our next subsequent
12 well possibly would be a well in the northwest of
13 the southwest of Section 3, to be followed by a
14 well probably in the northeast of the southeast
15 of Section 4, depending on how things develop.

16 Q. Statewide oil spacing on 40 acres
17 applies to production from the reservoir?

18 A. That's what I understand, yes.

19 Q. From a geologist's perspective, do you
20 see any adverse consequences if the gas-oil ratio
21 is increased from the statewide 2,000-to-1 to the
22 requested 20,000-to-1?

23 A. I don't see any at this time, no.

24 MR. KELLAHIN: That concludes my
25 examination of Mr. Hayes. We move the

1 introduction of his Exhibits 1, 2 and 3.

2 EXAMINER CATANACH: Exhibits 1, 2 and 3
3 will be admitted as evidence.

4 Mr. Bruce, do you have any questions?

5 MR. BRUCE: No questions.

6 EXAMINER CATANACH: I don't believe I
7 have any questions at the moment.

8 MR. KELLAHIN: I would like to call Mr.
9 Robert Lee at this point.

10 **ROBERT LEE**

11 Having been first duly sworn upon his oath, was
12 examined and testified as follows:

13 EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Mr. Lee, would you please state your
16 name and occupation?

17 A. My name is Robert Lee. I'm the
18 production manager for Siete Oil & Gas in
19 Roswell, New Mexico.

20 Q. Are you acting today as an engineering
21 consultant for Chi Energy with regards to this
22 particular property?

23 A. Yes, I am.

24 Q. Pursuant to that employment, what is it
25 that you've done concerning the request to

1 increase the gas-oil ratio in the reservoir?

2 A. We have examined the production data
3 from their well, the offset wells, prepared some
4 graphs, exhibits for you to look at today. We've
5 ran some PVT data which shows that the fluid in
6 the reservoir is a gas.

7 Q. Have you, on prior occasions, testified
8 before the Division as a reservoir engineer?

9 A. Yes, I have.

10 Q. And based upon the data that's been
11 made available to you, are you able to reach
12 certain engineering conclusions with regards to
13 the gas-oil ratio that's appropriate for this
14 reservoir?

15 A. Yes, I am.

16 MR. KELLAHIN: We tender Mr. Lee as an
17 expert reservoir engineer.

18 EXAMINER CATANACH: Mr. Lee is so
19 qualified.

20 Q. When a reservoir engineer such as you,
21 Mr. Lee, commences a study to determine what is
22 an appropriate gas-oil ratio for the reservoir,
23 what kind of information do you want to have
24 available to you so that you can make the best
25 possible conclusions about that reservoir?

1 A. I like to look at the production data,
2 especially if he can have production data with
3 different choke sizes or variable rates to see if
4 the gas-oil ratio goes up with increased
5 production, which it does not in this instance.

6 I like to have some PVT data to see
7 what the fluid is in the reservoir and how that
8 fluid behaves over time, and look at the offset
9 production from the other wells, if it's
10 available, to see if our reservoir is behaving
11 the same as theirs.

12 Q. How definitive is it to a reservoir
13 engineer to have PVT data?

14 A. Very much so. It's telling you what
15 goes on down hole in the reservoir.

16 Q. Do you have PVT data for this
17 reservoir?

18 A. Yes, we do.

19 Q. From what well were the fluid samples
20 taken in which the PVT data was analyzed?

21 A. From Chi's Winchester No. 1.

22 Q. What have you ultimately concluded
23 about the reservoir, in terms of whether or not
24 this is an oil reservoir, an oil condensate
25 reservoir, a gas reservoir? What is your

1 conclusion?

2 A. It's a gas reservoir with a little bit
3 of condensate. Very little. Based on the PVT
4 data, you saw that the dew point, the point at
5 which liquid starts to drop out of the gas, was
6 4900 pounds, and even through the depletion of
7 the reservoir, the maximum liquid build-up was
8 only .66 percent less than seven-tenths of one
9 percent. So, it indicates it's definitely a gas
10 reservoir.

11 Q. Do you see any definitive scientific
12 data to support the conclusion that this is an
13 oil reservoir?

14 A. No.

15 Q. Do we do any harm to the reservoir by
16 leaving hydrocarbons that you might otherwise
17 recover in the reservoir, by increasing the
18 gas-oil ratio?

19 A. Not in this instance. The liquids that
20 are left are minuscule, and you won't be damaging
21 anything by increasing the amount of gas you can
22 produce here.

23 Q. Take me through the exhibits that
24 you've compiled to present in support of your
25 conclusion, starting with Exhibit No. 4.

1 A. Okay. Exhibit No. 4 is merely a gas
2 analysis that was done by Laboratory Services on
3 the gas from the Winchester Federal No. 1.

4 Q. Why is this of any use to you?

5 A. It's useful to compare what was sampled
6 here to what we have on our PVT data to make sure
7 they're fairly comparable, that the composition
8 of the gas hasn't changed drastically from when
9 the well was tested, from when we caught our PVT
10 sample.

11 Q. Turn now to Exhibit No. 5. Identify
12 and describe that information.

13 A. This is tabular data from the two
14 offset producing wells, the Mewbourne Federal V
15 and the Strata Aquila Federal. What we've shown
16 here, Mr. Examiner, is the monthly oil and gas
17 production that was reported on the C-115s.

18 You can see that the Federal V has a
19 GOR, towards the end of the time it was producing
20 in excess of 100,000-to-1. Very gassy. The
21 Aquila, which is only three feet difference in
22 structure from the Winchester well, has a much
23 lower GOR, only 12--well, in one month they had
24 22,000.

25 It looks very nominal compared to

1 production from the Winchester well, which is
2 three feet lower than this one here, like I
3 said. We have doubts as to whether the Aquila
4 production is as good in numbers as what we're
5 getting off our Winchester right now. The GOR is
6 a little strange.

7 Q. Let's set aside as an anomaly, then,
8 the Aquila production information, and have you
9 now turn to the Exhibit 6 and let's look at the
10 Chi Winchester Federal No. 1 production data.

11 A. Exhibit 6 is a tabulation of the data
12 of the production from the Winchester well. You
13 can see that it came on line August 27th.

14 Plotting oil and gas and then
15 calculating GOR for the days it's been on, you
16 can see that the GOR initially was running 40 to
17 60 standard cubic feet per barrel. In the last
18 week and a half or so, it's kind of settled down
19 into the 27 to 30,000 range there. Once again, a
20 little higher than the Aquila and a little less
21 than the Federal V.

22 Q. When you compare the Mewbourne Federal
23 5, which is currently 127,000 cubic feet to one
24 barrel of oil, and look at the Winchester federal
25 for a comparable period of time, we can't make a

1 straight correlation there, we're off on the
2 interval, but there's a difference in the gas-oil
3 ratio. What's the explanation?

4 A. If you look at the average gas-oil
5 ratio for production that we have for the
6 Winchester well, say for these about 20 days,
7 compared to the production from the federal--from
8 Mewbourne's well, say, the first month that it
9 produced, they had a GOR of about 40,000 and our
10 GOR is about 37,000.

11 The Mewbourne well GOR went up over
12 time, and we're not sure as to why that was. We
13 don't have a lot of access to the production data
14 from the Mewbourne well. But it's not to say
15 that our well won't behave perhaps comparably to
16 their well. The GOR may be higher than what we
17 have here.

18 Q. Does the production data you have for
19 the Mewbourne well, fit with the results of the
20 PVT data?

21 A. Yes, it does.

22 Q. Does the production data from the Chi
23 Winchester Federal 1 well fit the other data,
24 including the PVT data?

25 A. Yes, it does.

1 Q. The Aquila Federal well doesn't fit,
2 the production doesn't match what we would expect
3 to see in the reservoir, using the PVT data?

4 A. No, it doesn't. Their GOR is quite a
5 bit lower than what you would expect from the PVT
6 data and from the production data from the two
7 offset wells.

8 Q. Is there any explanation that you can
9 provide us that might explain why the reported
10 volumes of gas and oil for that well may not
11 necessarily represent the true gas-oil ratio for
12 that well?

13 A. Yes. When Strata first produced this
14 well, there was no low pressure gas line in the
15 area. And Mewbourne set a compressor to sell
16 their gas, so their measurements of the gas were
17 much better than measurements or estimates that
18 Strata were probably making on their Aquila well.

19 Q. As a reservoir engineer, when you deal
20 with facts that, one, don't fit with all the
21 rest, what do you do?

22 A. You don't give it much credit. You
23 exclude it.

24 Q. And the mechanics of how the well would
25 have been produced may explain the fact that the

1 gas may have been underreported?

2 A. That's correct.

3 Q. Let's turn to the other information
4 that you've used, and have you identify for us
5 Exhibit No. 7.

6 A. Exhibit No. 7 is a graphical plot of
7 the production and the GOR from the Winchester
8 No. 1. The left-hand scale, going from zero to
9 120, represents the barrels of oil per day and
10 the GOR in Mcfs per barrel.

11 The scale on the right-hand side
12 represents the gas production per day in Mcf.
13 The line with the little dots on it, that's our
14 oil production. You can see that it goes from 30
15 barrels a day up to about 90 barrels a day at the
16 end.

17 The line with the little plus signs on
18 them is the gas production. You can see that
19 it's running above the oil curve going from a
20 little less than 1.5 million a day up to a little
21 over two and a half million a day.

22 The line with the diamonds on it is the
23 gas-oil ratio line. It's interesting to notice
24 here that the gas-oil ratio, when we first
25 brought the well on, was a little higher--jumping

1 around a little bit, more so than it was, say, on
2 the last half of the plot, indicating that the
3 well has stabilized and has kind of lined out to
4 a stable GOR.

5 Q. In the later portion of the plot, the
6 gas-oil ratio drops with increasing producing
7 rates?

8 A. That's correct.

9 Q. What does that tell you?

10 A. We were able to get a consistent choke
11 setting there, keep the choke on the same setting
12 all the time without it freezing up. We had a
13 lot of problems early on in the well with the
14 choke freezing up. We got the problems resolved
15 and, with the GOR stabilizing there, it's
16 indicating to me that the reservoir flow into the
17 well has stabilized.

18 Q. Is it much more efficient to produce
19 this well at higher rates that will--

20 A. Absolutely. Absolutely. Because as we
21 produce it at a higher rate, we're recovering
22 more oil, as is shown by the lower GOR and more
23 gas, and there's nothing there to indicate that
24 I'm damaging anything or leaving reserves
25 behind.

1 What I would be afraid of seeing would
2 be if I was to really open it up, the gas stream
3 way up, oil fall off to nothing, saying that I'm
4 blowing out a little of free gas. But based on
5 the production characteristics of this well and
6 the PVT data, we know that's not going to be the
7 case.

8 Q. Is the date of August 27th the date of
9 first production on the Winchester Federal No. 1
10 well?

11 A. Yes.

12 Q. Is it your recommendation to commence
13 the change in gas-oil ratio to 20,000-to-1 based
14 upon the date of first production of the
15 Winchester well?

16 A. Yes, it is.

17 Q. Do you see any reason not to do that?

18 A. No, not at all.

19 Q. Let's turn now to Exhibit No. 8.

20 Identify and describe that display.

21 A. This is a plot of the gas rate versus
22 the oil rate, and I've kind of drawn a line or a
23 trend through the data. It shows that it's a
24 passe 1,500-to-1. I have pretty straight line
25 there.

1 The interesting thing to notice here,
2 what I was trying to do with this, Mr. Examiner,
3 was to come up with what kind of oil rate could I
4 expect if the gas were held at the current
5 allowable of 2,000-to-1.

6 Q. Let's find that point on the horizontal
7 scale.

8 A. Right.

9 Q. If you look at the zero point and take
10 it up to the 500, halfway between that line is
11 the 2,000-to-1 gas-oil ratio?

12 A. That's correct. So, at that point, it
13 came up to our trend line that you see there.
14 You would be making about three to five barrels a
15 day. And obviously with Chi drilling another
16 well right now, being held at three barrels a day
17 and 240 Mcf, is unreasonable.

18 Q. It's going to leave condensate in the
19 reservoir, and it's going to be to the impairment
20 of Kaiser's ability to produce hydrocarbons?

21 A. Exactly. It wouldn't be an economic
22 project and we can't develop the reserves.

23 Q. As we move up the curve, can you
24 approximate for us what is the most efficient or
25 optimum rate at which to produce the well?

1 A. Actually, it's difficult to do on the
2 data that we have. Obviously we have not reached
3 that point yet. Right now we're making about
4 2.6, 2.8 million a day. That doesn't appear to
5 be hurting anything.

6 What I would envision is that this
7 curve is going to come up and flatten out at some
8 point at what I would deem to be the optimum
9 rate. We'll just watch the gas liquid ratios.
10 We have certain facility constraints right now
11 that prevent us from doing more than what we're
12 doing right now. Once we get those facilities
13 expanded, we'll be wanting to produce this well
14 at higher rates to find an optimum rate.

15 Q. Based upon the current test
16 information, can you tell us at least what is the
17 current maximum gas-oil ratio that we can
18 effectively produce these wells at?

19 A. Right now, what we see on our current
20 production, the 20,000-to-1 will be all we can
21 handle right now, and it will be good enough for
22 right now. It would be advantageous to have
23 something higher than that for down the road,
24 once we get our facilities.

25 Q. I didn't make myself clear.

1 A. I'm sorry.

2 Q. Set aside the constraints on handling
3 the volume of gas.

4 A. Uh-huh.

5 Q. When we look at the performance
6 characteristics of the well, not limited by the
7 ability to move the gas, what do you see now as
8 at least the minimum gas-oil ratio that's
9 efficient?

10 A. 20,000-to-1.

11 Q. In fact, on the curve you can justify
12 more than that, can't you?

13 A. That's right, because that's where we
14 are today.

15 Q. Is this a permanent solution for the
16 reservoir, simply to increase the gas oil ratio
17 to 20,000-to-1?

18 A. No.

19 Q. What is your recommendation as to what
20 we should do?

21 A. I think it needs to be deemed to be a
22 gas reservoir, a gas pool, instead of an oil
23 pool.

24 Q. Is there any additional information or
25 data that you need to gather as a reservoir

1 engineer to make yourself comfortable in reaching
2 that ultimate conclusion?

3 A. I don't believe so. I believe that the
4 PVT data that we have in hand now demonstrates
5 that and says it's a gas reservoir.

6 Q. Let's turn to the PVT data.

7 A. All right.

8 Q. That's marked Exhibit No. 9?

9 A. Yes, it is.

10 Q. Without giving us all the nuts and
11 bolts of this thing, give us the high spots.
12 Starting off with the protocol, the sampling of
13 the fluids, and whether or not you're satisfied
14 as a reservoir engineer that that was done
15 properly.

16 A. Yeah. In order to catch the PVT
17 analysis, these were separator samples caught up
18 to surface and not downhole samples. As you read
19 through here, Mr. Examiner, you'll see that there
20 were samples collected on two different days.
21 Samples were caught on 9/9/82, taken back to the
22 lab, the gas samples were okay but the liquid
23 samples had too much water in them; so they had
24 to go back out on 9/11 and catch liquid samples
25 again. Those were sufficient and adequate.

1 Q. Prior to catching the PVT sample, you
2 want to properly condition the well and make sure
3 it's a stable flow, try to ensure that the fluid
4 in the reservoir is representative of what is,
5 say, coming out the tubing.

6 I do believe, of course, being a
7 reservoir engineer you probably never condition a
8 well for as long as a reservoir engineer wants it
9 conditioned, but in this instance I do believe
10 that we did reach stable flow, and for several
11 reasons: The GOR is indicative that it was
12 stabilized. Being a very new well like this, the
13 amount of time to condition a well is very small,
14 for a gas reservoir such as this. Probably a day
15 or so is adequate.

16 Usually, when you condition a well, you
17 start out at a higher rate and lower the rate
18 until you reach the lowest rate at which the
19 gas-oil ratio is not changing, but you also have
20 to have that rate high enough to where it's not
21 slugging or hitting liquids. That was also
22 achieved. I believe that's one of the reasons
23 that the GOR, during the first half here on the
24 plot on Exhibit 7, is rather erratic because we
25 had trouble getting the choke opened up enough to

1 where we could get stable flow.

2 Finally, probably on about 9/7, the
3 choke gets opened up; we're able to achieve
4 stable flow. It's flowing continuously then and
5 not slugging in heading.

6 One of the reasons to reduce flow,
7 generally, when you condition a well, is to
8 prevent the tremendous draw-down at the reservoir
9 face and drop out a bunch of liquids. I don't
10 believe that that's the case here. The original
11 reservoir pressure was 2400 pounds. Flowing
12 tubing pressure is 1700 pounds. There's not that
13 much draw-down, by the time you calculate that
14 back to the surface, to the reservoir face; plus
15 the PVT data says that there's virtually no
16 liquids dropping out at that range of pressures.
17 And that is kind of how the well is conditioned
18 and why there were two samples collected.

19 One of the high points of the report,
20 on page 1, paragraph 3, it talks about taking
21 small quantities of the reservoir fluid into a
22 windowed cell. In there it says the dew point
23 was 403--I think 4903 psig, and that the maximum
24 percent of liquid condensation build-up was only
25 .66 percent of the total volume of the sample in

1 the cell, which shows that the fluid is behaving
2 as a gas, in the entire PVT analysis.

3 That analysis is shown on page 8, the
4 very last page. You can see the pressures,
5 relative volume of gas and the liquid volume
6 percent that dropped out. And that's pretty much
7 it.

8 Q. In summary, what is your ultimate
9 recommendation to the Examiner with regards to
10 the application?

11 A. I would recommend that we be granted
12 the--it would deny us to have it being a gas
13 pool. I know the order hasn't maybe asked for
14 that, but at least today, at least get it to
15 20,000-to-1 so that we can continue to produce
16 the well at the existing rates.

17 MR. KELLAHIN: That concludes my
18 examination and presentation of Mr. Lee and his
19 exhibits. We would move the introduction of
20 Exhibits 4 through 9.

21 EXAMINER CATANACH: Exhibits 4 through
22 9 will be admitted at evidence.

23 EXAMINATION

24 BY MR. CATANACH:

25 Q. Mr. Lee, are there similar Bone Springs

1 Pools in this part of the Basin that exhibit gas
2 characteristics like this one?

3 A. None as dramatic as this one. The
4 Parkway Bone Springs Pool is one of the closest
5 ones that I can think of right now. It's about
6 seven miles to the east. It also exhibited very
7 gassy behavior. In fact, once after we
8 discovered the field we had a GOR increase to
9 10,000-to-1, but the production characteristics
10 are very, very different from this one. Those
11 wells were coming on 200 or 300 barrels a day,
12 and these wells are not behaving at all like
13 that.

14 The fluid, and we talked about bringing
15 a sample but didn't, the oil looks completely
16 different also. The Chi well is a very clear,
17 straw-colored condensate between 63, 66 degrees
18 API. The Parkway Bone Spring is about 40, 42
19 degrees API, black oil. There's no other Bone
20 Spring wells in the area that behave as a gas
21 reservoir like this.

22 Q. You said the gravity of the Chi well
23 was 62 to 63?

24 A. 62 to 66 degrees API.

25 Q. Do you know what the gravity is on the

1 other two wells in the pool?

2 A. No, I do not.

3 Q. Do you know if it's similar?

4 A. I would assume that it was similar
5 based upon the production characteristics, but I
6 haven't seen the samples and we did not get that
7 data from Strata or Mewbourne.

8 Q. What's the current oil and gas
9 allowable for the pool?

10 A. I believe it's 142 barrels a day at
11 284. Is that right? 284.

12 Q. 284 barrels a day?

13 A. I'm sorry, 142 barrels per day, and
14 then 284 Mcf.

15 Q. That's at 2,000-to-1?

16 A. That's correct.

17 Q. This is spaced on 40 acres at the
18 present time?

19 A. Yes.

20 Q. At the 2,000 GOR limit, you're able to
21 produce three barrels a day and--

22 A. 240 Mcf or 280.

23 Q. In fact, the well is capable of making,
24 what, 90 barrels a day?

25 A. That's what we've seen so far. We

1 believe it could actually make more than that
2 once we get some of our production facilities
3 changed around a little bit.

4 Q. How old is this field?

5 A. I'm not sure when the Millman well
6 was--when the Strata well was drilled.

7 MR. KELLAHIN: The pool was established
8 on July 1, 1991, by Order No. R-9545.

9 Q. Mr. Lee, have you done any similar
10 graphs in terms of production for any of the
11 other wells in the pool?

12 A. No, I did not. This was the main one
13 to be concerned with. And, looking at the
14 tabular data, we kind of, you know, the Federal
15 5, the rates would drop or your oil and gas rates
16 would drop and your GOR would be going up.

17 Q. That's directly opposite to what the
18 Chi well exhibits?

19 A. Um-hm.

20 Q. What's the explanation for that?

21 A. We haven't talked to the--I have not
22 talked to the Mewbourne engineers. One possible
23 explanation that I would throw out, looking at
24 it, what I was thinking is that possibly as they
25 were producing the well, they may have choked it

1 back realizing they were getting into an
2 overproduced status. And, as they choked it
3 back, the well may have been loading up. That is
4 sort of what the Chi well exhibits.

5 The GOR does go up with the lower choke
6 sizes, as you can see is there in the early part
7 of the productive history of the Winchester well.

8 Q. Have you talked to Mewbourne and Strata
9 regarding your request, or has there been any
10 discussion with those two operators?

11 MR. KELLAHIN: Mr. Examiner, we've
12 notified those operators and all interest owners
13 in the pool, and I believe we have the support of
14 Mewbourne for the request, and we have no
15 objection from Strata or anyone else.

16 MR. BRUCE: There have been some
17 discussions, I believe, with Mewbourne, Mr.
18 Examiner.

19 Q. It's your opinion, Mr. Lee, that the
20 increase to 20,000-to-1 is not going to reduce
21 ultimate recovery from the pool?

22 A. No, I don't believe it will.

23 Q. In either oil or gas?

24 A. That's correct, based on what the PVT
25 data says.

1 Q. You said it was your opinion this ought
2 to be classified as a gas well. Have you looked
3 at drainage areas at all of this pool?

4 A. No, we haven't, because in our well
5 there's not enough production history or pressure
6 data to determine any sort of a drainage area.

7 After you produce it for six, seven
8 months we let it build up and see how much
9 pressure loss we've had and start doing some
10 P over Z plotting. I didn't have any data like
11 that for the Mewbourne well, either.

12 Q. It's Chi's intent to drill two or three
13 more additional wells and to, essentially,
14 cluster those wells on a 160-acre tract?

15 A. The well that's being drilled now has
16 to be drilled as per, you know, because of some
17 farmout obligations.

18 Q. Which well is currently being drilled?

19 A. Well, the pad has been built--the well
20 in Section 3, directly east of the Winchester 1.

21 Q. And Chi has intentions to drill a well
22 directly south of that next well, south of the
23 well in Section 3, on the next 40-acre tract?

24 A. I'm not sure there's any intent to do
25 that right now, if it was classified as a gas

1 pool, you know, for sure or not. Even with only
2 being in the 2,000-to-1 GOR oil pool, I'm not
3 sure that that's something that we would want to
4 do until we get a little bit of production
5 history to where you can start calculating some
6 drainage areas here.

7 Q. The discrepancies that the Aquila
8 Federal exhibits, you mentioned it might be due
9 to some--I'm sorry, what was it again that you
10 said it might be due to?

11 A. The Aquila Federal, the gas there was
12 not being sold and coming out of the separators.
13 It was questionable as to whether or not they
14 were measuring the gas as closely as they should
15 have been.

16 Q. What were they doing with that gas?

17 A. I'm not sure.

18 EXAMINER CATANACH: I believe that's
19 all I have of this witness.

20 MR. KELLAHIN: Mr. Examiner, I submit
21 to you my Affidavit on the mailing of
22 notification to the parties affected by this
23 application. Attached are the copies of the
24 return receipt cards. It's marked as Exhibit No.
25 10. We would move its introduction at this

1 time.

2 EXAMINER CATANACH: Exhibit No. 10 will
3 be admitted as evidence.

4 MR. KELLAHIN: If the Examiner chooses
5 to approve our application, we would request an
6 effective date that corresponds to the date of
7 first production on Chi's Winchester Federal No.
8 1 well, and that completes our presentation.

9 EXAMINER CATANACH: To that effect, Mr.
10 Kellahin, let me ask you or Mr. Lee the necessity
11 for that request?

12 THE WITNESS: As per the OCD rules at
13 2,000-to-1, we're overproduced probably about 100
14 days worth of gas. And so we would like to have
15 it put back to the date of first production so
16 that we don't have to shut our well in for 100
17 days waiting to make up the 2,000-to-1
18 overproduction, when we have our 20,000-to-1
19 limitation now.

20 MR. KELLAHIN: Those producing rates
21 were done in order to establish some of the test
22 information on the gas-oil ratio, and if you
23 believe the PVT data, then I think it's an
24 unreasonable penalty on the well to arbitrarily
25 say that from today forward it gets 20,000-to-1

1 gas-oil ratio, when in fact it would be
2 appropriate to make it from the date of first
3 production.

4 EXAMINER CATANACH: Okay. Anything
5 further?

6 There being nothing further, Case 10556
7 will be taken under advisement.

8 (And the proceedings concluded.)
9
10
11
12
13
14
15
16
17

18 I do hereby certify that the foregoing is
19 a complete record of the proceedings in
20 the Examiner hearing of Case No. 10556,
21 heard by me on September 17 1992.

22 David R. Catanach, Examiner
23 Oil Conservation Division
24
25

1 CERTIFICATE OF REPORTER

2

3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.

5

6 I, Carla Diane Rodriguez, Certified
7 Shorthand Reporter and Notary Public, HEREBY
8 CERTIFY that the foregoing transcript of
9 proceedings before the Oil Conservation Division
10 was reported by me; that I caused my notes to be
11 transcribed under my personal supervision; and
12 that the foregoing is a true and accurate record
13 of the proceedings.14 I FURTHER CERTIFY that I am not a
15 relative or employee of any of the parties or
16 attorneys involved in this matter and that I have
17 no personal interest in the final disposition of
18 this matter.19 WITNESS MY HAND AND SEAL October 5,
20 1992.

21

22

23

24

CARLA DIANE RODRIGUEZ, RPR
CSR No. 4

25