

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

CASE 10,701


EXAMINER HEARING

IN THE MATTER OF:

Application of Meridian Oil, Inc., for downhole  
commingling and for an administrative downhole  
commingling procedure within the Huerfanito Unit  
Area, San Juan County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R CATANACH, EXAMINER



STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

April 8, 1993

## A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
Attorneys at Law  
By: W. THOMAS KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265

\* \* \*

## I N D E X

	Page Number
Appearances	2
Exhibits	4
KENT BEERS	
Direct Examination by Mr. Kellahin	6
Examination by Mr. Stovall	10
CHARLES HEAD	
Direct Examination by Mr. Kellahin	15
Examination by Examiner Catanach	20
MIKE PIPPIN	
Direct Examination by Mr. Kellahin	21
Examination by Examiner Catanach	28
Certificate of Reporter	29

\* \* \*

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

E X H I B I T S

APPLICANT'S EXHIBITS:

Exhibit A	7
Exhibit B	8
Exhibit C1	8
Exhibit C2	8
Exhibit D	7
Exhibit E	9
Exhibit F	10
Exhibit G	16
Exhibit H	17
Exhibit I	17
Exhibit J	18
Exhibit K	24
Exhibit L	25
Exhibit M	26

\* \* \*

1                   WHEREUPON, the following proceedings were had  
2                   at 1:40 p.m.:

3  
4  
5                   EXAMINER CATANACH: At this time we'll call  
6                   Case 10,701.

7                   MR. STOVALL: Application of Meridian Oil,  
8                   Inc., for downhole commingling and for an  
9                   administrative downhole commingling procedure within  
10                  the Huerfanito Unit Area, San Juan County, New Mexico.

11                  EXAMINER CATANACH: Appearances in this case?

12                  MR. KELLAHIN: I'm Tom Kellahin of the Santa  
13                  Fe Law firm of Kellahin and Kellahin, appearing on  
14                  behalf of the Applicant.

15                  We have three witnesses in this case, Mr.  
16                  Examiner.

17                  The first witness is Mr. Beers, who is  
18                  already under oath and has been previously qualified as  
19                  an expert. I'd like the record to reflect that Mr.  
20                  Beers continues under oath and continues to qualify as  
21                  an expert in this case.

22                  EXAMINER CATANACH: The record shall so  
23                  reflect.

24                  Are there any additional appearances in this  
25                  case?

1                                    KENT BEERS,

2        the witness herein, having been previously duly sworn  
3        upon his oath, was examined and testified as follows:

4                                    DIRECT EXAMINATION

5        BY MR. KELLAHIN:

6                Q.     Mr. Beers, please summarize for us what  
7        you're proposing to accomplish with this Application  
8        insofar as it affects the Huerfanito unit.

9                A.     The Application today proposes to obtain a  
10       permission to commingle gas production from the Blanco-  
11       Mesa Verde Gas Pool with gas from the Basin-Dakota Gas  
12       Pool. In two existing Dakota wellbores we want to add  
13       Mesa Verde, and then within four additional drill  
14       blocks we want to drill new wells and commingle those  
15       two horizons.

16              Q.     Apart from the six specifically identified  
17       wellbores, are you in addition seeking any other relief  
18       for the unit concerning commingling of these two  
19       reservoirs?

20              A.     Yes, we'd like to obtain approval for  
21       administrative downhole commingling for all future  
22       Blanco-Mesa Verde/Basin-Dakota Gas wells in the  
23       Huerfanito Unit

24              Q.     Is the Huerfanito unit a unit whereby you  
25       have participating areas that would be different for

1 each of the two pools?

2 A. That's correct.

3 Q. Do you have an index for the exhibit book  
4 that identifies for us the documents that are shown in  
5 the book behind each exhibit tab?

6 A. Yes, I do.

7 Q. All right, let's turn now to Exhibit A.  
8 Identify that for us.

9 A. Exhibit A is a plat of the Huerfanito Unit,  
10 including all current wellbores in that unit.

11 You may want to look at that Exhibit A in  
12 conjunction with Exhibit D, because Exhibit D also  
13 provides us with the outline of the Huerfanito Unit,  
14 but also shows us that the participating area for the  
15 Dakota is the same as the boundaries of the Huerfanito  
16 Unit, and it also shows us that the participating area  
17 for the Mesa Verde in Huerfanito is something  
18 different.

19 It indicates there are four new drills.  
20 All fall within the current Mesa Verde PA, and the two  
21 wells that we're -- the two Dakota wells that we're  
22 wishing to add Mesa Verde pay to are outside the  
23 existing Mesa Verde PA.

24 Q. Can you direct our attention, Mr. Beers, to  
25 the ownership information concerning the Dakota?

1           A.    Yes.  Perhaps I should back up and just point  
2           out that Exhibit B includes all ownership as to all  
3           depths in the entire Huerfanito unit.

4                   Exhibit C1 shows us Dakota ownership in the  
5           Dakota PA, and C2 shows us Mesa Verde ownership in the  
6           Mesa Verde PA.

7                   (Off the record)

8                   THE WITNESS:  I don't believe we ever reflect  
9           this on an exhibit, so I would go along -- go ahead and  
10          tell the Division that Meridian's interest in the 104  
11          well where we're adding the Mesa Verde is 99.5 percent.  
12          In the 71 it's a hundred percent.  And --

13                  MR. STOVALL:  Excuse me, Mr. Beers, let me  
14          just interrupt you there.

15                   Those are the ones outside --

16                  THE WITNESS:  Those are the ones outside --

17                  MR. STOVALL:  -- the participating area?

18                  THE WITNESS:  -- the existing Mesa Verde PA,  
19          that's correct.

20                   Within the Mesa Verde PA, and as to all four  
21          of the new drills, Meridian currently has a 95-percent  
22          interest in the Dakota and 88 percent interest in Mesa  
23          Verde.  We have obtained approval for all other parties  
24          to participate.

25                  Q.    (By Mr. Kellahin)  Have you had Meridian



1 personnel take all the ownership information for  
2 ownership of production from each -- either one of the  
3 pools within the Huerfanito Unit, tabulated that  
4 ownership information, and provided notices to those  
5 parties that might be affected by the approval of this  
6 Application?

7 A. We have. Exhibit E is a schedule of some 140  
8 people that we have sent certified notice to.

9 Q. To finish your discussion of the exhibits  
10 behind Exhibit D, you've identified the plat. Identify  
11 for us the next two displays.

12 A. Yes, Exhibit D, in addition to showing the  
13 Unit outline and the Mesa Verde and Dakota PA outlines,  
14 also is a key that is tied to the pages behind it that  
15 provide who the offset owners are in the Huerfanito  
16 Unit.

17 Q. In addition to the interest owners within the  
18 Unit who have production that may be affected by the  
19 approval of this Application, have you caused  
20 notification to be sent to the offset operators?

21 A. Yes, we have.

22 Q. The last illustration, then, the third  
23 display behind Exhibit Tab D, shows the addresses of  
24 operators offsetting the unit, and it tabulates as to  
25 which of the two pools they have an interest?

1 A. That's correct.

2 Q. All right. You've already identified for us  
3 Exhibit E, which is the ownership within the unit.

4 Finally, then, identify for us what is  
5 contained behind Exhibit Tab F.

6 A. Exhibit Tab F is simply our certificate of  
7 mailing.

8 Q. To the best of your knowledge, has there been  
9 any objection received by Meridian to the approval by  
10 the Division of this Application?

11 A. No, there has not been.

12 MR. KELLAHIN: That concludes my examination  
13 of Mr. Beers.

14 We move the introduction of Exhibits A  
15 through F.

16 EXAMINER CATANACH: Exhibits A through F will  
17 be admitted as evidence.

18 EXAMINATION

19 BY MR. STOVALL:

20 Q. Mr. Beers, which tab is the one with the  
21 ownership plat -- Oh, here it is. D, isn't it? That's  
22 the one I'm looking for.

23 A. D is the Unit and PA boundaries.

24 MR. STOVALL: Yeah, that's the one I was  
25 looking for.

1 (Off the record)

2 Q. (By Mr. Stovall) Mr. Beers, let me clarify  
3 one thing on those Mesa Verde, going to Exhibit D, now,  
4 just -- In Section 27, the block there that you're  
5 drilling on, how much of the Mesa Verde is Meridian-  
6 owned in that one, west half of 27?

7 A. The west half of 27, now, is not a new drill.  
8 That's an existing Dakota well --

9 Q. Correct.

10 A. -- producer, and we're going to come uphole  
11 into the -- and add the Mesa Verde.

12 Q. Which -- And it's not in the Mesa Verde  
13 participating area?

14 A. That is correct, it is not. In that 104  
15 well, we have 99.5 percent.

16 Q. Okay. Who has the other .5? Do you remember  
17 offhand?

18 A. I don't remember offhand.

19 Q. Okay. And in Section 3, the east half of 3,  
20 you own a hundred percent of the Mesa Verde?

21 A. That's correct.

22 Q. And in those two tracts, the Mesa Verde will  
23 participate on a tract basis, rather than any sort of  
24 unit basis; is that -- I think that's the part I may  
25 have missed.

1           A.    That's correct, since those particular drill  
2 blocks fall outside the existing Mesa Verde PA, the  
3 Mesa Verde drill block owner, i.e., Meridian, will pay  
4 a hundred percent of those costs.

5           If the results warrant it, and they probably  
6 will not, those drill blocks may expand the Mesa Verde  
7 PA.

8           Q.    Okay. What production -- Do you have any  
9 idea what production it would take to get a commercial  
10 well determination out of those? Just raw --

11          A.    The BLM's position is --

12          Q.    They look for a pretty good well, don't they?

13          A.    Yes, they would -- Even though we are simply  
14 adding that production in an existing wellbore, the  
15 BLM's current interpretation of the unit rules would  
16 require that production be sufficient to stand the cost  
17 of a new drill.

18               And again, that's unlikely, that the results  
19 will be that good in the Mesa Verde that we could apply  
20 some generic new-drill costs to a stand-alone Mesa  
21 Verde and have it be an economic well, according to  
22 their criteria.

23          Q.    But in terms of the significance of that, as  
24 far as allocating production, it's just -- really  
25 doesn't make any difference. You just have to allocate

1     that production to the Mesa Verde owners, just as you  
2     do within the participating area; is that correct? I  
3     mean, based on the commingling?

4             In other words, it really doesn't matter  
5     whether it's on a tract basis or a unit basis; you  
6     still have to allocate production between the Mesa  
7     Verde and the Dakota tracts, whether --

8             A.    Yes, as between those two formations now,  
9     that drill block as to the Mesa Verde may not be taken  
10    into the participating area.

11            Q.    I understand that, but what I'm saying is  
12    that in the one case, the determination of who shares  
13    the Mesa Verde production -- or in each case, it's  
14    based on whether or not it is in a stand-alone drill  
15    block or a participating area?

16            A.    Correct.

17            Q.    But it doesn't change the allocation between  
18    Mesa Verde and Dakota --

19            A.    No.

20            Q.    -- it just simply determines who gets the  
21    money --

22            A.    That's right.

23            Q.    -- or the cost, as the case may be?

24            A.    That's correct.

25            MR. STOVALL: That's all I have.

1 EXAMINER CATANACH: I don't have anything.

2 MR. STOVALL: Tom, I assume you are providing  
3 an affidavit that somehow references the notice.

4 MR. KELLAHIN: (Nods)

5 MR. STOVALL: Okay.

6 (Off the record)

7 MR. KELLAHIN: Are you referring to Exhibit  
8 F, the notification?

9 MR. STOVALL: Is there an affidavit  
10 associated with that, that says you've mailed to all  
11 parties entitled to --

12 MR. KELLAHIN: Yes.

13 THE WITNESS: Specifically --

14 MR. STOVALL: Is it in here? I didn't --

15 THE WITNESS: -- under Exhibit F.

16 MR. KELLAHIN: Go to another exhibit, go  
17 behind the Exhibit F tab.

18 MR. STOVALL: Oh, I did see that. It's been  
19 a long afternoon.

20 MR. KELLAHIN: It's a separate tab.

21 MR. STOVALL: I remember seeing it once and  
22 then spaced it out again.

23 MR. KELLAHIN: Recall Chuck head at this  
24 time.

25 I'd like the record to reflect that Mr. head

1 is continuing under oath and continues to qualify as an  
2 expert in this case in the matters of petroleum  
3 geology. Is that okay with you?

4 EXAMINER CATANACH: Sure.

5 CHARLES HEAD,  
6 the witness herein, having been previously duly sworn  
7 upon his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR KELLAHIN:

10 Q. Mr. Head, let's take the geology of the  
11 Huerfanito Unit and have you give us a summary of what  
12 you see as a geologist concerning the viability of  
13 producing additional reserves out of both of these  
14 pools by using commingling downhole procedures.

15 A. Okay, last fall I mapped Mesa Verde sandstone  
16 development in and around the Huerfanito area to  
17 determine the westernmost limit of commercial sandstone  
18 development, and I identified several locations which I  
19 felt were suitable for new-drill Mesa Verde locations.

20 And when I got together with my various  
21 engineers on my team, we decided that it would be  
22 prudent to drill down to add the Dakota interval with  
23 the Mesa Verde, to produce or commingle that along with  
24 the Mesa Verde.

25 Q. Do you recall the development history of the

1 Huerfanito Unit concerning these two reservoirs? Can  
2 you give us a general summary, what has historically  
3 happened and what has happened in the recent past?

4 A. Well, there's really a mix of completion  
5 types out there. There are quite a few Dakota  
6 penetrations from the Fifties and Sixties and  
7 Seventies, mainly. And there are probably about -- 30  
8 percent of the Dakota wellbores in the area are  
9 commingled with the Mesa Verde at this time.

10 Q. Do you believe that these two reservoirs in  
11 the unit are viable candidates to produce hydrocarbons  
12 that might not otherwise be produced?

13 A. Yes, sir, I do.

14 Q. And we can do that by the downhole  
15 commingling procedures?

16 A. Yes, we can.

17 Q. Let's look at some of your geologic mapping.  
18 Turn behind Exhibit G and identify and describe the  
19 first display.

20 A. Okay, this is a Point Lookout, which is the  
21 lowermost member of the Mesa Verde formation, net  
22 sandstone isopach that I mapped based on wireline log  
23 criteria, which I feel are indicative of prospective  
24 sandstone development, correlating to offset production  
25 from the Mesa Verde.



1           The stars on that map show locations that I  
2     feel are prospective for new drill development in the  
3     Mesa Verde and Dakota, and the triangles are Mesa Verde  
4     recompletion candidates, based on the presence of  
5     commercial Mesa Verde sandstone development in existing  
6     Dakota wellbores.

7           Q.     Turn next to the following display.  Identify  
8     and describe that for us.

9           A.     Okay, the following display is a Lower Point  
10    Lookout net sandstone isopach.

11           I might add that this particular interval has  
12    not been completed in this part of the Huerfanito Unit  
13    in many wells, namely really only one well in this  
14    area, so I feel that this is a secondary Mesa Verde  
15    target.

16           Q.     Okay.  Let's go to the information behind  
17    Exhibit H and have you identify and describe that.

18           A.     Is that a decline curve?

19           Q.     Yes, you've got some decline curves in here.

20           A.     Okay, I would defer -- I would like to defer  
21    discussion about the decline curves to the production  
22    engineer.

23           Q.     All right, let's turn now to Exhibit I and  
24    have you identify for us the cross-section.

25           A.     Okay, that's a cross-section -- It's a north-

1 south trending cross section, stratigraphic cross-  
2 section, which correlates in the productive reservoir  
3 sandstones of the Massive Point Lookout formation  
4 between three wells that are currently completed and  
5 producing from that interval.

6 And also it illustrates our recompletion  
7 candidates, the Number 104, which is the second from  
8 the left, and then the Number 71, which is the -- on  
9 the right-hand side of the cross-section.

10 You'll note that there are two sandstones  
11 illustrated in the Massive Point Lookout, the "B" and  
12 then the "A" sands, and you can see the perforations  
13 marked on the three wells that are currently producing  
14 from those intervals.

15 And it also shows the Lower Point Lookout  
16 interval, which we feel is, as I mentioned before, a  
17 secondary target in the Mesa Verde.

18 Q. All right. Let's turn now to Exhibit J and  
19 have you give us the geologic setting using the B-B'.

20 A. Okay this cross-section is similar to the  
21 preceding cross-section in that it illustrates the  
22 correlations of the Massive Point Lookout sandstones  
23 over our area of interest.

24 Also, it shows our proposed four new-drill  
25 locations up at the top there, and it also shows the

1 Lower Point Lookout once again. And then I've broken  
2 the section with the wavy lines there to take out a lot  
3 of Mancos shale.

4 And on the lower part of the cross-section  
5 I'm illustrating the Dakota marine sandstones which are  
6 commercial in the area, and those sands on these cross-  
7 sections have all been completed and are producing.

8 Q. As a geologist, what is your geologic  
9 conclusions about the approval of this Application?

10 A. Well, I feel that due to the expense of  
11 drilling a Dakota well, and a Mesa Verde well for that  
12 matter, that it would certainly be prudent to include  
13 the Dakota interval as a productive -- as a producing  
14 horizon, along with the Point Lookout.

15 These sandstones -- The sandstones in both  
16 the Mesa Verde and the Dakota are certainly prospective  
17 for development and I feel should be commingled.

18 MR. KELLAHIN: That concludes my examination  
19 of Mr. Head, with the introduction, then, of his  
20 Exhibit G, I and J.

21 EXAMINER CATANACH: I'm sorry, what were they  
22 numbered?

23 MR. KELLAHIN: They were letters, G, I and J.

24 EXAMINER CATANACH: Exhibits, G, I and J will  
25 be admitted as evidence.

## EXAMINATION

BY EXAMINER CATANACH:

Q. Mr. Head, how many new drills in the unit have you identified or targeted for commingling?

A. I've identified 17 locations that I feel are prospective. The four that are in question today are probably the four best candidates.

Any further development that we would do in the area would certainly be contingent upon the results of these four.

Q. And how many recompletions do you have targeted right now?

A. Right now, I have seven recompletion candidates with a potential for probably three or four additional candidates.

Q. Now, the main area of interest is the Massive Point Lookout -- or the Upper Point Lookout?

A. That's correct.

Q. There is potential at the Lower as well?

A. We feel that there is. There is a well that has been perforated and is producing out of the Lower Point Lookout, which is approximately two miles away from this general area of interest, which has produced quite a bit of liquids, an anomalous amount of liquids, and we feel there's a good chance that a lot of that

1 production is coming from the Lower Point Lookout.

2 EXAMINER CATANACH: I have nothing further.

3 MR. KELLAHIN: Call at this time, Mr. Mike  
4 Pippin.

5 MIKE PIPPIN,

6 the witness herein, after having been first duly sworn  
7 upon his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. KELLAHIN:

10 Q. Mr. Pippin, for the record would you please  
11 state your name and occupation?

12 A. Mike Pippin. I'm a petroleum engineer.

13 Q. And you are an employee of Meridian Oil  
14 Company and you reside in Farmington, New Mexico?

15 A. Yes, sir.

16 Q. On prior occasions, Mr. Pippin, have you  
17 testified before the Division as a petroleum engineer?

18 A. Yes, sir.

19 Q. Pursuant to your employment, have you worked  
20 with Mr. Head in evaluating the prospects for  
21 additional recoveries out of the Huerfanito Unit?

22 A. Yes, sir.

23 Q. And have you come to conclusions about  
24 commingling of production in the two reservoirs we've  
25 been discussing?

1           A.    That's correct.

2           MR. KELLAHIN:  We would tender Mr. Pippin as  
3 an expert petroleum engineer.

4           EXAMINER CATANACH:  He is so qualified.

5           Q.    (By Mr. Kellahin)  Before we look at the  
6 specifics of your displays, give us a summary of what  
7 you see to be the opportunity for your company, if this  
8 Application is approved, for commingling production in  
9 the Huerfanito Unit.

10          A.    Meridian views this as a salvage operation,  
11 really.

12                We're dealing with a very old field here, in  
13 both the Dakota and the Mesa Verde.  The Dakota was  
14 drilled in the early Sixties -- or I should say the  
15 Dakota was drilled in the early Fifties with the Mesa  
16 Verde drilling starting in the middle Fifties.

17                Based on the cost to drill a single Dakota or  
18 a single Mesa Verde well now, or the cost to drill a  
19 dual Mesa Verde-Dakota well, and the high costs -- or  
20 the pressure depletion that both the Dakota and the  
21 Mesa Verde have experienced in this area, there's been  
22 very little infilling in either the Dakota or the Mesa  
23 Verde.  As a matter of fact, there's been very little  
24 in the last 15 years.

25                Meridian believes that we can salvage

1 additional hydrocarbons from both Mesa Verde and Dakota  
2 reservoirs, utilizing commingling of the Mesa Verde and  
3 Dakota.

4 Q. Let's turn to Exhibit H, look at some decline  
5 curves.

6 A. Yes.

7 Q. Why have you selected the decline curves from  
8 the Unit 104 and the 107 wells for illustration  
9 purposes?

10 A. These are two single Dakota wells which we  
11 plan on adding the Mesa Verde to, commingling.

12 The Huerfanito Unit 104, it shows on the  
13 decline curve, is making about 90 MCF a day. It has  
14 had production problems. We hope that the addition of  
15 Mesa Verde gas will help lift the small amount of  
16 liquids so that this well will produce more evenly.

17 Similar on the Huerfanito Unit Number 71.  
18 The Dakota is making about 30 MCF a day, and we hope  
19 with the addition, the commingling of the Mesa Verde to  
20 this Dakota production, we can make the Dakota produce  
21 a little more evenly, we can extend the life of each of  
22 these wells.

23 Q. Your decline plots on the 71 well, you've  
24 shown both the Dakota and then on the next one you've  
25 shown the Mesa Verde?

1 A. On the last --

2 Q. What's happening here?

3 A. On the last one, it's labeled Huerfanito Unit  
4 71.

5 Q. Uh-huh.

6 A. We show the Dakota Production again as being  
7 about 30 MCF a day.

8 We're hoping that the Mesa Verde production  
9 will come on at about 200 MCF a day, which will, in  
10 fact, extend the life of the Dakota producing  
11 formation.

12 Q. You've not yet established production rates  
13 for the Mesa Verde in that well?

14 A. No, no, we have not done the workover.

15 Q. That decline is simply a forecast or an  
16 expectation forecast of where you think it's going to  
17 come from?

18 A. That is correct.

19 Q. Let's go to Exhibit K. Identify and describe  
20 that display for us, Mr. Pippin.

21 A. This is the workover procedure for the  
22 Huerfano Unit 71.

23 In short, it states that we will set a bridge  
24 plug above the Dakota producing horizon. We will make  
25 sure that there's sufficient cement behind -- across



1 the Mesa Verde formation. We'll perforate, frac the  
2 Mesa Verde with a single-stage frac job, clean it up,  
3 and then retrieve the bridge plug and commingle the  
4 well, both the Mesa Verde and Dakota.

5 Q. You've provided a wellbore schematic for the  
6 Examiner's use of before-and-after illustration?

7 A. Correct.

8 Q. Let's turn now to the information behind  
9 Exhibit 11. Identify and describe that information.

10 EXAMINER CATANACH: Exhibit what, Mr.  
11 Kellahin?

12 MR. KELLAHIN: I'm sorry, Exhibit L. This is  
13 the commingling procedure on the -- I think it's the  
14 104.

15 THE WITNESS: Yeah.

16 MR. KELLAHIN: All right.

17 THE WITNESS: This is the workover procedure  
18 on the Huerfanito Unit 104, very similar to the 71.

19 We'll be setting a bridge plug above the  
20 Dakota Horizon, making sure there's cement across the  
21 Mesa Verde, perforating and stimulating the Mesa Verde,  
22 and then commingling both zones.

23 Q. (By Mr. Kellahin) Direct your attention now  
24 to what your recommendations are to the Examiner for a  
25 commingling allocation procedure or formula to allocate

1 production between the two pools.

2 A. We plan to confer with the District  
3 Supervisor in Aztec with the flow tests that we will  
4 take during the workover or completion operations.

5 Q. And that is the standard procedure used under  
6 the administrative commingling procedures of the  
7 Division where you take separate, individual rate tests  
8 on each zone and then you commingle and allocate  
9 according to that number?

10 A. That is correct.

11 Q. Turn now for me to the last display, Exhibit  
12 M. What have you included here?

13 A. This is the Dakota and Mesa Verde shut-in  
14 pressure data. It indicates the Dakota average shut-in  
15 pressure of the Dakota wells in the area to be 572.  
16 This is down from an initial shut-in pressure of 2899.

17 We've had over -- We've had just about a 25-  
18 percent -- or more than 25-percent loss in formation  
19 pressure.

20 Mesa Verde, very similar. We currently have  
21 a 444 p.s.i. shut-in pressure in the formation. The  
22 original shut-in pressure was 1515 p.s.i., right over a  
23 third decrease in its pressure.

24 Q. When you look at all the reservoir  
25 information and the rules and regulations of the

1 Division for commingling, do you see any problems in  
2 terms of pressure differentials between commingling the  
3 two reservoirs?

4 A. No, we do not.

5 Q. Any fluid-compatibility problems?

6 A. No.

7 Q. No migrations, cross-flows, things of concern  
8 to the Division or you as operator for the commingling  
9 or production?

10 A. We don't believe there will be any  
11 significant cross-flow, and of course the pipeline  
12 pressure is significantly lower than either of the  
13 shut-in pressures of the Dakota or the Mesa Verde.

14 We have -- Meridian has commingled many Mesa  
15 Verde/Dakota wells in the San Juan Basin, and we have  
16 not had fluid incompatibility problems. We have a  
17 well, as a matter of fact, just two miles north of this  
18 unit that is commingled in Mesa Verde and Dakota, and  
19 we have experienced no problems there.

20 MR. KELLAHIN: That concludes our  
21 presentation.

22 We move the introduction of the engineering  
23 exhibits, which would be Exhibit H, K, L and M.

24 EXAMINER CATANACH: Exhibits H, K, L and M  
25 will be admitted as evidence.

## EXAMINATION

BY EXAMINER CATANACH:

Q. Mr. Pippin, what kind of rates do you expect to encounter in the Mesa Verde and the Dakota?

A. We are estimating initial rates on the Mesa Verde drilling wells to be about 250 MCF a day, two and a half barrels of oil a day; and on the Dakota drilling wells, 400 MCF a day, one and a half barrels of oil a day.

On the two workovers, the Number 104 and the Number 71, we are anticipating 150 MCF a day from each, three barrels of oil from each.

Q. And these kind of rates on your drilling wells singly would not justify drilling a stand-alone?

A. No, sir.

EXAMINER CATANACH: I have nothing further.

MR. KELLAHIN: That completes our presentation in this case, Mr. Examiner.

EXAMINER CATANACH: There being nothing further Case 10,701 will be taken under advisement.

(Thereupon, these proceedings were concluded at 2:18 p.m.)

\* \* \*


## 1 CERTIFICATE OF REPORTER

2  
3 STATE OF NEW MEXICO )  
4 ) ss.  
5 COUNTY OF SANTA FE )

6 I, Steven T. Brenner, Certified Court  
7 Reporter and Notary Public, HEREBY CERTIFY that the  
8 foregoing transcript of proceedings before the Oil  
9 Conservation Division was reported by me; that I  
10 transcribed my notes; and that the foregoing is a true  
11 and accurate record of the proceedings.

12 I FURTHER CERTIFY that I am not a relative or  
13 employee of any of the parties or attorneys involved in  
14 this matter and that I have no personal interest in the  
15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL April 25th, 1993.

17  
18   
19 STEVEN T. BRENNER  
CCR No. 7

20 My commission expires: October 14, 1994  
21

22 I do hereby certify that the foregoing is  
23 a complete record of the proceedings in  
24 the Examiner hearing of Case No. 10701,  
heard by me on April 8, 1993.

25 , Examiner  
Oil Conservation Division