

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

CASE 10,746

EXAMINER HEARING

IN THE MATTER OF:

Application of Devon Energy Corporation for  
special pool Rules, Eddy County, New Mexico

**ORIGINAL**

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

6 RE

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

July 15, 1993

## A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.  
Attorneys at Law  
By: WILLIAM F. CARR  
Suite 1 - 110 N. Guadalupe  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208

FOR KAISER-FRANCIS OIL COMPANY:

KELLAHIN & KELLAHIN  
Attorneys at Law  
By: W. THOMAS KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265

\* \* \*

## I N D E X

## Page Number

Appearances

2

DICK MORROW

Direct Examination by Mr. Carr

5

Examination by Examiner Catanach

18

Examination by Mr. Stovall

25

Certificate of Reporter

29

\* \* \*

## E X H I B I T S

## APPLICANT'S EXHIBITS:

Exhibit 1

8

Exhibit 2

9

Exhibit 3

10

Exhibit 4

11

Exhibit 5

12

Exhibit 6

14

Exhibit 7

15

Exhibit 8

15

Exhibit 9

(does not exist)

Exhibit 10

16

\* \* \*

1           WHEREUPON, the following proceedings were had  
2           at 9:16 a.m.:

3           EXAMINER CATANACH: At this time we will call  
4           Case 10,746.

5           MR. STOVALL: Application of Devon Energy  
6           Corporation for special pool rules, Eddy County, New  
7           Mexico.

8           EXAMINER CATANACH: Are there appearances in  
9           this case?

10          MR. CARR: May it please the Examiner, my  
11          name is William F. Carr with the Santa Fe law firm,  
12          Campbell, Carr, Berge and Sheridan.

13          I represent Devon Energy Corporation in this  
14          matter, and I have one witness.

15          EXAMINER CATANACH: Additional appearances?

16          MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin  
17          of the Santa Fe law firm of Kellahin and Kellahin,  
18          appearing on behalf of Kaiser-Francis Oil Company.

19          EXAMINER CATANACH: Any additional  
20          appearances?

21          MR. CARR: Mr. Examiner, I have one witness  
22          that needs to be sworn.

23          EXAMINER CATANACH: We'll do that right now.  
24          (Thereupon, the witness was sworn.)

25          EXAMINER CATANACH: Mr. Kellahin, I assume

1     you don't have any witnesses?

2                 MR. KELLAHIN: Mr. Carr and I have worked out  
3     on the issue. This case was readvertised. We had  
4     discussions earlier about what pool to put this in, and  
5     I think that's resolved.

6                 EXAMINER CATANACH: Okay.

7                 MR. KELLAHIN: So there's no witnesses on my  
8     behalf.

9                 EXAMINER CATANACH: Okay.

10                MR. CARR: As a follow-up to that, Mr.  
11     Catanach, this case involves the recent drilling of a  
12     well by Devon. When the completion forms were filed  
13     with the OCD, it was placed in the Soapberry Draw  
14     Delaware Pool. It was then discovered that it was more  
15     appropriately in the East Catclaw Draw.

16                The case was continued to correct the pool  
17     designation, and we're here today with, we believe, the  
18     well in the correct pool.

19                EXAMINER CATANACH: I see, okay.

20                         DICK MORROW,  
21     the witness herein, after having been first duly sworn  
22     upon his oath, was examined and testified as follows:

23                                 DIRECT EXAMINATION

24     BY MR. CARR:

25                Q.     Would you state your name for the record,

1 please?

2 A. My name is Dick Morrow.

3 Q. Where do you reside?

4 A. Edmond, Oklahoma.

5 Q. By whom are you employed?

6 A. Devon Energy Corporation.

7 Q. And what is your position with Devon?

8 A. I'm a senior petroleum engineer.

9 Q. Have you previously testified before this  
10 Division?

11 A. No, I have not.

12 Q. Could you briefly summarize your educational  
13 background and review your work experience?

14 A. I graduated in 1976 with a bachelor of  
15 science in petroleum engineering from the University of  
16 Kansas.

17 From 1976 through 1982 I was employed by  
18 Exxon Company, USA, as a petroleum engineer, with my  
19 main assignments in Midland and Andrews, Texas.

20 From 1982 through 1990 I was employed in  
21 Oklahoma City by Woods Petroleum Corporation as a  
22 petroleum engineer.

23 Since September of 1990, I've been employed  
24 by Devon Energy Corporation as a senior reservoir  
25 engineer with my main areas of responsibility to be

1 west Texas and New Mexico.

2 I am a registered professional engineer in  
3 both Oklahoma and Wyoming.

4 Q. Are you familiar with the Application filed  
5 in this case on behalf of Devon?

6 A. Yes, I am.

7 Q. And are you familiar with the Delaware  
8 formation in the area which is involved in this case?

9 A. Yes.

10 MR. CARR: We tender Mr. Morrow as an expert  
11 witness in petroleum engineering.

12 EXAMINER CATANACH: Mr. Morrow is so  
13 qualified.

14 Q. (By Mr. Carr) Mr. Morrow, would you briefly  
15 state what Devon Energy seeks with this Application?

16 A. We seek a promulgation of special pool rules  
17 for the East Catclaw Delaware Pool to establish a  
18 gas/oil ratio limit of 6000 to one.

19 Q. By way of background, could you just tell us  
20 when this pool was originally created?

21 A. The initial Order was R-9418, and the pool  
22 was created on February 1st, 1991.

23 I believe it's since been expanded to include  
24 all of Section 9, 21 South, 26 East in Eddy County.

25 Q. Have you prepared certain exhibits for

1 presentation here today?

2 A. Yes, I have.

3 Q. Could you refer to what has been marked as  
4 Devon Exhibit Number 1, identify this and review it for  
5 Mr. Catanach?

6 A. Exhibit Number 1 is an area map. This area  
7 is about four miles northwest of Carlsbad and about  
8 three miles east of the Avalon Reservoir.

9 I've shown the nine sections which surround  
10 Section 9. I've shown the outline of the pool  
11 boundary.

12 There are seven wells in this pool, in  
13 Section 9, which are the black circles, seven of which  
14 are still active.

15 There's only one operator in this pool, and  
16 that's Chi Energy -- Chi Operating, excuse me.

17 I've also shown with the red arrow the  
18 location of Devon's Cactus State Number 1, which is  
19 immediately south of Section 9, in Section 16.

20 Around this area I've shown all the other  
21 wells that produce. They're essentially all gas wells  
22 which produce from deeper horizons.

23 Q. And Mr. Morrow, the Cactus State Number 1  
24 well is located within a mile of the East Catclaw Draw  
25 Pool; is that correct?



1 A. Yes, it is.

2 Q. And therefore, it is governed by the pool  
3 rules that are promulgated for that particular pool?

4 A. That's correct.

5 Q. What are the current rules which cover  
6 development of the East Catclaw Draw Pool area?

7 A. The East Catclaw Draw Pool operates under  
8 statewide rules with 40-acre spacing.

9 Oil allowable is 80 barrels a day with a  
10 2000-to-one GOR, which results in a gas allowable of  
11 160 MCF a day for a 40-acre well.

12 Q. Let's now go to Devon Exhibit Number 2.  
13 Would you identify this and review it, please?

14 A. Exhibit Number 2 is a structure map on top of  
15 one of the Delaware sands in the area, and this is all  
16 based on well logs.

17 The Delaware sands are present throughout  
18 most of this portion of the Basin, and oil and gas  
19 traps are created either stratigraphically or  
20 structurally.

21 I've shown here an outline of the pool in  
22 yellow, Section 9, and again the location of Devon's  
23 Cactus State Number 1 with the red arrow.

24 Basically we have here a structural high  
25 which extends from the south half of Section 4 down

1 through Section 9 into our Section number 16.

2 Q. From a structural point of view, this would  
3 tend to support inclusion of the Devon well in the East  
4 Catclaw Draw Delaware Pool; is that correct?

5 A. Yes, it does.

6 Q. This would not be Soapberry Draw, which is  
7 off to the west of East Catclaw?

8 A. Correct. Soapberry draw is to the west in  
9 Section 8.

10 Q. Let's now go to Devon Exhibit Number 3.  
11 Please identify that and review it for Mr. Catanach.

12 A. Exhibit Number 3 is a north-south cross-  
13 section which starts about the middle of Section 9 and  
14 goes down through our well in Section 16.

15 The Devon Cactus State Number 1 is on the  
16 left, which is the south, and then to the right-hand  
17 side of the paper we move to the north.

18 This shows several of the Delaware sands that  
19 we have penetrated with our well. The Delaware sands  
20 are actually a very thick sequence. They cover about  
21 2000 feet, starting in our well about 2200 feet, going  
22 down to about 4200 feet. This just shows the package  
23 of sands that are in the Delaware Oil Pool.

24 We've shown the perforations in our Cactus  
25 State Number 1 in the green blocks, which start at a

1 depth of 3040 feet and go down to 3220. I've also  
2 shown the perforations in some of the Chi Operating  
3 wells.

4 In the Wiser State Number 2 you can see they  
5 perforated about 3200 feet, down in what we call the  
6 "D" sand.

7 In the next well, the Oxy State Number 1,  
8 their perforations are actually slightly above this  
9 cross-section.

10 And in the Wiser State Number 1, which is the  
11 well to the north, their perforations are at about 2700  
12 feet.

13 This just shows that the Cactus State Number  
14 1 is in the same package of Delaware Sands that are in  
15 the East Catclaw Draw Delaware Pool.

16 Q. All right. Let's move to Exhibit Number 4,  
17 your east-west cross-section, and again I'd ask you to  
18 review that for Mr. Catanach.

19 A. Okay. This is a very large cross-section  
20 which will probably cover your whole desk. This  
21 actually has two cross-sections -- two lines of cross-  
22 sections on it, A-A', which kind of runs through the  
23 north part of Section 9 --

24 MR. STOVALL: Hold on just a second till we  
25 get unfolded.

1           THE WITNESS: Okay. A-A', which kind of runs  
2 through the north half of Section 9, which I really  
3 don't intend to cover. And cross-section B-B', which  
4 runs through the south half of Section 9.

5           Neither of these cross-sections include our  
6 Devon well, but I think they show better the package of  
7 sands that are developed in the East Catclaw Draw Pool.  
8 And it also shows the separation from the East Catclaw  
9 Draw Pool to the Soapberry Draw Delaware Gas Pool.

10          The Kaiser-Francis well is the first well in  
11 cross-section B-B', and they're perforated down in the  
12 Delaware sand near the bottom of the cross-section at  
13 4046 feet, whereas we are perforated up in this package  
14 of sands around 3000 or 3200 feet.

15          So you can see there's a lot of distance  
16 between what's in the Soapberry Draw Delaware Gas Pool  
17 and in what is the East Catclaw Draw Delaware Oil Pool.  
18 And we are better -- We are in the East Catclaw Draw  
19 Delaware Oil Pool with our well.

20          Q. (By Mr. Carr) All right, Mr. Morrow, let's  
21 now move on to Devon Exhibit Number 5. I'd like you  
22 first to identify this exhibit and then review it for  
23 Mr. Catanach.

24          A. Exhibit Number 5 is a plot of the daily oil  
25 and gas production for our Cactus State Number 1 well.

1 It was completed back in March and began production on  
2 March 24th.

3 Shown on this plot in the dark line  
4 connecting the black squares is the daily oil  
5 production. Kind of a dashed line connecting the open  
6 triangles is the daily gas production. And the top  
7 line connecting the black diamonds is the gas/oil  
8 ratio.

9 What we've tried to do with this well is  
10 adjust the choke to try to produce it at the allowable.

11 And what we've found out is that if you choke  
12 back the oil production, the gas production stays about  
13 the same and your GOR goes way up.

14 If you'll notice, right when the well came on  
15 line we tried to choke the oil production back to about  
16 50 or 60 barrels a day, gas production remained  
17 essentially constant, and the gas/oil ratio went up to  
18 about 4000.

19 After we did some more work on the well in  
20 the first part of May, you can see there are three  
21 instances where we tried to choke the well back. Gas  
22 production stayed about the same, and our GOR went way  
23 up to 8000 or 10,000.

24 Since then, the well has stabilized at about  
25 80 to 100 barrels a day, with a gas/oil ratio of

1 between 5000 and 6000.

2 I believe what this shows is that if we have  
3 to pinch the well back to try to produce at a lower  
4 GOR, the GOR actually increases, and essentially we are  
5 bleeding off gas pressure, losing reservoir pressure,  
6 and essentially wasting ultimate oil recovery.

7 I believe if we try to pinch the well back,  
8 we will dissipate the reservoir energy sooner than it  
9 would be if we could produce it at a higher GOR.

10 Q. So what happens actually is, when you curtail  
11 production, your gas production continues; it's the oil  
12 which you lose?

13 A. That's correct.

14 Q. And in the meantime, you're dissipating the  
15 reservoir energy?

16 A. That's correct.

17 Q. And the oil that's left in the ground,  
18 therefore, some of it would ultimately not be  
19 recovered?

20 A. Right, we would lose ultimate recovery by  
21 choking the well back.

22 Q. And the result of that is the waste of  
23 hydrocarbons?

24 A. That's correct.

25 Q. Let's move to Devon Exhibit Number 6. Could

1 you identify and review that, please?

2 A. Exhibit Number 6 is simply the tabular data  
3 that went into Exhibit Number 5. It's just some backup  
4 data that shows the daily oil, gas, GOR, water  
5 production and tubing/casing pressures for the well.

6 Q. Mr. Morrow, would you now identify Devon  
7 Exhibit Number 7 and review the information on that  
8 exhibit for the Examiner?

9 A. Exhibit Number 7 is a tabular production of  
10 the wells that are in the East Catclaw Draw Delaware  
11 Pool, which are operated by Chi Energy.

12 This shows the monthly oil and gas and GOR  
13 production for all the wells.

14 I'd simply like to point out at the very  
15 bottom of this chart, I've highlighted the cumulative  
16 gas/oil ratio for the life of these wells to show that  
17 this is a high GOR oil pool. The GORs range from about  
18 2000 up to over 4600 for the wells that are currently  
19 operating in the pool.

20 Q. All right. Let's now move to Devon's Exhibit  
21 Number 8. Would you identify and review that, please?

22 A. Exhibit Number 8 is a calculation showing the  
23 payout of our investment in these wells under different  
24 cases.

25 My basic assumptions are that the cost to

1 drill and complete one of these wells is about  
2 \$346,000.

3 I base my economic calculations on an oil  
4 price of \$19 west Texas intermediate, less two and a  
5 quarter for sour crude -- this area has H<sub>2</sub>S in it -- a  
6 gas price of \$1.50 per MCF.

7 I've shown two cases there.

8 What our payout would be under a 6000 GOR  
9 limit, would be about eight months.

10 If we were limited to 2000 gas/oil ratio, our  
11 payout would be about 27 months. And for this type of  
12 well it is very hard to justify additional drilling  
13 with over a two-year payout.

14 The result of this would be that producible  
15 hydrocarbons would be left in the ground if we were not  
16 economically able to drill these wells.

17 Q. So basically increasing the gas/oil ratio is  
18 going to provide economic incentive for additional  
19 development?

20 A. Yes, it will.

21 Q. Without it, there's a chance that additional  
22 wells just might not be drilled?

23 A. That's correct.

24 Q. And I guess your attorney misnumbered. Is  
25 Exhibit Number 10 an affidavit confirming that notice



1 of this Application has been provided to those affected  
2 interest owners who are entitled to notice under OCD  
3 rules?

4 A. Yes, it is.

5 Q. And attached to the affidavit is a listing of  
6 the parties to whom notices have actually been provided  
7 and, behind that, copies of the notice letters?

8 A. That's correct.

9 Q. In your opinion, if special rules are  
10 promulgated for this pool on a temporary basis, when  
11 would you recommend that this case be reopened and the  
12 matter re-examined by the Oil Conservation Division?

13 A. I would think we would probably need a period  
14 of 18 months to two years before we re-opened the case.

15 Based on the current mapping, we could drill  
16 probably three to four additional wells. We feel it  
17 would probably take a year to get these wells drilled  
18 and completed. After that, we would need sufficient  
19 time to gather enough production history to make our  
20 final determination.

21 Q. In 18 months to two years do you believe you  
22 could appear before the Division with sufficient  
23 information to make a recommendation for permanent  
24 rules for this pool?

25 A. Yes, I believe we could.

1 Q. In your opinion, would approval of this  
2 Application be in the best interest of conservation,  
3 the prevention of waste, and the protection of  
4 correlative rights?

5 A. Yes, I do.

6 Q. Were Exhibits 1 through 8 prepared by you?

7 A. Yes.

8 Q. And Exhibit 10 is the notice affidavit?

9 A. Right.

10 MR. CARR: At this time, Mr. Catanach, we  
11 would move the admission of Devon Exhibits 1 through 8  
12 and 10.

13 EXAMINER CATANACH: Exhibits 1 through 8 and  
14 10 will be admitted as evidence.

15 MR. CARR: That concludes my direct  
16 examination of Mr. Morrow.

17 EXAMINER CATANACH: Mr. Kellahin?

18 MR. KELLAHIN: Thank you, Mr. Examiner. No  
19 questions.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Mr. Morrow, is the Devon well actually being  
23 produced out of some of the same sands that are being  
24 produced in the Chi wells?

25 A. Yes, sir. Yes.

1           Q.    It seems that the Chi wells, from your cross-  
2 section, are producing at a higher -- from higher  
3 sands?

4           A.    Well, if you look at the well, I believe it's  
5 on Exhibit Number 3, the north-south cross-section, the  
6 well which is immediately offset to us, right across  
7 the lease line, is producing from what we call the Chi  
8 "D" sand, right at 3200 feet, showing the perforations  
9 there, which is the correlative sand to which we have  
10 perforated in our well.

11               And I believe the wells that are further to  
12 the north in Section 9 also produce from some of these  
13 various lower sands.

14           Q.    Are these -- In your opinion, are these sands  
15 vertically segregated?

16           A.    Given the distance from the lowestmost sand  
17 to the uppermost sand, some of them probably are.

18               But basically it is a common source of oil  
19 supply separate from the -- for instance, the Soapberry  
20 Draw Delaware gas reservoir, which is deeper.

21           Q.    You've got -- in the Devon well, you've got  
22 three different sands perforated?

23           A.    Yes.

24           Q.    Have you run any kind of profile on these to  
25 see what's coming out of each zone?

1 A. No, we have not.

2 Q. Do you believe that you've got oil production  
3 from each of the sands?

4 A. Yes, we do.

5 Q. On your Exhibit Number 5, you -- I believe  
6 you previously gave me three examples of when you tried  
7 to choke back the oil production?

8 A. Yes.

9 Q. What dates were those again?

10 A. If you look -- Are you looking on Exhibit  
11 Number 5 or Exhibit Number 6, the actual --

12 Q. Five.

13 A. Okay. You can see the first -- When we first  
14 brought the well on, on March 24th, we produced it for  
15 about three days, over 100 barrels a day. Then we  
16 tried to choke it back the next three days.

17 A. Uh-huh.

18 Q. See there, very early on in the life of the  
19 well?

20 Gas production remained about 180 MCF a day,  
21 and you can see the resulting increase in the GOR.  
22 That was one example.

23 The next example is after we brought the well  
24 back on in the end of April there. The actual date is  
25 kind of hard to tell from this plot. April 30th or May

1 1st, you can see we tried to choke the well back to  
2 about 40 barrels a day, and our GOR went up to about  
3 10,000.

4 Then again, about four days later we choked  
5 it back to 50 barrels a day, and the GOR went up to  
6 almost 9000.

7 And then a few days after that, we choked it  
8 back again and the GOR went up to -- about 8500, it  
9 looks like.

10 Q. An increase in the GOR after you've cut back  
11 on the oil production isn't normally what you would  
12 expect in a situation like this; is that correct?

13 A. It's not what you would expect in a single  
14 layer, homogeneous reservoir. But when you start  
15 having multiple layers and different reservoir  
16 characteristics, it's really hard to tell what you're  
17 going to expect when you do something like this to a  
18 well.

19 Q. Would you expect that a high GOR might singly  
20 hurt one of the sands, as opposed to benefitting as a  
21 whole? Might it be detrimental to one or more sands?

22 A. I don't believe so. I think that the -- All  
23 the Delaware sands, as I mentioned before, are  
24 basically, in this area, a common source of supply with  
25 very similar fluid characteristics.

1 I don't think you have one zone that's  
2 predominantly oil and one that's predominantly gas. I  
3 think they're all basically the same fluid with a high  
4 GOR.

5 So I don't think that one zone would be  
6 preferentially hurt or helped as opposed to another.

7 Q. Is your well over-produced at this point?

8 A. I don't know the answer to that.

9 Q. Okay. When you tried to cut back on the oil  
10 production, do you think that you allowed enough time  
11 for the rate to stabilize?

12 A. I think we've seen that, talking to the field  
13 people that actually, you know, work on the well, and  
14 to our production engineer that, yes, I think it's  
15 sufficient time.

16 Q. Does -- Have you talked to Chi about your  
17 proposal, Chi Energy?

18 A. I have not talked to them personally about  
19 it. I believe they've been -- Our land department has  
20 been in contact with them.

21 I might mention that Chi Operating is a  
22 working interest owner in our well also.

23 Q. This pool's been effectively developed for at  
24 least two years at a 2000-to-one GOR.

25 Do you feel there's sufficient reason to

1 change at this point?

2 A. I believe that with this extension of the  
3 field, yes, I do. I think with the new structure map  
4 that we have and the possibility of further extension,  
5 I think the increased GOR allowable is warranted.

6 MR. STOVALL: Who are the offset operators  
7 around the pool?

8 Let me ask you a preliminary question. Maybe  
9 I'm asking the wrong person.

10 Who made the determination about who you  
11 should be giving notice to? Is that largely Mr. Carr,  
12 or were you involved in that? Do you have knowledge of  
13 it?

14 THE WITNESS: No, I do not. That was handled  
15 through our law department with Mr. Carr. Our land  
16 department, I'm sorry.

17 MR. STOVALL: Mr. Carr, did we get everybody  
18 within a mile, operators within a mile?

19 MR. CARR: All operators within a mile have  
20 been notified. And we got this information from the  
21 land department.

22 If you'd like me to confirm that to you, Mr.  
23 Stovall, I'd be glad to.

24 MR. STOVALL: Your affidavit is confirmation.  
25 I'm just assuming that's what you intended when you

1 said all people entitled to notice. I just thought I'd  
2 ask and make sure.

3 MR. CARR: I'll put it in writing again if  
4 you'd like.

5 MR. STOVALL: That's why we get affidavits  
6 these days.

7 Q. (By Examiner Catanach) Mr. Morrow, have you  
8 had a chance to examine any of the Chi wells with  
9 respect to if they show the same kind of producing  
10 characteristics as your well, with respect to an  
11 increasing GOR?

12 A. No, I have not really examined that to that  
13 detail. Basically all I did was look at the monthly  
14 production on the wells. I did not really look at the  
15 individual producing characteristics as far as choke  
16 settings and daily production.

17 Q. So your opinion that this won't cause any  
18 reservoir waste, this increase in GOR, is really based  
19 on the three one-day tests that you have discussed in  
20 your Exhibit 5?

21 A. Well, I believe it's more than just three  
22 one-day tests. I think if you look across that whole  
23 plot, you can see the times where we tried to curtail  
24 oil production, the gas production remained fairly  
25 constant, resulting in a higher GOR.



1 I think they've noticed that for the two or  
2 three months this well's been on production.

3 Q. It does appear in some instances when the oil  
4 production drops down, the GOR actually drops down as  
5 well, in some of the figures here.

6 So this isn't really a consistent thing  
7 that's happening all the time?

8 A. Well, you also, I think, have to realize that  
9 some of these daily production numbers are actual --  
10 You have natural fluctuations in the performance of the  
11 well that are not specifically caused by the choke  
12 setting on the well.

13 But the instances where we did choke the well  
14 back, you can see that GOR spike.

15 Q. But you don't have marked on this exhibit  
16 which actually were the times that the well was choked  
17 back?

18 A. No, I don't.

19 Q. Can you provide that information to me?

20 A. I believe I can. I'd have to go back and  
21 look at our daily records.

22 Q. Okay, I would appreciate that.

23 EXAMINATION

24 BY MR. STOVALL:

25 Q. Mr. Morrow, you're asking for a 6000-to-one

1 GOR; is that correct?

2 A. Yes.

3 Q. Now, it looks like, assuming a pool  
4 extension, that yours is the only well in that range,  
5 and it looks like at last production shown on here,  
6 you're more in the 4000 range; is that correct?

7 I mean, as you kind of follow the trend of  
8 your GOR line, it looks to me like it's beginning to  
9 level out around 4000?

10 A. I believe it's in like the 5000-to-6000 range  
11 over the last several weeks' production.

12 Q. Oh, I'm sorry, you're right. Yeah, I was off  
13 one...

14 The other wells in the pool which have got  
15 anywhere from a year to two years' production -- excuse  
16 me, two years' to three years' production -- are all --  
17 the highest one is 4600. The rest of them are all  
18 under 4000, are they not?

19 A. Yes, that's correct.

20 Q. And again, just looking at your -- I'm  
21 looking at Exhibit 7. It looks -- It appears to me in  
22 just looking at the thing that there was some movement  
23 but it's -- they have tended, after they've kind of  
24 stabilized, to kind of come down a little bit. Without  
25 a curve, it's kind of hard to see that, but...

1           In other words, why are we going for the  
2           maximum GOR that we might expect in your well when the  
3           pool doesn't seem to indicate it, that 6000 is really  
4           what you need. Maybe 4000 might give you some of the  
5           incentives you're talking about, without maxing the gas  
6           production?

7           A. Well, I think if you look at -- if you refer  
8           back to Exhibit Number 2, which is our structure map --

9           Q. Uh-huh.

10          A. -- we are structurally higher, slightly  
11          higher than some of the Chi wells, and I believe that  
12          the further extension of the reservoir in Section 16  
13          will be more structurally similar to our well than the  
14          Chi wells, and I think they will be slightly higher GOR  
15          than the Chi wells.

16          Q. What's your contour interval on that?

17          A. I believe it's 50 feet. Yes.

18          Q. And this is a subsea?

19          A. Yes.

20          MR. STOVALL: That's all I have.

21          EXAMINER CATANACH: I have nothing further.

22          MR. CARR: Mr. Catanach, we have nothing  
23          further in this case.

24                 We will submit to you in writing the dates  
25                 from our daily record as to when the well was

1 curtailed.

2 EXAMINER CATANACH: Okay, thank you, Mr.

3 Carr.

4 There being nothing further, Case 10,746 will  
5 be taken under advisement.

6 (Thereupon, these proceedings were concluded  
7 at 9:50 a.m.)

8 \* \* \*

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25


## 1 CERTIFICATE OF REPORTER

2  
3 STATE OF NEW MEXICO )  
4 ) ss.  
COUNTY OF SANTA FE )

5  
6 I, Steven T. Brenner, Certified Court  
7 Reporter and Notary Public, HEREBY CERTIFY that the  
8 foregoing transcript of proceedings before the Oil  
9 Conservation Division was reported by me; that I  
10 transcribed my notes; and that the foregoing is a true  
11 and accurate record of the proceedings.

12 I FURTHER CERTIFY that I am not a relative or  
13 employee of any of the parties or attorneys involved in  
14 this matter and that I have no personal interest in the  
15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL July 18th, 1993.

17   
18 STEVEN T. BRENNER  
19 CCR No. 7

20 My commission expires: October 14, 1994  
21

22 I do hereby certify that the foregoing is  
23 a complete record of the proceedings in  
the Examiner hearing of Case No. \_\_\_\_\_,  
24 heard by me on \_\_\_\_\_ 19\_\_\_\_.

25 \_\_\_\_\_, Examiner  
Oil Conservation Division