

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

CASE 10,778

EXAMINER HEARING


IN THE MATTER OF:

Application of Conoco, Inc., for a high-
angle/horizontal directional drilling pilot
project, special operating rules therefor and an
unorthodox producing interval, San Juan County,
New Mexico

ORIGINAL

TRANSCRIPT OF PROCEEDINGS

BEFORE: MICHAEL E. STOGNER, EXAMINER



STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

July 29, 1993

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
Attorneys at Law
By: W. THOMAS KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265

* * *

I N D E X

	Page Number
Appearances	2
REED H. MEEK	
Direct Examination by Mr. Kellahin	6
Examination by Examiner Stogner	20
DON EUBANK	
Direct Examination by Mr. Kellahin	22
Examination by Examiner Stogner	27
Certificate of Reporter	30

* * *

1	E X H I B I T S	
2	APPLICANT'S EXHIBITS:	
3	Exhibit 1	7
4	Exhibit 2	9
5	Exhibit 3	12
6	Exhibit 4	13
7	Exhibit 5	13
8	Exhibit 6	14
9	Exhibit 7	15
10	Exhibit 8	16
11	Exhibit 9	17
12	Exhibit 10	11
13	Exhibit 11	24
14	Exhibit 12	24
15	Exhibit 13	24
16	Exhibit 14	24
17	Exhibit 15	28

* * *

1 WHEREUPON, the following proceedings were had
2 at 12:21 p.m.:

3 EXAMINER STOGNER: Call the next case, Number
4 10,778, which is the Application of Conoco, Inc., for a
5 high-angle/horizontal directional drilling pilot
6 project, special operating rules therefor and an
7 unorthodox producing interval, San Juan County, New
8 Mexico.

9 At this time I'll call for appearances.

10 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin
11 of the Santa Fe law firm of Kellahin and Kellahin,
12 appearing on behalf of the Applicant, and I have two
13 witnesses to be sworn.

14 EXAMINER STOGNER: Are there any other
15 appearances in this matter?

16 Will the witnesses please stand to be sworn?

17 (Thereupon, the witnesses were sworn.)

18 EXAMINER STOGNER: You may be seated.

19 Mr. Kellahin?

20 MR. KELLAHIN: Thank you, Mr. Examiner.

21 I'd like to call at this time Mr. Reed Meek.

22 Mr. Examiner, while Mr. Meek is finding his
23 way to the witness chair, the advertisement is not
24 intended to be any surprise to you. Both the surface
25 and the producing interval is intended to be no closer

1 than 790 from the setbacks of the 320 spacing unit
2 consisting of the east half of 21.

3 The last phrasing of the ad about an
4 unorthodox producing interval was intended to mean that
5 we're going to cross over a quarter quarter line, as
6 well as the quarter-section line, and I think if you
7 look at Rule 4 of the Basin Fruitland Coal Gas Rules,
8 there is at least the appearance that this case might
9 require that kind of exception, so we threw it in the
10 ad.

11 EXAMINER STOGNER: In other words, your
12 intention was, naturally you're going to be crossing
13 over some internal --

14 MR. KELLAHIN: And that's the only way it's
15 unorthodox.

16 EXAMINER STOGNER: All right. Thanks for
17 clarifying that, Mr. Kellahin.

18 REED H. MEEK,
19 the witness herein, after having been first duly sworn
20 upon his oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Meek, would you please state your name
24 and occupation?

25 A. Yes, my name is Reed Meek, and I'm a

1 geologist.

2 Q. Mr. Meek, on prior occasions have you
3 testified before the Division as a petroleum geologist?

4 A. I have.

5 Q. You were one of the geologic witnesses in a
6 tight-sand application, I believe, before Examiner
7 Stogner, the hearing for which was actually conducted
8 at the BLM office in Albuquerque, was it not?

9 A. That's correct.

10 Q. With regards to your geologic duties for
11 Conoco, have you made an investigation of the geology
12 surrounding this particular Application?

13 A. I have.

14 Q. As part of the presentation of exhibits, do
15 the geologic maps that are contained in here represent
16 your own work?

17 A. Yes, they do.

18 MR. KELLAHIN: We tender Mr. Meek as an
19 expert geologist.

20 EXAMINER STOGNER: Mr. Meek is so qualified.

21 Q. (By Mr. Kellahin) Let me have you turn, sir,
22 to the identification locator plat, which is Number 1.
23 Let's use that as a reference point and have you
24 outline for me what you're proposing to do.

25 A. All right. We're proposing to drill a

1 horizontal well in the basal seam of the Fruitland Coal
2 formation. This is in Section 21 of Township 29 North,
3 Range 8 West.

4 And in this section, Conoco currently
5 operates two vertical Fruitland Coal wells. These are
6 the Hughes B18 in the northeast quarter and the Hughes
7 B20 in the southwest quarter. This is an area where --
8 Neither of these wells is a particularly good well in
9 terms of performance, and we would like to drill this
10 horizontal well as an experimental pilot-type project
11 to see if horizontal drilling can help us to recover
12 more of the gas in place in the Fruitland formation.

13 Q. Let's talk about some of the incidental items
14 before we talk about the specific geology, Mr. Meek.

15 First of all, does the Exhibit Number 1
16 correctly display Conoco's belief as to the offsetting
17 operators?

18 A. Yes, it does.

19 Q. The proposed drilling producing window is a
20 setback of 790 from each of the four side boundaries of
21 the spacing unit?

22 A. Right.

23 Q. And the surface location for the well is to
24 be located within that drilling producing window?

25 A. That's right.

1 Q. Has Conoco made an investigation of the
2 surface to determine if you have an approvable surface
3 location from which to commence the well?

4 A. Yes, we have.

5 Q. What kind of lease are we dealing with here?

6 A. This is a federal lease.

7 Q. What is the current status, to the best of
8 your knowledge, of your approvals of the use of the
9 surface by the Bureau of Land Management?

10 A. Archeological surveys have been approved. I
11 believe the surface location is still pending, but we
12 anticipate that it will be approved.

13 Q. Okay. The use of high-angle horizontal
14 technology to test for production in the coal
15 formation, has that been utilized in this area?

16 A. Not in this immediate area, no.

17 Q. Let's turn now to Exhibit 2 and look at what
18 the status of current development is of coal gas wells.

19 Section 21 is in the center. Are we looking
20 at only coal gas wells when we look at the well symbols
21 in this exhibit?

22 A. Yes, this is a nine-section area surrounding
23 our proposed location, and it shows all of the
24 Fruitland Coal gas wells that have been drilled to date
25 in the area.

1 Q. What kind of information is shown in addition
2 to the well locations?

3 A. To the right of each of the well locations is
4 the daily average rate in MCF per day, during the year
5 1992, and then posted below each of the well symbols is
6 the cumulative gas production from the well.

7 Q. What is Conoco's plan for the Hughes B18
8 well, which is the existing vertical well in this
9 spacing unit?

10 A. We intend to abandon that well and produce
11 the Fruitland with the horizontal well that will
12 replace it.

13 Q. If the high-angle horizontal well is
14 successful, then you would not concurrently produce the
15 horizontal well with this vertical well?

16 A. No.

17 Q. Give us an indication of what causes you to
18 believe that the vertical wells are not very productive
19 in this immediate vicinity.

20 A. Well, primarily that's based on the
21 production performance that we see from the wells,
22 which I've shown on this map. Every well surrounding
23 the location is what we consider a low-rate producer.

24 These wells are completed by drilling
25 vertically through the coal, setting casing, cementing

1 casing, and then perforating and fracture stimulation.

2 Q. Do you see any difference in the method of
3 drilling and completing the vertical wells that gives
4 you an explanation as to why they're such poor
5 producers?

6 A. We believe that it's inherent in the quality
7 of the reservoir rock.

8 Q. As opposed to some mechanical or completion
9 technique utilized for the vertical wells?

10 A. That's right. There's been a number of
11 different types of fracture stimulations used. None of
12 them seems to be much more effective than others, but
13 this is simply an area where the Fruitland Coal tends
14 to be tight and have low permeability.

15 Q. Other than Conoco and Meridian, are there any
16 other operators with vertical coal wells in the nine-
17 section area?

18 A. Yes, there's a company, McKenzie Methane,
19 that operates, I believe, three wells within the nine-
20 section area.

21 Q. Has Conoco provided Notice to Meridian and to
22 McKenzie Methane of your Application for hearing today?

23 A. Yes, we have.

24 Q. To the best of your knowledge, has there been
25 any objection from any of the parties?

1 A. No, none.

2 Q. No objection?

3 A. No.

4 Q. Let's turn now to the geology. Let me have
5 you identify first of all Exhibit Number 3.

6 A. Okay. This exhibit really relates to the
7 previous exhibit in that I'm showing the average daily
8 production rate from Fruitland Coal wells, throughout a
9 fairly large portion of the Fruitland Coal field. It's
10 a 21-township area, and in the southeastern portion is
11 the Township 29 North, Range 8 West where we propose to
12 drill the horizontal test.

13 The reason for showing this is to illustrate
14 two different areas of the Fruitland Coal reservoir.
15 In the northern portion where the areas are colored
16 red, these are high-rate, high-volume wells. They have
17 high pressures, so that it's -- we believe that the
18 coal reservoir in this area is overpressured and that
19 the coal permeability is relatively high.

20 Q. What is your criteria for determining whether
21 a well is in the overpressure or underpressure area?
22 Is there a range of pressures that cause that well to
23 be classified in one area or another?

24 A. Yes, the -- Overpressure is anything greater
25 than hydrostatic pressure, which is .43 pounds per foot

1 -- or pounds per square inch, per foot of depth.

2 Q. Has any other operator in the immediate area
3 where you find yourself in the underpressured coal,
4 drilled a high-angle horizontal well at this point?

5 A. Not to my knowledge.

6 Q. Let me ask you to turn to Exhibit 4. Would
7 you identify and describe for us Exhibit Number 4?

8 A. Exhibit Number 4 is a coal thickness isopach
9 map of the basal seam of the Fruitland formation, and
10 the reason for including this in the exhibits is to
11 illustrate that there is substantial coal thickness
12 outside of the area of overpressured production.

13 We feel like there is a tremendous amount of
14 gas in place in this coal, but in general the coal --
15 the wells drilled in the underpressured portion of the
16 coal reservoir are not effectively accessing the
17 reservoir and producing the reserves that are there.

18 Q. Have you taken the information on coal
19 thickness and reduced it to an isopach that
20 specifically identifies your interpretation of coal
21 thickness, the net coal thickness for Section 21?

22 A. On the next exhibit is a nine-section plat
23 surrounding Section 21, which shows the thickness of
24 the basal coal seam to be a little bit more than 30
25 feet in Section 21.

1 Q. Can you explain the poor productivity of the
2 wells in this area in relation to coal thickness?

3 A. No, there doesn't seem to be a direct
4 correlation between the thickness of the coal and what
5 the wells are capable of producing.

6 Q. What is Conoco's technical opinion about the
7 gas in place within the section and the opportunity to
8 produce that gas with a high-angle well? Are there gas
9 reserves there that can be accessed with a high-angle
10 well?

11 A. We know that there is gas in place in the
12 coal. We have taken measurements. The next exhibit is
13 a -- we call an adsorption isotherm, which is a --

14 Q. Let's look at that. It's Exhibit 6?

15 A. Exhibit 6, right --

16 Q. Okay.

17 A. -- which is a method for measuring the
18 ability of the coal in this area to contain gas.

19 We know that the reservoir pressure in this
20 area is in the neighborhood of 800 pounds. So based on
21 this data, this curve, we believe that there's about
22 300 standard cubic feet of gas per ton of coal in place
23 in the Fruitland reservoir.

24 Q. Is that a sufficient volume of gas per ton of
25 coal to make it profitable to drill for a coal gas

1 well?

2 A. Yes, we believe that there is plenty of gas
3 in place to access, if we can get an effective
4 completion in the formation --

5 Q. How does the high-angle horizontal technology
6 help you to access and produce in the coal in a way
7 that you cannot achieve with the vertical well?

8 A. Okay, on the next exhibit, Exhibit 7, I'm
9 showing a diagram that illustrates the nature of the
10 coal reservoir.

11 In the upper right-hand corner of the diagram
12 is a square block illustrating the fracture system or
13 the cleat system that is inherent to the coal
14 reservoir.

15 And there are two directions of cleating.
16 The face cleats are long and continuous, and the butt
17 cleats are shorter cleats that run perpendicular to the
18 face cleat direction.

19 In order to produce the gas, which is
20 actually stored within the matrix blocks of the coal,
21 the process that has to take place is that the gas
22 needs to be desorbed from the coal matrix, then it has
23 to diffuse through the matrix into the fracture system,
24 and then it can move through the normal fluid-flow
25 processes through the cleat system.

1 So the key to producing coal gas is to access
2 as many of the cleats as possible.

3 Q. Is there any way that you as a geologist can
4 map or make an interpretation as to the orientation of
5 the face cleats?

6 A. Well, there are some methods. The data that
7 we have that predicts which direction the face cleats
8 are oriented is coming from published sources. There
9 are at least four wells drilled in San Juan Basin where
10 they have taken oriented cores and then studied the
11 direction of the cleating pattern in these cores.

12 Q. When we look at Section 21, what is the
13 general belief among experts in your area as to the
14 orientation of the face cleats?

15 A. Well, I've illustrated on Exhibit Number 8
16 the anticipated face cleat orientation, and this is
17 based on the four cores that I described a moment ago,
18 the four studies of oriented cores, and they had a
19 consistent pattern of the face cleats orienting
20 themselves to approximately 30 degrees east of north.

21 Q. What then explains your basis for the
22 orientation of the azimuth for the producing interval
23 of the high-angle well?

24 A. We're running not quite perpendicular to the
25 face cleat direction, but we've oriented the well so

1 that we can intersect as many of the face cleats as
2 possible within the 320 proration unit, remaining
3 within the 790-foot limits.

4 Q. By giving yourself the greatest opportunity
5 to access the maximum number of face cleats with this
6 orientation, and being in the underpressured area, is
7 there anything that the horizontal well lets you do
8 that the vertical well might not be able to accomplish
9 in terms of pressure relationships?

10 A. Well, we believe that being able to access
11 more of the cleats will allow us to draw the reservoir
12 pressure down more effectively and therefore be able to
13 desorb -- release more of the gas from the coal and
14 produce more of it.

15 One of the problems with the vertical wells
16 is that we fracture-stimulate those, and we feel that
17 the fracture stimulation tends to run along the face
18 cleat direction so that it isn't effectively
19 intersecting additional face cleats; it's just
20 propagating along the direction of one face cleat.

21 Q. Have you made a geologic investigation of the
22 structure orientation of the coal beds?

23 A. Yes, I have, and that's shown on Exhibit
24 Number 9.

25 Q. Identify and describe to us what that shows

1 you as a geologist.

2 A. This is a structure map on the top of the
3 Pictured Cliffs, which is actually also the base of the
4 Fruitland Coal formation.

5 It illustrates that there is a general
6 structural dip to the horizons in this area, dipping to
7 the north at about 30 to 40 feet per mile. So we
8 believe that the well, the horizontal well, if we --
9 where we drill, where we intersect the coal in the
10 northeast quarter, will experience about a 20-foot
11 structural rise between that point and where we propose
12 to end our drilling at the bottomhole location.

13 The other point is that there is apparently
14 no faulting or any major structural elements other than
15 this general monoclinal dip that affect our drilling
16 proposal.

17 Q. Exhibit 9 shows a line of cross-section
18 between two wells?

19 A. That's right.

20 Q. You have the existing vertical well in the
21 northeast quarter, and the cross-section is tied to
22 well 21 in the southeast quarter of 21?

23 A. That's right.

24 Q. What is well 21? That's not a coal gas well,
25 is it?

1 A. No, well number 21 is a well that produces
2 from the Pictured Cliffs formation, immediately
3 underlying the coal formation.

4 Q. Let me have you turn to Exhibit Number 10 and
5 identify and describe the cross-section.

6 A. All right. I have -- It's oriented from left
7 to right in a north-and-south direction. The Fruitland
8 Coal formation is about 250 to 300 feet thick in this
9 area.

10 The Fruitland is underlain by the Pictured
11 Cliffs and overlain by the Kirkland, and then within
12 the Fruitland there are multiple coal seams. We
13 generally separate those out into three seams, and I've
14 just highlighted the basal seam, which is the target of
15 our horizontal drilling project. It's a thick seam,
16 it's about 30 feet in thickness in this area, and it's
17 very continuous throughout this area.

18 Q. What is your geologic plan for the producing
19 interval of the high-angle well? What coal seam are
20 your targeting?

21 A. We're targeting just this basal coal seam
22 that I've highlighted on the cross-section.

23 Q. What is your conclusion about the opportunity
24 to access that coal as a continuous reservoir within
25 the east half of the section?

6 We move the introduction of his Exhibits 1
7 through 10.

10	EXAMINATION
----	-------------

12 Q. Mr. Meek, what -- Referring to Exhibit Number
13 2, at what rate would you consider probably not doing a
14 horizontal well in that it would be too good or --
15 Because you were looking for a moderate to a mediocre
16 rate or production rate, were you not, to do this
17 horizontal section?

19 Q. And what would not fit that bill?

24 This area certainly is a candidate because
25 it's much lower than that. There are a number of wells

1 in other underpressured reservoirs that -- in other
2 parts of the Basin that would produce at maybe 200 to
3 300 MCF per day, and I believe that this technology
4 might have an application in those areas as well.

5 Q. But you're also going with thickness too; is
6 that correct?

7 A. Right. The reason for selecting the location
8 that we have is that we have -- Number one, it's a low-
9 rate area, where we're not able to produce the reserves
10 that are in place because of the nature of the
11 reservoir.

12 Number two, it's an area Conoco has a hundred
13 percent working interest, and we wanted to drill on
14 that type of location. Many of the other areas we have
15 interest in, we have several partners involved in
16 wells. So that's the other reason for choosing this
17 area.

18 Q. How was your number 18 completed? Was it an
19 open hole, or was it cased?

20 A. It was cased and frac'd.

21 Q. Does that also hold true with the way the
22 other wells within this nine-section area were also
23 completed?

24 A. Yes, every well in this nine-section area is
25 completed with the case and frac.

1 EXAMINER STOGNER: Okay, I have no other
2 questions of this witness at this time. I want to hear
3 what your other one has to say, Mr. Kellahin.

4 MR. KELLAHIN: All right, sir, we would call
5 Mr. Don Eubank.

6 DON EUBANK,
7 the witness herein, after having been first duly sworn
8 upon his oath, was examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Mr. Eubank, would you please state your name
12 and occupation?

13 A. My name is Don Eubank. I'm a drilling
14 engineer.

15 Q. When and where did you obtain your degree in
16 engineering, Mr. Eubank?

17 A. Texas A&M University.

18 Q. And what year was that?

19 A. 1985.

20 Q. Apart from your bachelor of science degree,
21 do you have any other degrees in engineering?

22 A. I've got another degree in geology from
23 Abilene Christian University in 1983.

24 Q. So you are degreed in both geology and
25 engineering?

1 A. Yes, sir.

2 Q. Describe for us what has been your experience
3 as a drilling engineer.

4 A. I've spent six years in drilling engineering
5 with Conoco. I've worked in three different locations,
6 Midland, Hobbs and Houston.

7 While in Houston, I worked international and
8 offshore/onshore, North America in six to eight states.

9 Q. Is it part of your duties as a drilling
10 engineer for your company to help design, implement and
11 execute the drilling program for this high-angle
12 horizontal well?

13 A. Yes, sir.

14 Q. And have you done that?

15 A. Yes, sir.

16 Q. You've completed your study and you now have
17 opinions on this subject, on how to drill and complete
18 it?

19 A. Yes, sir.

20 MR. KELLAHIN: We tender Mr. Eubank as an
21 expert drilling engineer.

22 EXAMINER STOGNER: Mr. Eubank is so
23 qualified.

24 Q. (By Mr. Kellahin) Let me have you identify
25 each of your displays, and let's then come back and use

1 just one to describe to Mr. Stogner what you're
2 proposing.

3 A. Okay.

4 Q. So rather quickly, let's have you tell me
5 what Exhibit 11 is.

6 A. Exhibit 11 is a proposed well plan outline.

7 Q. This is the --

8 A. -- the composite.

9 Q. -- the composite of your information.

10 And then Exhibit Number 12 is what?

11 A. The proposed well plan outline.

12 Q. And this would be the vertical section?

13 A. That's right.

14 Q. And then we have a horizontal plan which is
15 13, is it not?

16 A. Yes, sir.

17 Q. And then you have a tabulation of the well
18 plan information on Exhibit 14?

19 A. Yes, sir.

20 Q. All right. Let's go back to 11 now.

21 Using this display as an illustration,
22 commence at the surface and tell us how you propose to
23 do this.

24 A. We'll drill a 17-1/2-inch hole to 250 feet,
25 where we will run 13 3/8 casing and cement it.

1 Out from under 13 3/8 casing we'll drill an
2 11-inch hole to a planned kickoff point of 2558 feet.

3 Q. Stop right there. Tell the Examiner how you
4 have determined that your kickoff point will be
5 approximately at 2558.

6 A. Okay, what we have done is, with the
7 geological information of where the actual pay zone or
8 the target zone is located, we've backed out at a 12-
9 degree-per-hundred-foot build angle up to that kickoff
10 point depth.

11 Q. What then are you going to do?

12 A. At the kickoff point we'll build hole angle
13 at 12 degrees per hundred feet. And once we reach a
14 terminal hole angle of 94.4 degrees, we'll be inside
15 the target formation.

16 At that point we'll run 8 5/8 inch casing and
17 cement it through the build section.

18 Q. At that point, how have you determined where
19 you are in the subsurface?

20 A. From surface down to kickoff point, we will
21 take single shots, which give us azimuth and drift.

22 During the build section of the hole we'll
23 have an MWD tool in the hole, and that is the way we'll
24 get our azimuth and drift and build angle.

25 Q. At what interval do you take these readings?

1 A. My MWD tool will mostly likely take those
2 every Kelly-down, or 31 feet.

3 Q. Once you have found yourself in the basal
4 seam of the coal, how then will you proceed?

5 A. After setting the 8 5/8 casing we will drill
6 a 7-7/8-inch lateral at 90.4 degrees, out to a measured
7 depth of 6400 feet. We'll be using an MWD tool and a
8 motor in that hole section also.

9 Q. Will you have the means then to determine
10 where you are down both horizontally and laterally
11 within that coal seam?

12 A. Yes, sir, we will.

13 Q. What determines the end point of the lateral?

14 A. We chose an end point just short of the 790
15 setback.

16 We could have gone all the way to the
17 setback. We felt that if, on this first attempt, that
18 we got 300 or over 3000 foot of lateral, we'd be happy
19 with that.

20 And so we terminated the lateral before the
21 setback length, just for a little play in the length of
22 the lateral.

23 Q. Is the plan then to have the entire well
24 located within the drilling/producing window, as shown
25 on Exhibit Number 1?

1 A. Yes, sir.

2 Q. How will you complete the well?

3 A. The well will be completed open-hole with no
4 stimulation. We'll run tubing inside the 8 5/8 with a
5 packer and complete it open-hole.

6 Q. The other illustrations demonstrate in other
7 fashions the information concerning the drilling and
8 completion plan, do they not?

9 A. Yes, sir, they do.

10 Q. Okay. Does this represent your work?

11 A. Yes, sir.

12 MR. KELLAHIN: That concludes my examination
13 of Mr. Eubank.

14 We move the introduction of his Exhibits 11
15 through 14.

16 EXAMINER STOGNER: Exhibits 11 through 14
17 will be admitted into evidence.

18 EXAMINATION

19 BY EXAMINER STOGNER:

20 Q. The lateral will be open-hole, correct?

21 A. Yes, sir.

22 Q. Okay. Is there any stimulation that will be
23 done --

24 A. No, sir.

25 Q. -- to that open-hole completion?

1 A. No, sir, there will not.

2 Q. I know we don't like to talk about it,
3 especially at this stage, but how would such a well be
4 plugged, hopefully in the far future, but how would a
5 well such as this be plugged adequately?

6 A. We could go down and, according to the rules
7 and regulations, set open-hole plugs along the lateral
8 at any point.

9 Plugs can also be set up into the cased-hole
10 portion also.

11 Q. Are you anticipating any water production or
12 that you have to put a pump on this well, or does any
13 other wells within the area have pumps?

14 A. No, sir, we don't anticipate that. If we
15 encounter water while we're drilling, we've got
16 contingency plans to mist-drill, foam-drill if we have
17 to.

18 We don't encounter any water production in
19 this part of the reservoir.

20 EXAMINER STOGNER: Any other questions of
21 this witness?

22 MR. KELLAHIN: No, sir.

23 EXAMINER STOGNER: He may be excused.

24 Mr. Kellahin?

25 MR. KELLAHIN: The last exhibit, Mr.

1 Examiner, is my certification on the mailing
2 notification, and it's marked as Exhibit Number 15.

3 We would move the introduction of that
4 exhibit, and that concludes our presentation.

5 (Off the record)

6 EXAMINER STOGNER: Is there anything further
7 in Case 10,778?

8 MR. KELLAHIN: No, sir.

9 EXAMINER STOGNER: If not, this case will be
10 taken under advisement.

11 (Thereupon, these proceedings were concluded
12 at 12:53 p.m.)

13 * * *

14

15

16

17

18

19

20

21

22

23

24

25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL August 16th, 1993.


STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1994

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 10778, heard by me on July 29 1993.


Examiner
Oil Conservation Division