

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


NEW MEXICO OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
STATE OF NEW MEXICO
CASE NO. 10804

IN THE MATTER OF:

The Application of Collins & Ware, Inc.
for special pool rules, Eddy County,
New Mexico,

BEFORE:

MICHAEL E. STOGNER
Hearing Examiner
State Land Office Building
August 26, 1993



COPY

REPORTED BY:

SUSAN B. SPERRY
Certified Court Reporter
for the State of New Mexico

1

A P P E A R A N C E S

2

3 FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

4 ROBERT G. STOVALL, ESQ.

General Counsel

5 State Land Office Building

Post Office Box 2088

6 Santa Fe, New Mexico 87504-2088

7 FOR THE APPLICANT:

8 CAMPBELL, CARR, BERGE & SHERIDAN, P.A.

110 N. Guadalupe, Suite 1

9 P. O. Box 2208

Santa Fe, New Mexico 87504-2208

10 BY: William F. Carr, Esq.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1. CURTIS A. ANDERSON

Examination by Mr. Carr

4

Examination by Mr. Stogner

15

2. REX HOWELL

Examination by Mr. Carr

20

Examination by Mr. Stogner

33

Certificate of Reporter

40

E X H I B I T S

Page Marked

Exhibit No. 1

6

Exhibit No. 2

8

Exhibit No. 3

9

Exhibit No. 4

9

Exhibit No. 5

15

Exhibit No. 6

22

Exhibit No. 7

24

Exhibit No. 8

24

Exhibit No. 9

26

1

2 EXAMINER STOGNER: If this hearing will
3 come to order, I'll call the next case, No. 10804.

4 MR. STOVALL: Application of Collins &
5 Ware, Inc. for special pool rules, Eddy County, New
6 Mexico.

7 EXAMINER STOGNER: Call for appearances.

8 MR. CARR: May it please the Examiner, my
9 name is William F. Carr with the Santa Fe law firm
10 Campbell, Carr, Berge & Sheridan. I represent Collins &
11 Ware, Inc., and I have two witnesses.

12 EXAMINER STOGNER: Are there any other
13 appearances?

14 Will the witnesses please stand to be sworn?

15 CURTIS A. ANDERSON

16 After having been first duly sworn under oath,
17 was questioned and testified as follows:

18 EXAMINATION

19 BY MR. CARR:

20 Q. Will you state your name for the record, please?

21 A. My name is Curtis Anderson.

22 Q. Where do you reside?

23 A. In Midland, Texas.

24 Q. By whom are you employed?

25 A. By Collins & Ware, Inc.

1 Q. What is your current position with Collins &
2 Ware?

3 A. I'm a geologist.

4 Q. Mr. Anderson, have you previously testified
5 before this Division?

6 A. Yes, I have.

7 Q. And, at the time of that prior testimony, were
8 your credentials as an expert witness in petroleum geology
9 accepted and made a matter of record?

10 A. Yes.

11 Q. Are you familiar with the application filed in
12 this case by Collins & Ware?

13 A. Yes, I am.

14 Q. Have you made a geologic study of the portion of
15 Eddy County, New Mexico, that's involved in this case?

16 A. Yes.

17 MR. CARR: Are the witness's qualifications
18 acceptable?

19 EXAMINER STOGNER: They are.

20 Q. (By Mr. Carr) Mr. Anderson, could you briefly
21 state what Collins & Ware seeks with this application?

22 A. We seek temporary special field rules for the
23 Happy Valley-Delaware Field, including oil allowable of
24 160 barrels a day, and a gas-oil ratio of 10,000 to one.

25 Q. Have you prepared certain geologic exhibits for

1 presentation at this hearing?

2 A. Yes, I have.

3 Q. Could you refer to, first, what has been marked
4 as Collins & Ware Exhibit No. 1? Identify this and review
5 it for Mr. Stogner.

6 A. Exhibit No. 1 is working interest ownership map,
7 covering the Happy Valley-Delaware Field. Collins & Ware
8 is the operator of the wells currently producing in the
9 field.

10 Q. Mr. Anderson, to help us get oriented as to what
11 we're talking about, could you identify for the Examiner
12 the current pool boundaries of the Happy Valley-Delaware
13 Pool?

14 A. Yes, sir. It is, the current boundaries include
15 40 acres, being the northeast quarter of the northwest
16 quarter of Section 33, 22 south, 26 east, Eddy County.

17 Q. Now, there are how many wells currently
18 completed in this pool?

19 A. Two.

20 Q. One is the well in the center of that 40?

21 A. It's at a legal location within that 40.

22 Q. And, then, there is a well due south of that?

23 A. That's correct, the chief drill No. 3.

24 Q. But the pool has not yet been extended to pick
25 that up?

1 A. That's correct.

2 Q. Are there any other operators in this pool,
3 other than Collins & Ware?

4 A. No.

5 Q. Are there any other Delaware wells within a mile
6 of the pool boundary?

7 A. No, there are not.

8 Q. What is the closest present or past Delaware
9 production in the area?

10 A. There are two, located in the southeast of the
11 northeast in Section 29, is an old Delaware gas well.
12 This well was plugged out in 1976.

13 Q. Who was the operator of that well?

14 A. C & K Petroleum.

15 Q. And --

16 A. The other well is located in the southwest of
17 the northeast of Section 34, operator being Texaco. And
18 this well is currently temporarily abandoned, and will
19 maintain that status until December of this year.

20 Q. And those wells are slightly more than a mile
21 from the pool boundary?

22 A. That's correct.

23 Q. Is the C & K well currently operated by Yates,
24 or is that property currently operated by Yates?

25 A. Yes, it is.

1 Q. And notice of this hearing was provided to those
2 interest owners, simply as a courtesy, since they are
3 close to a mile from the pool boundary?

4 A. Yes, sir.

5 Q. What is the status of the current Collins & Ware
6 drilling program in this area?

7 A. We currently have completed our second deep test
8 waiting on pipeline connection for the Morrow formation in
9 it. Currently drilling a third Delaware test, and
10 building a location for a fourth.

11 Q. On Exhibit No. 1, there are a number of circles
12 surrounding the pool. Are those proposed Collins & Ware
13 locations?

14 A. Yes, they are.

15 Q. And those wells are going to be drilled during
16 what general time frame?

17 A. We anticipate being able to finish all of those
18 locations in 1993.

19 Q. Let's move on, now, to what's been marked
20 Collins & Ware Exhibit No. 2. Can you identify and review
21 that, please?

22 A. Exhibit No. 2 is a cross-section that I
23 constructed, covering the Delaware formation within the
24 Happy Valley-Delaware Field.

25 Q. Mr. Anderson, is there a trace for this cross-

1 section in your exhibit?

2 A. Yes, sir. This trace is located both on
3 Exhibits No. 3 and No. 4.

4 Q. All right. If you'd like to, review the cross-
5 section in conjunction with Exhibits No. 3 and 4, and in
6 so doing, review the general geologic characteristics of
7 this pool for the Examiner.

8 A. I will. First off, some general notes on each
9 one of these exhibits. As I said, the cross-section
10 expands the Delaware formation from the top, which is the
11 top of the Bell Canyon formation down through the top of
12 the Bone Spring formation.

13 All of the wells that comprise the cross-section
14 are operated by Collins & Ware. Of particular note and
15 purpose for this cross-section, is to note the red that is
16 colored on the logs, which make up the cross-section, red
17 is indicated pay within zones in the Delaware. This pay
18 was defined by electric logs, mud logs, and rotary
19 sidewall cores.

20 The emphasis here is going to be the
21 multiplicity of pay zones within this field. Generally,
22 the scale of this cross-section, vertical scale is one and
23 a half inches for 100 feet. The total thickness of the
24 Delaware formation in this area is roughly 3400 feet.

25 Exhibit No. 3 is a structure map drawn on top of

1 Basal Brushy Canyon sands. Now, this is important because
2 the top of the Basal Brushy Canyon sands is the top of our
3 Happy Valley sand, which is productive in this field.

4 I have indicated on that map the zones that
5 those particular wells are producing from, and the pay
6 that is indicated behind pipe in the various wells. The
7 scale is 1 to 2,000.

8 And the cross-section trace can be seen A-A¹, A
9 being on the south, or left to the cross-section, A prime
10 being on the north, or the right of the cross section. Of
11 particular note on that exhibit is that what we're dealing
12 with in the field here is a positive structural nose
13 that's developed in the field.

14 As we go to Exhibit No. 4, which is on the top
15 of the Cherry Canyon formation, which is up the section
16 from the Basal Brushy, we can see that the structure
17 contours form a closure. These are characteristics
18 typical of Delaware oil fields in southeast New Mexico, in
19 that when you get a structural closure, that can create
20 the opportunity for many different sands to trap and
21 collect hydrocarbons.

22 Now, going back to Exhibit No. 2, the cross-
23 section, I will just briefly walk through,
24 chronologically, how this field developed.

25 The well on the extreme right was drilled by

1 Exxon. It was completed back in 1986, completed in the
2 Morrow formation and is currently producing from the
3 Morrow formation.

4 Collins & Ware has purchased this wellbore from
5 Exxon, and now operates it. The well information that we
6 have, and, in this case, mud logs and electric logs,
7 indicate numerous pay zones in the Delaware.

8 We had this information when we drilled the
9 Sheep Draw No. 1 Well, which is the second well from the
10 right on the cross-section, or located in the northwest of
11 the northeast quarter of Section 33. This is a Morrow
12 test that we have completed currently in the Strawn
13 formation, is a gas well.

14 We targeted it at least one Delaware sand for a
15 drill stem test in that well, you can see that drill stem
16 test is roughly at 2500 feet. Although the packer failed
17 after the initial shut-in on that test, we did recover
18 enough quantity of fluid to establish that there's oil in
19 that reservoir.

20 We drilled it down and completed the well in the
21 Strawn, also noting mud log shows from what we call the
22 Happy Valley sand down towards the base of the cross-
23 section, IDE sand, which we DST'd up roughly at 2500
24 feet. The Sheep Draw sand, which is roughly at 2400 feet,
25 and the BC or Bell Canyon sand, which is at the top of the

1 Delaware mountain group interval.

2 With these shows, gave us enough incentive to
3 drill an offset just to the Delaware formation. That
4 would be the No. 2 Sheep Draw, which is the center well in
5 your cross-section. We took it to a depth sufficient to
6 drill into the Bone Spring formation and test all of the
7 Delaware sand interval.

8 This was the first well that we utilized
9 sidewall cores, or rotary sidewall cores, which is a
10 common practice nowadays with Delaware operator to
11 identify pay.

12 This well was drilled down. We ran pipe and we
13 did start completing the well from the bottom up, which we
14 started in the Basal Brushy Canyon zone. And you can see
15 the perforations marked in both what I call the Birdcreek
16 sand and the Brantley sand. These sands are equivalent to
17 sands that produce in other fields, such as Sand Dunes,
18 Cabin Lake, Loving East, et cetera.

19 Our intent here was to open three or four
20 different zones down here, acidize these zones separately,
21 and fracture treat them later. We did perforate the
22 Birdcreek, swabbed an oil show, Brantley, swabbed an oil
23 show, and then came up to the Happy Valley sand.

24 We isolated those two lower sands because we did
25 get a stronger show out of the Happy Valley sand when we

1 did drill it. So we perforated and put a rather small
2 acid treatment on it, and it came on natural. Rather than
3 risk adding the zones below it, we just produced it at
4 that point.

5 Currently, that is the only zone producing in
6 the Happy -- or, in the Sheep Draw No. 2 Well.

7 We then moved to the south and drilled a No. 3,
8 No. 3 Sheep Draw in the southeast of the northwest,
9 Section 33, that being the second well from the left on
10 your cross-section.

11 We completed initially in the Happy Valley sand,
12 established it as a producing and commercial reservoir,
13 temporarily isolated it. We wanted to see what kind of
14 pay we had up in what we call the IDE sand, which is, the
15 top of which is the datum for this cross-section. We did
16 perforate and treat that sand up there, and did establish
17 commercial production on it.

18 Now, engineering testimony will be given later
19 in this case that will show what kind of production this
20 is. You can see that also we had other red zones within
21 this wellbore that indicate further pay.

22 We then moved to the south, drilled the Ram Ewe
23 Federal No. 1 in the northwest of the southeast quarter as
24 a Morrow test. It is currently completed in the Morrow
25 formation waiting on pipeline connection, which should be

1 this week sometime. We again had indicated pay.

2 Now, this gives us a north/south cross-section
3 through the area, which fairly well defines the extent of
4 our Delaware field. Of course, additional drilling here
5 is going to, is necessary to define the eventual limits.

6 We are currently -- and we can review, or move
7 to Exhibit No. 4. We are currently completing the Sheep
8 Draw No. 4, and our current operations there are
9 perforations, and we are actually pumping, pump testing
10 that well in what we call the Brantley sand.

11 We are currently drilling the Sheep Draw No. 5,
12 which is located in southwest of the northwest of Section
13 33, and are approximately at 1200 feet. We are building
14 location at the Sheep Draw No. 8, located in the southwest
15 of the northeast, and we will move the rig that's on 5
16 over to that location when the 5 is finished.

17 The other locations that you see with the small
18 circles are all staked and have been approved as locations
19 that we can drill, and we intend to drill these just to
20 keep this rig busy throughout, to the end of the year.

21 Q. Mr. Anderson, can you summarize the conclusions
22 you've reached from your geologic study of the area?

23 A. Yes, sir. I think we have here a similar
24 situation that we see in other Delaware fields when you do
25 have a structural, positive structural feature, that we do

1 have reservoir quality sands, either draped up on the
2 flanks of, or developed over the top of this feature.

3 And when you get a feature like this, generally,
4 like Avalon and other fields, have multi-pay situations.

5 Q. Is Exhibit No. 5 an affidavit and copies of
6 letters providing notice of today's hearing to both Texaco
7 and Yates?

8 A. Yes, it is.

9 Q. And Collins & Ware will call an engineering
10 witness to review that portion of this case?

11 A. Yes.

12 Q. Were Exhibits 1 through 4 prepared by you?

13 A. Yes, they were.

14 Q. And Exhibit 5 is the affidavit?

15 A. Yes.

16 MR. CARR: Mr. Stogner, at this time, we
17 would move the admission of Collins & Ware Exhibits 1
18 through 5.

19 EXAMINER STOGNER: Exhibits 1 through 5
20 will be admitted into evidence.

21 MR. CARR: That concludes my direct
22 examination of Mr. Anderson.

23 EXAMINATION

24 BY EXAMINER STOGNER:

25 Q. Mr. Anderson, referring to Exhibit No. 2, again,

1 the highlighted yellow, red areas, what is your minimums
2 on that showing?

3 A. My minimums or parameters?

4 Q. Parameters, yes.

5 A. Okay. The yellow is to highlight that
6 particular interval that we consider mappable. The yellow
7 does not indicate total pay; it just indicates a
8 depositional event that we can map.

9 Now, the red, the parameters that we used to
10 define the red, include porosity -- well, in the upper
11 zones, say, in the Cherry Canyon and Bell Canyon, porosity
12 in excess of 16 percent. We have sidewall core analysis
13 with fluorescents in excess of 40 percent, and oil shoals
14 in excess of 5 percent. Mud logs shows are relative from
15 well to well, and there are really no particular units
16 that you can attach to a mud log shoal.

17 The lateral log is a difficult evaluation tool
18 because of the nature of the Delaware sands being
19 laminated, and these laminations within each sand body can
20 either contain oil or water. And a lateral log is an
21 average of several feet of readings throughout the
22 Delaware, and will average water laminae with oil
23 laminae.

24 So, there's no particular zone cut-off that we
25 use for that. Basically, looking for shoals in the mud

1 log, core analysis, porosity over 16 percent.

2 Now, down in the Basal Brushy, we use a porosity
3 better than 12 percent.

4 Q. On the No. 2 well, the Sheep Draw No. 2?

5 A. Yes, sir.

6 Q. You show the perforated intervals. Are those
7 all completed and producing at this time?

8 A. No, sir. Those perforations in Birdcreek sand
9 and Brantley sand are isolated, and I put a little X up
10 there by it, just above, well, within the Westall sand,
11 which is a cast iron bridge plug, which temporarily
12 isolates those zones.

13 Q. And, for the No. 3 well, I show you have
14 perforations up in the Happy Valley sand and up in the
15 IDE. Is that --

16 A. I did not finish my testimony on that.

17 Q. Oh, I'm sorry.

18 A. Well, you reminded me here; I forgot. We did
19 have that upper sand temporarily -- or, to get meaningful
20 tests, we isolated this upper sand from the lower sand.

21 Several weeks ago, we pulled the retrievable, or
22 the cast iron bridge plug, and have commingled those two
23 zones at the current time. And that will come up in the
24 engineering testimony.

25 Q. So, the Bell Canyon in this particular exhibit

1 may have the potentials, but no tests; is that correct?

2 A. That's correct.

3 Q. Nor were there any tests run on outside of the
4 pool boundaries on these other Delaware tests that you
5 mentioned previous, is that correct, in Sections 29 and,
6 what you did say, 34 or 33?

7 A. 34. Now, the well in Section 29 is from a stray
8 gas sand that was C&K drilled, and it's, of course, now
9 plugged and abandoned. That's a stray gas sand that was
10 at approximately 4500 feet, 4600 feet.

11 The well down in Section 34, which is
12 temporarily abandoned, until the end of this year, is
13 perforated in Birdcreek sand and is a marginal well.

14 Q. What did you use as your indicator, showing the
15 boundary of the Bell Canyon and the Cherry Canyon?

16 A. Okay. I feel like Cherry Canyon of the map,
17 Exhibit No. 4, boundary of -- of course, now, the Cherry
18 Canyon involves two different sands that could be
19 productive. One, we've demonstrated productive, which is
20 the IDE sand; the other, which is the Indian Draw sand.

21 And these are, of course, have different
22 depositional fairways. And, to eventually define the
23 limits is going to, of course, require more drilling than
24 we have.

25 But what information we have now is the well

1 that's located, which Collins & Ware also owns and we
2 purchased from Exxon, over in the northeast of the
3 southwest Section 32, shows a structural position flat to
4 our producing wells.

5 So, at the present time, unless other drilling
6 condemns this, we can assume that these Cherry Canyon
7 zones are going to be productive that far to the west.

8 Now, as the Bell Canyon sand, there again, it's
9 depositional, and there's two sands in there, the primary
10 one, the BC sand, which, the one we get our primary and
11 best shoals out of. Sheep Draw sand is also good, I think
12 is going to be isolated to the higher parts of the
13 structural configuration.

14 But located under the Captain Reef, as we are
15 here, we have lost approximately 50 percent of the Bell
16 Canyon formation, in that it has already fingered into the
17 reef in a basinward direction.

18 A structural map on top of the Bell Canyon is
19 both hard to correlate in this area, and is going to be
20 controlled more by the base of the reef than it will by
21 the sand. So, it's a hard one to interpret.

22 In other words, it will probably follow along
23 with where the Cherry Canyon high is, but the markers up
24 in the Bell Canyon don't allow for a good correlation for
25 a structure map.

1 Q. Looks like, to me, you use the top of that
2 Indian Draw sand as your marker?

3 A. Yes. You'll notice right above the top of
4 Indian Draw sand, there are two limestones that are
5 developed. This is regionally known as a two-fingers
6 marker, and this can be carried from the shelf edge or the
7 hinge line, which is just to the northwest of here, all
8 the way through the basin down through Texas.

9 It's an excellent marker and is used for top of
10 the Cherry Canyon throughout that area.

11 EXAMINER STOGNER: I don't think I have any
12 questions of Mr. Anderson at this time. Maybe later on,
13 after hearing some of the engineering testimony.

14 Do you have any questions, Mr. Stovall?

15 MR. STOVALL: No.

16 EXAMINER STOGNER: You may be excused.

17 MR. CARR: At this time, we would call Rex
18 Howell.

19 REX T. HOWELL

20 After having been first duly sworn under oath,
21 was questioned and testified as follows:

22 EXAMINATION

23 BY MR. CARR:

24 Q. Would you state your name for the record,
25 please?

1 A. Yes, sir. My name is Rex Howell.

2 Q. Where do you reside?

3 A. Houston, Texas, sir.

4 Q. By whom are you employed?

5 A. Collins & Ware.

6 Q. In what capacity?

7 A. I'm a consulting petroleum engineer, and I'm
8 appearing for Collins & Ware as an engineering witness in
9 this case.

10 Q. And, what is the name of your consulting firm?

11 A. Just Rex T. Howell.

12 Q. Have you previously testified before this
13 Division?

14 A. Yes, sir, I have.

15 Q. At the time of that prior testimony, were your
16 credentials as a petroleum engineer accepted and made a
17 matter of record?

18 A. Yes, they were.

19 Q. Are you familiar with the application filed in
20 this case on behalf of Collins & Ware, Inc.?

21 A. Yes, sir, I am.

22 Q. And, have you made a geologic -- or, an
23 engineering study of the area that is involved in this
24 case?

25 A. Yes, I have.

1 MR. CARR: Are the witness's qualifications
2 acceptable?

3 EXAMINER STOGNER: They are.

4 Q. (By Mr. Carr) Initially, Mr. Howell, could you
5 tell us, what are the current production limitations under
6 New Mexico state rules for wells in this portion of the
7 Delaware?

8 A. Yes, sir. They are operating under state-wide
9 rules, which provides for 80 barrels a day top allowable,
10 and a limiting gas oil ratio of 2,000 cubic feet per
11 barrel.

12 Q. Have you prepared exhibits for presentation here
13 today?

14 A. Yes, sir, I have.

15 Q. Could you refer to what has been marked for
16 identification as Collins & Ware Exhibit No. 6, identify
17 this, and then review it for Mr. Stogner?

18 A. All right, sir. Exhibit No. 6 is just a plot of
19 the daily production tests on Collins & Ware Sheep Draw
20 Well No. 2. Shown in green on this well, plotted first,
21 is the time, is the daily oil production rates from this
22 well from just the Happy Valley sand, which is one zone in
23 the Brushy Canyon. Shown in red is the gas-oil ratio and
24 MCF per barrel on this.

25 What I've done is plot the daily production

1 data, oil and gas-oil ratios since the well was completed
2 in late 1992, and showed the days on production.

3 Reviewing the green curve, the well initially potentialed
4 and flowed at a rate of about 100 barrels of oil per day,
5 following with just an acid stimulation.

6 The well continued to produce this, and was
7 allowed to decline until about Day 122 on this curve, at
8 which time the pumping unit was installed on this. You
9 can see the oil production had declined from about 120
10 barrels a day, down to about 70 to 80 barrels of oil per
11 day.

12 The gas-oil ratio had increased from about 2,000
13 cubic feet per barrel, and it was erratic, but gone up as
14 high as 10,000 cubic feet per barrel.

15 The pumping unit was installed on Day 122,
16 production jumped back up to about 70 to 80 barrels of oil
17 a day, gas-oil ratio was in the vicinity of 2,000 to 4,000
18 to 1.

19 The well then continued to decline until about
20 Day 242, at which time it was fracture stimulated with
21 10,000 gallons, and the oil production increased to about
22 120 barrels a day, and has continued to be pumped at 120
23 barrels a day, declining down to about 70 to 80 barrels a
24 day.

25 And the production is erratic and jumps around,

1 but you can see that the well has been quite productive
2 out of just this one zone of the Brushy Canyon.

3 Q. Let's move now to Collins & Ware Exhibit No. 7.
4 Can you identify and review that?

5 A. Yes, sir. Exhibit No. 7 is the same type of
6 data, showing the daily oil production and gas-oil ratio
7 from Collins & Ware Sheep Draw Well No. 3. This is just
8 from the one zone in the Cherry Canyon, the IDE zone,
9 which occurs at the depth of about 2500 feet.

10 And you can see that this well has produced for
11 about 50, 45 to 50 days at a rate between 50 and 80
12 barrels of oil per day, pumping with a gas-oil ratio of
13 about 250 cubic feet per barrel, from just the one sand in
14 the Cherry Canyon.

15 Q. All right. Let's go to the next exhibit,
16 Exhibit No. 8.

17 A. What I did on Exhibit No. 8 was assume that both
18 of these zones had been put together. For example, I took
19 the production from the Happy Valley zone of Well No. 2,
20 since the well was fracture stimulated, producing about
21 110 barrels of oil per day, and just mathematically added
22 to it the production from the IDE zone to see what the
23 combined capacity of the two zones together.

24 And, as you can see, the capacity or the
25 production, producing ability of this well, would be from

1 100 to 170 barrels of oil per day, if those zones were put
2 together and behave as they did when they were tested
3 individually.

4 Q. Are you also producing substantial volumes of
5 water from the well?

6 A. Yes, sir. These wells all produce about 50
7 percent water cut, particularly after they are fracture
8 stimulated.

9 Q. Now, if we look at your Exhibits 6 through 8,
10 you really are looking at producing capability of only two
11 zones in the Delaware?

12 A. That's correct. The Exhibit No. 6 is just one
13 zone in the Brushy Canyon. Exhibit No. 7 is just one zone
14 in the Cherry Canyon. And, as Mr. Anderson has shown
15 there's multiple zones out here, but these were just two
16 of the production tests from two of the zones.

17 Q. How many zones do you anticipate might be
18 producible in any one wellbore?

19 A. Just looking at Mr. Anderson's cross-section,
20 and you can see that there's potential of oil, four to
21 eight zones being capable of producing in each one of the
22 wellbores, indicated by log analysis, core analysis, and
23 other production testing.

24 Q. Have you totaled the number of producing zones
25 shown on Exhibit No. 2?

1 A. Yes, sir. If you just look at this map and look
2 in colored red with inside the yellow there on these five
3 wells is a total of about 35 zones that are indicated to
4 be capable of production, either by electric logs, by mud
5 logs, by rotary cores, and so forth.

6 I might point out only five of these wells, five
7 of these zones have been truly tested, though. So, while
8 there's a lot of indication that there is a lot of pay to
9 be produced there, we only have production tests out of
10 five of the 35 zones.

11 Q. Why are you only testing five zones out of 35?

12 A. As we have shown here, we're limited by the top
13 allowable of 80 barrels a day here, and the zones that
14 we've tested so far, particularly in the Well No. 2, in
15 the Happy Valley zone, has been capable of producing at
16 top allowable, and the IDE zone in Well No. 3 has been
17 essentially capable in producing the top allowable.

18 Q. Let's go now to Exhibit No. 9. Could you
19 identify this Exhibit for Mr. Stogner?

20 A. Exhibit No. 9 is just a list of parameters that
21 I've pulled out from what I would say is four of the
22 predominant zones of this area: the BC zone, which is the
23 upper zone in the Bell Canyon; the Sheep Draw, which is a
24 zone that exists, shows to exist in all of the wells; the
25 IDE zone, which is the zone in the Cherry Canyon; and,

1 finally, the Happy Valley zone, which is zoned in the
2 Brushy Canyon.

3 And I've just looked at all the parameters on
4 this thing, trying to come up with what I thought might be
5 the capability of productivity of this well. A lot of
6 these parameters are derived from log analysis, measured
7 temperatures, and then some of them are just kind of
8 judgment factors, because we don't have a test on them.

9 For example, the solution gas-oil ratio that
10 I've shown from the BC and the Sheep Draw wells, I've just
11 estimated at 203 cubic feet per barrel. There's really
12 not a basis for that, other than it's the same solution
13 gas-oil ratio that the IDE zone is, where the Happy Valley
14 has a solution gas-oil ratio of 1456.

15 The productivity index, barrels per day per PSI,
16 which I really used to calculate the initial productivity
17 of these wells, again, is just an estimate based on the
18 core parameters, the log analysis, and just a judgment
19 factor. Whereas the productivity index of 0.058 barrels a
20 day per PSI in the Happy Valley is actually a measured
21 test. It's just taking the daily production and divide it
22 by the pressure draw down.

23 We ran fluid level shots to indicate the wells
24 were pumped down, so we could calculate a Delta P and
25 calculate a productivity index, and did the same thing for

1 the IDE zone in the No. 3 well. But the productivity
2 index for the other two zones are just pure estimates,
3 based on log parameters.

4 But I've used all these to come up with what I
5 think might be the initial productivity from these zones,
6 and if all these zones were productive in any one
7 wellbore, and produced at these rates, you can see that we
8 would have a capacity to produce in the vicinity of about
9 200 barrels of oil per day.

10 Q. Mr. Howell, do you have an opinion as to what is
11 the reservoir-drive mechanism in this Delaware pool?

12 A. Yes, sir. Based on what we've seen, which again
13 is limited performance, I believe it's a solution gas-
14 drive reservoir. We're seeing declining oil productivity;
15 we're seeing increasing gas-oil ratios; we're not seeing
16 any increase in water production; and, looking at the
17 logs, I do not expect a water drive.

18 And I believe, therefore, I believe it's a
19 solution gas-drive reservoir.

20 Q. If this application was granted on a temporary
21 basis, approving a higher oil allowable and a higher
22 gas-oil ratio, do you see any potential for reservoir
23 harm?

24 A. No, sir, I do not.

25 Q. In your opinion, is the production in any way

1 related to the rate at which the hydrocarbons are
2 produced?

3 A. No, sir. If this is truly a solution gas-drive
4 reservoir, which I believe it is, it's not dependent,
5 ultimate recovery is not dependent on the rate that the
6 wells are produced.

7 Q. If multiple zones are open in a wellbore, do you
8 see any potential for cross-flow, or backwater flooding of
9 any of the zones?

10 A. No, sir. If we can continue to keep these wells
11 pumped down, which would require more allowable, then I
12 don't -- and can keep the wells in a pumped-off condition,
13 I don't see any reservoir damage occurring from
14 commingling the zones in the wellbore.

15 Q. Mr. Howell, it would be possible to simply
16 produce these zones one at a time, would it not?

17 A. Yes, sir, that's correct.

18 Q. And what would that do to the producing life of
19 the well?

20 A. It would just extend the life of the well.

21 Q. And, what would that do to the economic value of
22 the property?

23 A. It would decrease the economic value of the
24 properties.

25 Q. In view of that, can you explain to Mr. Stogner

1 why Collins & Ware requests both a higher gas-oil ratio
2 and a higher oil allowable?

3 A. Yes, sir. The higher oil allowable is really to
4 decrease the life of the field out here. We believe that,
5 as Mr. Anderson has shown, many of these well zones are
6 productive, but the top allowable of 80 barrels a day, we
7 would have to deplete them over a longer period of time.

8 The gas-oil ratio increase, the current one is
9 2,000 to 1 gas-oil ratio, and from the early indications
10 from, particularly the Brushy Canyon zone, it's going to
11 have a gas-oil, producing gas-oil ratio considerably
12 higher than this, just being solution gas-drive
13 reservoir.

14 And, therefore, we think we need both a higher
15 oil allowable and a higher gas-oil ratio limit to allow
16 these wells to be depleted in a fairly short life.

17 Q. How many additional wells does Collins & Ware
18 anticipate drilling this year in this pool?

19 A. Several wells, as you can see. I think there's
20 about one well being drilled now, a location being built
21 on another well, and six or seven more locations
22 permeated.

23 And, depending on good economic results, all
24 those wells will be drilled this year.

25 Q. Will you drill those wells and complete them in

1 all of the zones shown on Mr. Anderson's Exhibit 2?

2 A. It would depend on the results of this hearing,
3 yes, sir.

4 Q. And, why is that?

5 A. Well, if we don't give the top allowable
6 increased on all these, then, of course, the wells would
7 not be, we would not perforate all of the zones, we would
8 just perforate zones sufficient to get top allowable and
9 be able to produce the top allowable until they decline.

10 Q. Now, in drilling these wells in the future, the
11 remainder of this year, will Collins & Ware take all of
12 them down to the lowermost zone indicated on the cross-
13 section?

14 A. There's some question on that. Particularly the
15 lower zones there, the deeper zones, you can see the
16 majority of our zones are above 2600 feet, with the
17 exception of the Brushy Canyon. And we've got some zones
18 down around 4600 to 5,000 feet, which would require
19 another 2,000 feet of drilling to be done in these wells.

20 Indications are that the western portion of the
21 Brushy Canyon may not be productive down there. And, if
22 didn't get top allowable, I'm not sure we would take all
23 those wells down to that depth at this time.

24 Q. Would you anticipate that it would be
25 economically prudent to drill to those lower zones at a

1 later date, after the upper zones have been produced?

2 A. No, sir, I would think not.

3 Q. If those zones are not drilled and developed at
4 this time, is it fair to say that the reserves in those
5 zones could be permanently lost?

6 A. I believe they would, sir. Yes, sir.

7 Q. And, without a higher allowable, there's no
8 reason to go that far, because you may not be able to
9 produce it once you get there?

10 A. That's correct.

11 Q. Collins & Ware is planning to drill as many as
12 seven additional wells this year?

13 A. That's correct.

14 Q. How long would you anticipate it would be until
15 you would have better information, so you could come back
16 to the Division and make a recommendation as to permanent
17 rules, or a change in temporary rules?

18 A. I believe if we collect data for a year, we'll
19 know enough at the end of a year here to make a proper
20 recommendation on the field reserves of this field.

21 Q. And, again, you've indicated you see no
22 potential for reservoir harm during that period of time?

23 A. No, sir. I see none.

24 Q. Were Exhibits 6 through 9 prepared by you?

25 A. Yes, sir, they were.

1 MR. CARR: Mr. Stogner, at this time, we
2 move the admission of Collins & Ware Exhibits 6 through
3 9.

4 EXAMINER STOGNER: Exhibits 6 through 9
5 will be admitted into evidence.

6 Q. (By Mr. Carr) Mr. Howell, in your opinion, would
7 approval of this application on a temporary basis be in
8 the best interest of conservation, the prevention of
9 waste, and the protection of correlative rights?

10 A. Yes, sir, it would.

11 Q. Will approval of these temporary rules, in your
12 opinion, result in the recovery of oil that otherwise
13 might not be recovered?

14 A. Yes, sir, it will.

15 MR. CARR: That concludes my direct
16 examination of Mr. Howell.

17 EXAMINATION

18 BY EXAMINER STOGNER:

19 Q. Mr. Howell, is it your opinion that each one of
20 these zones, potentially productive zones, is its own
21 separate common source of supply?

22 A. Yes, sir. I believe there's vertical separation
23 between these zones, yes, sir.

24 Q. And, is the drive mechanism, in your testimony
25 today, that all of them are solution gas drive?

1 A. Well, it's based on my belief on the production
2 of course, of just two of the zones which we truly have a
3 history on, to make such a judgment.

4 But, based on my experience of how the Cherry
5 Canyon and Bell Canyon produces in this area of the field,
6 it's my opinion that they'd all be solution gas drive,
7 yes, sir.

8 Q. In comparing your Exhibits No. 6 and 7, there
9 definitely appears to be a variance, at least that's what
10 pops out first in looking at them, and definitely two
11 common source of supply and two reservoir characteristics,
12 although it's in the same pool; is that correct?

13 A. Yes, sir, that's correct.

14 Q. Would it be prudent to, perhaps, split this pool
15 up into two pools, one Brushy Canyon, one Cherry Canyon?

16 A. No, sir, I don't believe it will, because we
17 don't know where these zones are going to develop. And I
18 think if we split up, which would require either the
19 drilling of individual wells, or dualling the wells, and,
20 based on the erratic nature of these pays here, I'm not
21 sure that this can be justified whether we separate drill
22 or dually complete these wells.

23 Q. Did I hear you right, you're requesting a
24 temporary period of one year?

25 A. Yes, sir, one year.

1 Q. And, would you be prepared, then, to come back
2 at that time?

3 A. I think we'd come back and either recommend that
4 the rules be extended, or that they go back to the
5 state-wide rules, or some modification of what we thought
6 our data showed was appropriate for the proper depletion
7 of this field.

8 Q. What kind of data would you anticipate to occur
9 that would make you, as a reservoir engineer, or us, as a
10 regulatory agency, to go back to state-wide rules and
11 regs?

12 A. I think productivity or some anomalous
13 production showing, maybe, harm to the reservoir, if that
14 was to occur, I think we would, as operator, would
15 recommend to go back. But, it would allow us to collect
16 the data to arrive at this conclusion.

17 Q. Are Exhibits 6 and 7 the only production data
18 that you have at this time?

19 A. On Well No. 3, as Mr. Anderson pointed out, we
20 have pulled the bridge plug about ten days ago, and we are
21 getting production data from those commingled zones, which
22 would be the IDE zone and the Happy Valley zone in Well
23 No. 3.

24 This production has been going -- we pulled the
25 bridge plug, we drilled it out, lost a lot of fluid in the

1 hole. We've been pumping, and the productivity of that
2 zone has varied from as high as 211 barrels of oil a day,
3 down to 40 barrels a day.

4 But, since it is a commingled zone, I did not
5 show that because it's still being tested, and we have not
6 been able to pump the well off at this time.

7 No. 4 is being tested now.

8 Q. Do you see any pressure differences between that
9 Cherry Canyon and Brushy Canyon?

10 A. Oh, I think all these are going to be just
11 normal pressure gradients out here, and yes, sir, I've
12 estimated, you know, different bottom hole pressures. I
13 think it would be a normal .45 gradient out there. And I
14 would suspect, as we've shown on Exhibit 9, that the
15 bottom hole pressures can vary, based on the hydrostatic
16 head.

17 And, none of those pressures have been measured
18 on the second line there; they've just been calculated
19 based on a .45 gradient.

20 Q. What would be the casing head gas allowable,
21 according to your formula?

22 A. If the top -- if the gas-oil ratio limits
23 increased to 10,000, and the oil allowables to 160, I
24 guess it would be 1.6 million per day.

25 Q. Is either one of these wells capable of making

1 that much?

2 A. No, sir; it has not demonstrated that to date.

3 Q. What is the maximum casing head gas that's been
4 demonstrated to date?

5 A. Probably about 400 MMCF, on just the one zone in
6 the No. 2 well from the Happy Valley.

7 Q. What was that, again?

8 A. I believe it was about 400 MMCF.

9 Q. And, calculating back, what kind of a GOR would
10 that be?

11 A. Going back to the daily tests, the daily tests
12 would vary, but I find one as high as 491 cubic feet, 491
13 MMCF, which was, at that time, was GOR of 4200. That was
14 following a fracture stimulation of the well.

15 Q. Why such a high GOR at this time? That seems a
16 little excessive, I guess.

17 A. If we go back, and again, we have limited data
18 here, based on the initial gas-oil ratio of the Happy
19 Valley and the Well No. 2, was 1456. If we believe that
20 is solution gas-oil ratio, and I don't have any reason to
21 believe that it's not the initial solution gas-oil ratio,
22 in using 42 gravity crude on this thing, you will
23 calculate a reservoir volume factor of about 1.6, which is
24 a fairly volatile crude.

25 And, going through and making some calculations

1 on this thing, you would say that the average producing
2 gas-oil ratio over the life of this field, just based on
3 those parameters, is going to be about 7,000 cubic feet.
4 That's the average gas-oil, producing gas-oil ratio.

5 And, so, with it starting out at about 1500,
6 predicted to average 7,000 feet, I expect, you know, in a
7 fairly short time, based on depletion drive here, that the
8 gas-oil ratio could be approaching 10,000 to 1.

9 Q. What is being done with the casing head gas out
10 there at this time?

11 A. It's being sold.

12 Q. Through pipeline?

13 A. Yes, sir.

14 Q. What kind of pipeline pressure is it?

15 A. We have all these wells on compression. The
16 Morrow wells and everything is going to this. The wells
17 are being compressed and going into, I believe it's our
18 own collection line that's being sold on the spot market.

19 Q. And, not much water production at this time, you
20 say?

21 A. Yes, sir, it's making about 50 percent water,
22 particularly after we frac a well. You know, they're
23 fairly low production until we frac them, and, of course,
24 it's pretty typical of the Delaware here that fracs grow
25 out a zone and picking up some water on them.

1 But the water production is, it's about 50
2 percent water.

3 Q. And, what is being done with the water?

4 A. It's being disposed of.

5 Q. I would hope so.

6 A. Trucked off right now.

7 Q. In what manner?

8 A. We're trucking it right now, and, of course, I
9 guess, first dry hole, that will happen, we'll make an
10 on-site disposal with it. But it's being trucked at this
11 present time.

12 EXAMINER STOGNER: Anything further, Mr.
13 Stovall?

14 MR. STOVALL: No.

15 EXAMINER STOGNER: Mr. Carr, do you have
16 anything further?

17 MR. CARR: Nothing further, Mr. Stogner.

18 EXAMINER STOGNER: Witness may be excused.

19 MR. CARR: We have nothing further of this
20 case.

21 EXAMINER STOGNER: If nobody else has
22 anything further in Case No. 10804, this case will be
23 taken under advisement.

24 (And the proceedings conducted hereby certify that the foregoing is
25 a complete record of the proceedings in
the Examiner hearing of Case No. 10804,
heard by me on 26 August 1993.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Susan B. Sperry, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL September 5, 1993.



SUSAN B. SPERRY, RPR, CM
CCR No. 156