

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
 CALLED BY THE OIL CONSERVATION)
 DIVISION FOR THE PURPOSE OF)
 CONSIDERING:)
 APPLICATION OF POGO PRODUCING)
 COMPANY)

CASE NO. 10,870

ORIGINALREPORTER'S TRANSCRIPT OF PROCEEDINGSEXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

January 20th, 1994

FEB 22 1994

Santa Fe, New Mexico

This matter came on for hearing before the Oil
 Conservation Division on Thursday, January 20th, 1994, at
 Morgan Hall, State Land Office Building, 310 Old Santa Fe
 Trail, Santa Fe, New Mexico, before Steven T. Brenner,
 Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

January 20th, 1994
 Examiner Hearing
 CASE NO. 10,870

PAGE

EXHIBITS

3

APPEARANCES

5

APPLICANT'S WITNESSES:

R. SCOTT McDANIEL

Direct Examination by Mr. Bruce

8

GARY HOOSE

Direct Examination by Mr. Bruce

13

Examination by Examiner Catanach

25

MARK STOUFFER

Direct Examination by Mr. Bruce

28

Cross-Examination by Mr. Kellahin

44

Examination by Examiner Catanach

56

Redirect Examination by Mr. Bruce

59

CHARLES R. VANORSDALE

Direct Examination by Mr. Bruce

60

Cross-Examination by Mr. Kellahin

67

Examination by Examiner Catanach

76

MARK STOUFFER (Recalled)

Direct Examination by Mr. Bruce

77

Cross-Examination by Mr. Kellahin

81

KAISER-FRANCIS WITNESSES:

ALAN BENSON

Direct Examination by Mr. Kellahin

84

Cross-Examination by Mr. Bruce

89

JIM WAKEFIELD

Direct Examination by Mr. Kellahin

89

Cross-Examination by Mr. Bruce

116

Examination by Examiner Catanach

122

1 APPLICANT'S WITNESS:

2 GARY HOOSE (Recalled)
 Direct Examination by Mr. Bruce 124

3 CLOSING STATEMENTS:

4 By Mr. Kellahin 128
 By Mr. Bruce 131

6 REPORTER'S CERTIFICATE 135

7 * * *

11 E X H I B I T S

12	Applicant's	Identified	Admitted
13	Exhibit 1	9	13
	Exhibit 2	11	13
14	Exhibit 3	12	13
	Exhibit 4	15	24
15	Exhibit 5	16	24
16	Exhibit 6	18	24
	Exhibit 7	19	24
17	Exhibit 8	19	24
	Exhibit 9	21	24
18	Exhibit 10	21	24
19	Exhibit 11	22	24
	Exhibit 12	29	44
20	Exhibits 13A-B	30	44
	Exhibit 14	32	44
21	Exhibit 15	32	44
22	Exhibit 16	33	44
	Exhibits 17A-K	34	44
23	Exhibit 18	34	44
	Exhibit 19	38	44
24	Exhibit 20	40	44

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

E X H I B I T S (Continued)

Applicant's	Identified	Admitted
Exhibit 21	41	44
Exhibit 22	42	
Exhibit 23	61	66
Exhibit 24	62	66
Exhibit 25	62	66
Exhibit 26	62	66
Exhibit 27	62	66
Exhibit 28	62	66
Exhibit 29	62	66
Exhibit 30	63	66
Exhibit 31	63	66
Exhibit 32	77	

* * *

Kaiser-Francis	Identified	Admitted
Exhibit 1	85	88
Exhibit 2	87	88
Exhibit 3	99	116
Exhibit 4	99	116
Exhibit 5	102	116
Exhibit 6	106	116
Exhibit 7	107	116
Exhibit 8	109	116
Exhibit 9	113	116
Exhibit 10	115	116
Exhibit 11	116	116

* * *

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT AND SANTA FE ENERGY OPERATING PARTNERS,
L.P.:

HINKLE, COX, EATON, COFFIELD & HENSLEY
218 Montezuma
P.O. Box 2068
Santa Fe, New Mexico 87504-2068
By: JAMES G. BRUCE

FOR YATES PETROLEUM CORPORATION:

LOSEE, CARSON, HAAS & CARROLL, P.A.
300 American Home Building
Post Office Drawer 239
Artesia, New Mexico 88211-0239
By: ERNEST L. CARROLL

FOR KAISER-FRANCIS OIL COMPANY:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

FOR MERIT ENERGY COMPANY:

Merit Energy Company
12221 Merit Drive, Suite 500
Dallas, Texas 75251
By: FRED DIEM

* * *

1 WHEREUPON, the following proceedings were had at
2 11:12 a.m.:

3 EXAMINER CATANACH: At this time we'll call Case
4 10,870.

5 MR. STOVALL: It's the Application of Pogo
6 Producing Company for special pool rules for the Los
7 Medanos-Delaware and West Sand Dunes-Delaware Pools, Eddy
8 County, New Mexico.

9 EXAMINER CATANACH: Are there appearances in
10 these cases?

11 MR. BRUCE: Mr. Examiner, Jim Bruce from the
12 Hinkle law firm of Santa Fe, representing the Applicant.

13 I would also like to enter an appearance on
14 behalf of Santa Fe Energy Operating Partners, L.P.

15 I have several witnesses from Pogo.

16 EXAMINER CATANACH: Additional appearances?

17 MR. CARROLL: Mr. Examiner, I'm Ernest Carroll of
18 the Artesia law firm of Losee, Carson, Haas and Carroll,
19 and I'm appearing today on behalf of Yates Petroleum
20 Corporation.

21 Yates Petroleum has no witnesses and does not
22 intend to examine any of the witnesses, but it is making
23 its appearance.

24 EXAMINER CATANACH: Okay. Additional
25 appearances?

1 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
2 the Santa Fe law firm of Kellahin and Kellahin, appearing
3 on behalf of Kaiser-Francis Oil Company, and I potentially
4 have two witnesses.

5 EXAMINER CATANACH: Additional appearances?

6 Okay, there being none --

7 MR. STOVALL: Recess until whenever.

8 EXAMINER CATANACH: Okay, we'll go ahead and
9 recess at this point till about 12:30 or so.

10 (Thereupon, a recess was taken at 11:13 a.m.)

11 (The following proceedings had at 12:30 p.m.)

12 EXAMINER CATANACH: Okay, at this point we'll
13 call the hearing back to order, and I believe we've already
14 called for appearances in this case, Case 10,870, so at
15 this point in time I guess we need to swear the witnesses
16 in.

17 Let me do that.

18 MR. BRUCE: Okay, before we begin, Mr. Examiner,
19 I've been informed there's a gentleman here from American
20 Energy, and he'd like to enter his appearance.

21 EXAMINER CATANACH: Okay.

22 MR. DIEM: My name is Fred Diem. I'm general
23 counsel at Merit Energy Company.

24 EXAMINER CATANACH: I'm sorry, your last name,
25 sir?

1 MR. DIEM: Diem, D-i-e-m.

2 EXAMINER CATANACH: Merit Energy --

3 MR. DIEM: -- Company, yes, M-e-r-i-t.

4 EXAMINER CATANACH: Okay. No witnesses?

5 MR. DIEM: No witnesses.

6 EXAMINER CATANACH: Can I get all the witnesses
7 to stand at this time to be sworn in?

8 (Thereupon, the witnesses were sworn.)

9 EXAMINER CATANACH: Mr. Bruce, you may proceed.

10 MR. BRUCE: Call Mr. McDaniel to the stand.

11 R. SCOTT McDANIEL,

12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. BRUCE:

16 Q. Will you please state your name and city of
17 residence, please?

18 A. Yes, my name is Scott McDaniel, and I live in
19 Midland, Texas.

20 Q. Who do you work for and in what capacity?

21 A. I'm employed by Pogo Producing Company as a
22 landman.

23 Q. Have you previously testified before the Division
24 as a landman?

25 A. Yes, I have.

1 Q. And were your credentials accepted as a matter of
2 record?

3 A. Yes, they were.

4 Q. And are you familiar with the land matters
5 involved in this Application?

6 A. Yes, I am.

7 MR. BRUCE: All right, Mr. Examiner, I'd tender
8 Mr. McDaniel as an expert landman.

9 EXAMINER CATANACH: He is so qualified.

10 Q. (By Mr. Bruce) Briefly, Mr. McDaniel, what is it
11 that Pogo seeks in this case?

12 A. Pogo seeks an 8000-to-1 GOR in both the Los
13 Medanos-Delaware and the West Sand Dunes-Delaware Pools.

14 Q. What is the depth bracket allowable in both
15 pools?

16 A. The depth bracket allowable for both pools is
17 currently 187 barrels a day.

18 However, because of the 2000-to-1 GOR that
19 currently exists in both pools, many of the wells that are
20 located within the pool may be or have been restricted.

21 Q. Okay. Would you refer to Exhibit 1 and identify
22 it for the Examiner?

23 A. Yes, Exhibit 1, here to my left, is a plat on
24 which is shown the Los Medanos-Delaware Pool, there in red,
25 and the West Sand Dunes-Delaware Pool there in blue.

1 However, I might point out that it's my
2 understanding that some additional acreage has been added
3 to both pools recently. And the outline in green there,
4 the darker outline around it, represents the notice area
5 which extends out one mile from each of the pools.

6 But even with the additional acreage that has
7 been recently included in both pools, proper notice has
8 been given to all of the pertinent operators there.

9 Q. The recent additions to the pool boundaries would
10 require you to notify, if I'm correct, the people in
11 Section 6 in the northwest corner of this map; is that
12 correct?

13 A. Yes, that's correct.

14 Q. And then Section 10 in the southeast corner of
15 this map?

16 A. Yes, that's correct.

17 Q. Okay, and we'll get to that a little bit more in
18 a minute.

19 A. Okay.

20 Q. What are the discovery wells in those pools?

21 A. For the Los Medanos-Delaware Pool, the discovery
22 well was the Yates Madonna VA Well Number 1, which is
23 located in the northeast of the southwest of Section 16.
24 And the West Sand Dunes-Delaware Pool, the discovery well
25 is the Pogo-operated Mobil Federal Well Number 1, which is

1 located in the northwest of the southeast of Section 29.

2 Q. Okay, looking at Exhibit 1, does this identify
3 the operators or lessees within a mile of the pool and
4 within the pool boundaries?

5 A. Yes, it does. The operators that -- The
6 operators with the largest number of completed wells within
7 the pools are currently Pogo, Yates, Santa Fe and Merit.

8 Q. Okay. Now, did you give notice to all of the
9 people identified on Exhibit 1?

10 A. Yes, we did.

11 Q. And is Exhibit 2 your affidavit of notice
12 containing the letters and return receipts?

13 A. Yes, it is.

14 Q. Now, you mentioned these additional notice areas.
15 Who owns Section 6, 23 South, 31 East?

16 A. Section 6 is operated by Bass Enterprises.

17 Q. And you had given them notice regardless?

18 A. Yes, that's correct. Bass Enterprises operates
19 other acreage there within the notice area that's indicated
20 on the map.

21 Q. Okay. And then in Section 10 of -- Is it 24
22 South, 31 East?

23 A. That's correct.

24 Q. Who does that belong to?

25 A. Bettis, Boyle and Stovall out of Graham, Texas.

1 Q. And you had given notice to them too?

2 A. That's correct.

3 Q. Do any operators in the pool support Pogo's
4 Application?

5 A. Yes, in fact, Exhibit 3 contains copies of the
6 various letters of support that we have obtained, and they
7 include all operators within both the pool and the notice
8 area, except for three, one of which was Enron, who
9 provided us with a letter stating that they do not object
10 to our 8000-to-1 GOR Application, another being Meridian,
11 who operates no wells within either of the pools, and they
12 have little or no data to evaluate the situation, and the
13 last being Kaiser-Francis.

14 Q. Okay. In this general area, your notice area,
15 what type of acreage do you have? Who owns it?

16 A. Primarily it's federal and state.

17 Q. Okay.

18 A. The majority of the acreage is in fact federal.

19 Q. What type of royalties do we have on the federal
20 leases?

21 A. The federal leases, some -- Well, in fact, the
22 majority of the federal leases in this area provide for a
23 step-scale royalty, which basically means that anything 50
24 barrels or less would provide for a royalty of 12 1/2
25 percent, and anything 400 barrels or more, 25 percent, and

1 there's increments there in between.

2 Q. What -- At the depth bracket allowable for these
3 pools, 187 barrels a day, what is the royalty rate?

4 A. The royalty is 20 percent. That extends for a
5 production arrangement from 150 barrels a day up to 200
6 barrels a day.

7 Q. Were Exhibits 1 through 3 prepared by you or
8 compiled from company records?

9 A. Yes.

10 Q. And in your opinion is the granting of this
11 Application in the interests of conservation and the
12 prevention of waste?

13 A. Yes.

14 MR. BRUCE: Mr. Examiner, I would move the
15 admission of Exhibits 1 through 3.

16 EXAMINER CATANACH: Exhibits 1 through 3 will be
17 admitted as evidence.

18 Mr. Kellahin?

19 MR. KELLAHIN: No questions.

20 GARY HOOSE,

21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. BRUCE:

25 Q. Would you please state your name for the record?

1 A. My name is Gary Hoose.

2 Q. Who do you work for and in what capacity?

3 A. I work for Pogo Producing Company as division
4 geologist in the Midland office.

5 Q. Have you previously testified before the Division
6 as a geologist?

7 A. I have.

8 Q. And were your credentials as an expert geologist
9 accepted as a matter of record?

10 A. They were.

11 Q. Are you familiar with the geology involved in
12 this Application?

13 A. I am.

14 Q. And your area of responsibility includes
15 southeast New Mexico?

16 A. Yes, it does.

17 MR. BRUCE: Mr. Examiner, I would tender Mr.
18 Hoose as an expert petroleum geologist.

19 EXAMINER CATANACH: Could you spell your last
20 name for me please?

21 THE WITNESS: H-o-o-s-e.

22 EXAMINER CATANACH: Mr. Hoose is considered
23 qualified.

24 Q. (By Mr. Bruce) Mr. Hoose, would you refer to
25 Pogo's Exhibit 4 and describe the interval that we're

1 looking at in these two pools?

2 A. Exhibit 4 is a type log for the West Sand Dunes
3 area. It is the Pure Gold "D" Number 4 located in the
4 southwest of the southwest of Section 28 of 23 South, 31
5 East of Eddy County.

6 We've located at the intersection of two cross-
7 sections, which we'll be showing just a little bit later
8 here. Also, it's located in the thick trend of what we
9 consider to be the main Brushy Canyon Reservoir, as will
10 also be shown.

11 In this particular well and in the area, there's
12 approximately 3800 feet of Delaware Mountain Group section,
13 which is primarily sand and shale, though there are some
14 interbeds of lime and dolomite. The formations in the
15 Delaware Mountain Group in descending order are the Bell,
16 the Cherry and the Brushy Canyon.

17 In this particular well, the Bell Canyon is
18 located at 4160, Cherry Canyon 5062, Brushy 6365. And also
19 marked on this type log are the overlying basal anhydrite
20 at 3935 and the underlying Bone Spring formation at 7966.

21 We are in this hearing primarily concerned with
22 the Brushy Canyon formation. I would note that all three
23 of the Delaware formations are currently producing in the
24 field, with most of the production coming from the Brushy,
25 and we'll touch on that briefly from time to time during

1 this hearing.

2 Q. Okay.

3 A. I'll move on, I think, to the Exhibit 5, if I
4 might, which is this east-west cross-section hanging here.
5 I will make mention that the next two exhibits are the most
6 cumbersome ones we have, so it ought to go a little more
7 smoothly after that.

8 If I might, this cross-section goes from the
9 lower part of the Cherry Canyon down to the upper part of
10 the Bone Spring, and one thing I would ask you to note is
11 that there are perforations here in this Pogo Mobil Federal
12 Number 7, in the bottom Cherry Canyon zone, and I'll refer
13 to that later, so you might just keep that in mind.

14 On this cross-section in the Brushy Canyon, we
15 have subdivided it, and this is based on regional
16 correlations of the entire New Mexico portion of the
17 Delaware Basin, subdivided it into seven units which we've
18 labeled A through G, A being at the bottom, and climbing up
19 through G at the top of the Brushy.

20 We are primarily concerned with the lowermost
21 Brushy Canyon, which is the A unit. Within that unit we
22 have further subdivided that into what we call the BC-1
23 through the BC-6, again with the BC-1 being at the bottom
24 part of that A sequence and the BC-6 being at the top.

25 And one further note on that. On these two

1 cross-sections which I'll show today, the BC-1 is not
2 labeled. We have not tried to split that out from the
3 BC-2. So on this exhibit and others that follow where it
4 just says BC-2, that is BC-1 and -2 lumped together.

5 In this area, a lot of perforations are in that
6 BC-1/2 interval. That is one of the producing units. We
7 believe that the primary producing unit is in what we call
8 the BC 4, which overlies that unit.

9 You might notice that some of the wells have been
10 perf'd in both the BC-2 and in the BC-4 and have been
11 frac'd. Other wells have just been perforated in the BC-2;
12 however, the frac designs have taken into account frac'ing
13 into the BC-4. So although they're perforated in the BC-2,
14 the fracs have been designed to reach up into the BC-4, and
15 we expect in these wells that both the -4 and the -2 and
16 perhaps some of these other units are producing. And I say
17 that because probably all of the BC-2 through the BC-6 are
18 capable of production.

19 I mentioned a moment ago that these wells were
20 frac'd. All of the wells in the pools have been frac'd,
21 and it's necessary. I'm not aware of any Brushy Canyon
22 wells that are commercially productive that have not
23 required a frac to produce.

24 This is a fairly tight reservoir. It may be
25 difficult to see. Certainly between some of these

1 reservoir units the porosity is lacking, and there are very
2 -- It's a very tight section, even within what we consider
3 the main reservoir units. Permeability is not very high.

4 In fact, there are several things that are
5 restricting permeability. Laminations within the
6 formation, shale interbeds within the formation,
7 cementation varies from place to place within the
8 formation, and this can be seen in cores that have been
9 taken through the particular interval.

10 Q. Is the Lower Brushy Canyon continuous across
11 these two pools?

12 A. It is.

13 Q. Could we move on to your Exhibit 6?

14 A. Exhibit 6 is a north-south cross-section through
15 the area. I may mention that on both of the cross-sections
16 the red which has been colored in and the reservoirs -- and
17 it's only been colored in for the BC-2 and the BC-4 -- but
18 it represents those areas, those sections that have
19 porosity greater than 14 percent as seen on the density
20 log.

21 I do not suggest here that porosity lesser than
22 14 percent will not contribute. I merely show this to
23 illustrate where the thickest reservoir is, and in this
24 case the reservoir is thicker and better developed on the
25 north end with diminishing quality as we come down to the

1 south end.

2 Also, I might point out that the next couple of
3 exhibits which I show will be structure maps, and there
4 will be a structure map on the top of the BC-2 interval and
5 another structure map on the top of the BC-4 interval.

6 Q. Is there any geological basis to treat these two
7 pools separately?

8 A. There's not.

9 Q. Okay, let's move on to your Exhibit 7 and 8.
10 Just a second while we put those up, Mr. Examiner.

11 Go ahead, Mr. Hoose.

12 A. Okay, thank you. Exhibit 7 is the structure map
13 on the BC-2. Exhibit 8 is the structure map on the BC-4.
14 I would point out that they are essentially similar. Also
15 on each of the maps, the contour interval is 20 feet and
16 the lines of cross-section have been posted.

17 The other thing I might note is, development
18 continues in this area and so there are some logs which I
19 do not have.

20 Over in the Ingle Wells area, which is not the
21 subject of this hearing and discussion but is off to the
22 east, there are one or two logs that I don't have that are
23 not, therefore, posted on this map.

24 Similarly, at the very north end of Los Medanos
25 there may be a well or two that's been -- or several wells

1 that have been drilled in Section 9, in particular, I
2 believe, that I don't have logs for. And in the Quahada
3 Ridge field I know there are several logs that I don't
4 have.

5 However, I would point out that there's an
6 abundance of control on here and that with those logs I do
7 not expect the picture to change appreciably.

8 Further, in the main area of discussion and
9 interest today, from the north end of Sections 16 and 17 on
10 to the base of the map in the field areas, I believe I have
11 all of the logs for all of the wells drilled, and they're
12 all posted and all of the information from those is posted
13 on these maps.

14 The main points from the structure map, on both,
15 updip is to the west, downdip is to the east. The rate of
16 dip across here is generally less than or equal to one
17 degree across the area.

18 Prominent features include structural nose, east-
19 west structural nose coming across the mid-part of the map
20 here and across the two fields with a probable closure on
21 the west side of the Sand Dunes field.

22 Q. Okay. Have you seen any geological evidence of
23 an oil/water contact in these two pools?

24 A. I have not.

25 Q. Is there any log evidence of a gas cap?

1 A. Not that I'm aware of, no.

2 Q. Okay, let's get your Exhibits 9 and 10 put up and
3 discuss those, please.

4 A. Exhibit 9 is an isopach of the BC-4 interval.
5 This is net sand with a porosity, again, greater than 14
6 percent, based on the density. It corresponds to the
7 cross-sections that were hung moments ago.

8 Exhibit 10 is similarly an isopach of the BC-1
9 and -2 net sands with similar parameters. The sands are
10 again shown to be continuous north to south.

11 I will start with a discussion of Exhibit 10
12 first, being BC-1 and -2. This section was a little bit
13 difficult to map; there's room for varying interpretations.
14 I think the interpretation that I'm most comfortable with
15 and that's reasonable shows two main trends of sand, again
16 coming north to south with some sand in between those two
17 main trends. If I was to map this on a slightly lower
18 porosity cutoff, say 12 percent, the sands would be
19 continuous with no zero points, as far as I'm aware,
20 anywhere on the map.

21 The BC-4 was very easy to map, and it's very
22 consistent, down across the area shown in very thick
23 section to the north as we've seen on the cross-section a
24 few moments ago, thinning down as we come to the south.
25 And again, the type log was at the intersection of these

1 two cross-sections.

2 Q. Now, you've got on the east side of each map
3 wells from the Ingle Wells-Delaware Pool. What zone does
4 that pool produce from?

5 A. On this map I have, again, only contoured the
6 areas of the fields in question. However, not only with
7 this Ingle Wells but with the Quahada Ridge area, I have
8 posted the isopach values. The sands that produce from the
9 Los Medanos-Sand Dunes areas are also the sands that
10 produce in Quahada Ridge, which is a fairly new field, and
11 in the Ingle Wells-Delaware field.

12 I don't know much about the GOR up in Quahada
13 Ridge. It's very new. We don't have a working interest
14 there, and I don't have information on that.

15 In the Ingle Wells field, we do have a working
16 interest; we're one of the primary operators there. Those
17 wells start out near the 2000-to-1 GOR. Similarly, they
18 have climbed up to 4000 to 5000-to-1 at this point. We
19 have not -- We don't consider this to be a problem in Ingle
20 Wells. Most of those wells are not top-allowable wells,
21 and as they stand, both the gas and oil volumes are within
22 legal limits.

23 Q. Okay. If you could put up your next exhibit,
24 Exhibit 11, and just briefly discuss the Cherry Canyon in
25 this pool.

1 A. I mentioned earlier that both the Bell and the
2 Cherry Canyon produced in these fields. This particular
3 map is mapped on the top of the lowermost Cherry Canyon
4 unit.

5 Really, all I want to do here is illustrate the
6 nature of the Bell and Cherry Canyon production, that this
7 green shaded area here is the best pod of Cherry or Bell
8 Canyon production that we could find, and it's limited in
9 extent. And that's really the point that I wanted to get
10 across here, is that while there are several wells that
11 will probably -- either are producing or may be capable of
12 producing from the Bell or Cherry, and while it may be
13 significant on an individual well basis, relative to the
14 field it's a very minor amount of production.

15 In this particular case -- and again, this is the
16 best one that we could find, and this is based on having
17 porosity in a well greater than ten feet of porosity --
18 there were five wells in this pod, of which three of them
19 already are completed in the Cherry Canyon, which are
20 represented by these large orange dots. One of them had
21 shows in the Cherry and perhaps will be capable of
22 production, and the other one had no shows, and we think is
23 probably wet.

24 The reason I bring this up is, regardless of what
25 GOR we end up with after this hearing, we feel like the

1 current state rules should continue to apply wherein we
2 produce at our discretion Bell, Cherry, Brushy together.
3 Otherwise, I think it will be cumbersome and inefficient.
4 And as things stand, we're able to do so and we desire that
5 regardless of how this turns out that we would continue to
6 be able to do so.

7 Q. Is it common in the Delaware in southeast New
8 Mexico to produce from more than one Delaware zone?

9 A. Yes, absolutely.

10 Q. Were Exhibits 4 through 11 prepared by you?

11 A. They were.

12 Q. And in your opinion, is the granting of this
13 Application in the interests of conservation and the
14 prevention of waste?

15 A. It is.

16 MR. BRUCE: Pass the witness, Mr. Examiner.

17 EXAMINER CATANACH: Shall I admit the exhibits,
18 Mr. Bruce?

19 MR. BRUCE: Oh, thank you. Move the admission of
20 Pogo Exhibits 4 through 11.

21 EXAMINER CATANACH: Exhibits 4 through 11 will be
22 admitted as evidence.

23 Mr. Kellahin?

24 MR. KELLAHIN: No questions.

25 EXAMINER CATANACH: Hang on a second.

EXAMINATION

1
2 BY EXAMINER CATANACH:

3 Q. I just want to make sure I understand the nature
4 of the pool here. It's -- You've got seven different
5 intervals within the Brushy Canyon --

6 A. Yes.

7 Q. -- that you've identified?

8 A. That's correct.

9 Q. Within the seven intervals, you've broken down
10 the A interval into six additional intervals?

11 A. That's correct, and in this pool we are again
12 primarily concerned with the A, and that's what's open in
13 these various wells across the pool.

14 That's not to suggest that in perhaps one of the
15 upper intervals there might not be some additional
16 production, but I think it's going to fall in the nature of
17 the Bell and Cherry that it will be limited -- the vast
18 amount of production is coming from that lower A interval,
19 and again we believe that most of it is coming from that
20 BC-4 interval within the A unit.

21 Q. But there is probably production in other than
22 the A interval in the Brushy?

23 A. I would expect that in several wells -- and I
24 can't point to an example, but I could probably find one if
25 need be -- that there would be some additional behind-pipe

1 zone that hasn't been opened.

2 Q. And on a fieldwide basis, the area you've
3 identified in green there is probably the best Bell or
4 Cherry Canyon producing --

5 A. I think so. In those three wells that have been
6 completed there was a fairly thick section with good shows.
7 It was DST'd, recovered a fair amount of oil on the DST in
8 at least one well. And again, they're already producing
9 and contributing to production.

10 Q. And the BC-4 is, as you've said, probably the
11 main producing interval within the A zone?

12 A. That's correct, and that's based on the thickness
13 of the interval, the continuity across the area, the
14 relatively better reservoir quality within that zone.

15 Q. The BC-2 would be the next best producing
16 interval, in your opinion?

17 A. That is more difficult to answer. I would say
18 yes, but we frac'd these things and hooked them together.
19 There are other zones. The BC-5 has tested oil, we have
20 tested oil in it. I believe we have a test in the BC-6,
21 though I'm not as comfortable with my memory on that.

22 In any event, there are shows throughout that
23 entire A section. The 1 and 2, I would believe, are the
24 next best intervals, and again, I've lumped them together
25 as an interval.

1 Q. And you see no evidence to suggest that these two
2 pools are not -- or are two common sources of supply? I
3 mean, they're just one pool, in your opinion?

4 A. They're one, yes.

5 Q. There's no barrier of any kind to separate them?

6 A. No, not that I'm aware of, and I don't believe
7 that to be the case.

8 Q. Were they -- Well, I won't get into that.

9 Where did you say -- Or there's been some
10 testimony that the pool has been expanded since the maps
11 were drawn. You don't know anything about that?

12 A. I'm not familiar with that.

13 EXAMINER CATANACH: Okay, that's all right.

14 I believe that's all I have, Mr. Bruce.

15 MR. BRUCE: If you want to know the exact acreage
16 that's been added, Mr. McDaniel did check out and he has
17 the exact boundaries of the pool.

18 EXAMINER CATANACH: Okay, yeah, if he's got that,
19 why don't you leave me that information.

20 MR. McDANIEL: There's 23 South, 31 East. You
21 have the southeast quarter of Section 8.

22 EXAMINER CATANACH: Southeast quarter of Section
23 8, okay.

24 MR. McDANIEL: The northeast quarter of Section
25 16.

1 EXAMINER CATANACH: 16.

2 MR. McDANIEL: And then to the south and the west
3 you've got the Sand Dunes-Delaware Pool. In 24 South, 31
4 East, we've added the southwest quarter of Section 33. Oh,
5 I'm sorry, that's still in 23-31.

6 Then in the south, the northwest quarter of
7 Section 4 and the east half of Section 5.

8 EXAMINER CATANACH: Thank you.

9 MARK STOUFFER,
10 the witness herein, after having been first duly sworn upon
11 his oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. BRUCE:

14 Q. Would you please state your name and city of
15 residence?

16 A. Mark Stouffer, Houston, Texas.

17 Q. What is your occupation and who is your employer?

18 A. I'm a senior reservoir engineer for Pogo
19 Producing Company.

20 Q. Have you previously testified before the
21 Division?

22 A. No, I have not.

23 Q. Would you please outline your educational and
24 employment background for the Examiner?

25 A. Yes, I have a BS in petroleum engineering from

1 the University of Tulsa in 1983. I have a master's in
2 petroleum engineering from Texas A&M University in 1988.

3 I have three years' experience with Schlumberger
4 as a field engineer from 1983 through 1986. I had three and
5 a half years' experience with British Petroleum as a
6 drilling, reservoir and production engineer, from 1988
7 through 1991. I have two years' experience with Pogo as a
8 senior reservoir engineer, from January, 1992, through the
9 present.

10 I'm a registered professional engineer in the
11 State of Oklahoma, and my area of responsibility for Pogo
12 does include southeast New Mexico.

13 Q. And are you familiar with the engineering matters
14 related to these pools?

15 A. Yes, I am.

16 Q. And have you conducted an engineering study and
17 are you ready to present those results today?

18 A. Yes.

19 MR. BRUCE: Mr. Examiner, I would tender Mr.
20 Stouffer as an expert engineer.

21 EXAMINER CATANACH: Mr. Stouffer is so qualified.

22 Q. (By Mr. Bruce) Mr. Stouffer, first would you
23 identify Exhibit 12 and discuss the status of the wells in
24 the pool?

25 A. Okay, Exhibit 12 is a well information table for

1 the Sand Dunes West-Los Medanos fields. It lists the
2 sections with the wells in each section, the unit location,
3 the operator of each well, the date of first production
4 from the Delaware, the perforation interval, the interval
5 name, the initial GOR when the well was first completed,
6 the current GOR through September or in some cases August
7 of 1993, the current barrels of oil per month, the current
8 MCF of gas per month, and the cumulative production in
9 thousands of barrels.

10 There are 72 wells in the two fields combined.
11 Information on this table was taken from data and
12 information received directly from the operators in the
13 field.

14 Q. Okay. Have you detected an original gas cap in
15 this pool or these pools?

16 A. No, I have not.

17 Q. How did you make that determination? And I refer
18 you to your Exhibits 13A and 13B.

19 A. Exhibit 13A is a summary of PVT data taken from
20 the Pogo Pure Gold "D" 8 well, which is located in the
21 southeast of the southwest quarter of Section 28.

22 Exhibit 13B is a summary of PVT data from the
23 Kaiser-Francis Pure Gold "A" 2 well, which is located in
24 the southwest of the southwest of Section 21.

25 Both wells were sampled by Core Laboratories, and

1 both wells were sampled at approximately the same time,
2 early in 1993.

3 The Pure Gold "D" 8 well had a saturation
4 pressure -- which is in the second block down the page --
5 saturation pressure of 3173 p.s.i. Based on a bottomhole
6 pressure buildup taken immediately after the PVT data was
7 taken, the reservoir pressure was 3175 and still building.
8 So the reservoir pressure was greater than the bubble-point
9 pressure.

10 The Pure Gold Number "A" 2 well on Exhibit 13B
11 again shows a saturation pressure of 3220 p.s.i., which is
12 in good agreement with the Pure Gold "D" 8, within 50
13 pounds, which is considered good agreement.

14 The Pure Gold "A" 2, based on an extrapolated
15 reservoir pressure from an 86-hour buildup following the
16 PVT data, had an initial reservoir pressure of 3292 p.s.i.

17 Since both wells in this initial reservoir
18 pressure is greater than the bubble-point pressure, there
19 will be no free gas present in the reservoir initially, and
20 therefore no original gas cap.

21 Q. Have you tested your conclusion with other well
22 data?

23 A. Yes, I have.

24 Q. Would you move on to your Exhibits 14 and 15 and
25 perhaps discuss those together?

1 A. Okay, Exhibit Number 14 is a structure map of the
2 BC-2 zone, which is the same structure map that our
3 geologist presented. The map has initial GORs plotted at
4 each well location. The GORs are color-coded, the pink
5 dots from 250 to 500 standard cubic feet per barrel, blue
6 dots 500 to 1500, and black dots 1500 -- greater than 1500.

7 As you can see, the GORs are scattered throughout
8 the plot or throughout the map, and there's no definable
9 trend relating the GOR to the structural position. If
10 there were an initial gas cap present, I would expect the
11 wells high on structure to have high GORs and the wells low
12 on structure to have low GORs, and that's not the case
13 here.

14 Q. And what does Exhibit 15 show?

15 A. Exhibit 15 is a plot of initial GOR versus
16 structure. This plot portrays the same information as
17 shown on this map, Exhibit 14.

18 Once again, you can see that the -- there's a
19 random scatter of the initial GORs. If there were an
20 initial gas cap present, I would expect high GORs on the
21 left side of the plot and low GORs on the right side of the
22 plot, and that's not the case here. The GORs trend more in
23 a horizontal direction.

24 Q. Okay. Have you detected a water drive in this
25 pool?

1 A. No, I have not.

2 Based on the wells drilled to date, there is no
3 evidence of a downdip oil/water contact, as our geologist
4 discussed. Also based on bottomhole pressure data, there
5 is no evidence of pressure support, which you would expect
6 in a water drive.

7 For example, the initial reservoir pressure on
8 the Mobil Federal Number 1 in Section 29 which is the
9 discovery well, was 3274 p.s.i., and a recent pressure
10 taken on that well in November of 1993 shows a bottomhole
11 pressure of 1615 p.s.i. So there's no evidence of pressure
12 support.

13 Q. Have you determined the drive mechanism for this
14 pool?

15 A. Yes, I have. It's a solution gas drive
16 reservoir.

17 Q. What is the primary characteristic of that drive
18 mechanism?

19 A. Exhibit Number 16 is an excerpt from Slider's
20 reservoir engineering text. This figure shows the GOR
21 behavior for a solution gas drive reservoir.

22 As you can see, the GOR which is plotted on the Y
23 axis and cumulative production plotted on the X axis, the
24 GOR remains constant until the bubble-point is reached. At
25 this time, the GOR may actually decline slightly until the

1 critical gas saturation is reached. After that, the GOR
2 increases rapidly due to relative permeability effects.
3 And in late time, the GOR actually levels off and decreases
4 due to changes in formation volume factors.

5 Q. Does production from this pool -- or I should say
6 these two pools -- conform to Slider?

7 A. Yes, it does. Exhibit 17A through 17K are plots
8 of GOR versus cumulative production for the first Brushy
9 Canyon well in each section of the field. The first well
10 in each section was chosen, since there was more history
11 available. These plots are plotted in the same format as
12 the previous exhibit from Slider's text.

13 As you can see as you flip through those
14 exhibits, the majority of the wells have shown an
15 increasing GOR trend, which is indicative of a solution gas
16 drive reservoir.

17 Q. Now, if you would refer to Exhibit 18, are there
18 areas of the pool which have not yet shown a high GOR?

19 A. Yes, Exhibit 18, which I'll discuss in more
20 detail later, is a map of current GOR versus structure.
21 Sections 9, 16, 17, 20 and 21 have not yet shown high GORs,
22 above 2000 to 1.

23 Q. Okay. Well, let's look at these a little
24 differently here. Would you look first at Exhibits -- or
25 excuse me, Sections 20 and 21 and discuss the reasons in

1 your opinion for the low GORs in those two sections?

2 A. In Sections 20 and 21, all six wells have cum'd
3 less than 25,000 barrels. Also, Kaiser-Francis, the
4 operator of the sections, did not have the ability to test
5 the wells individually until December of 1993. This could
6 average a high-GOR well with a low-GOR well.

7 Q. Now, if you look at your -- move back to your
8 exhibit 17, 17H and -I, those are wells in Sections 20 and
9 21; is that correct?

10 A. That's correct.

11 Q. And they don't show the inclining GOR, do they?

12 A. No, they do not.

13 Q. What does the recent well data, the recent test
14 data on these wells show?

15 A. As I mentioned before, Kaiser-Francis the
16 operator of these wells, did not have the facilities to
17 individually test the wells until December. A few days
18 ago, we did receive some updated test data from Kaiser-
19 Francis that shows the Pure Gold "B" 4 well in Exhibit 17H
20 to have a 2600-to-1 GOR, and the Pure Gold "A" 2 well,
21 Exhibit Number 17I, shows to have a 2375 GOR.

22 If you were to plot these updated GORs on this
23 plot -- and again, I don't know what the actual cumulative
24 production is, but if you were to plot those new numbers
25 out to the right somewhere, both of these wells would show

1 the increase in GOR trends, as the other wells in the field
2 have.

3 Q. In your opinion, as these two wells accumulate
4 more production, another 10,000 to 15,000 barrels, will the
5 GOR continue to incline?

6 A. Yes. As a matter of fact, of the seven wells
7 that Kaiser-Francis operates in Section 20 and 21 at the
8 time of this exhibit preparation -- Well, excuse me, based
9 on the recent test data we acquired from Kaiser-Francis,
10 four of the seven wells are in excess of 2000 to 1.

11 Q. What about the north end of the pool, really the
12 Los Medanos Pool, Sections 9, 16 and 17? What is the
13 reason for the low GORs there?

14 A. Based on our isopach maps, the net pay is thicker
15 in the north portion of the field. This would lead to less
16 reservoir pressure drop for the same amount of production,
17 simply due to the larger reservoir volume.

18 Also, with the exception of two wells in Section
19 16, all the wells in 9, 16 and 17 have cum'd less than
20 20,000 barrels, and I would expect GORs in these sections
21 to increase with further production.

22 Q. The cutoff is generally around 20,000 or 25,000
23 when the GOR starts to increase?

24 A. That's right, that's what we've seen so far.

25 Also, as for the well in Section 16, which is

1 Exhibit 17K, the Medano VA State Number 3, this well is
2 completed in the Bell Canyon and maybe -- possibly several
3 other members of the Delaware. Therefore, I would not
4 expect it to show an increase, a high GOR, since those
5 other zones are probably a lower GOR.

6 Q. Have you detected a secondary gas cap in these
7 pools?

8 A. No, I have not. First of all, to have a
9 secondary gas cap, you need significant structural relief,
10 which does not occur in this case. The dip rate is
11 approximately one degree or less.

12 Secondly, this is a low-permeability reservoir,
13 and the wells require fracture stimulation to flow. The
14 combination of no structural relief with the low
15 permeability rock matrix is not favorable to secondary gas
16 cap formation.

17 Q. Would you anticipate the only area of high
18 conductivity is around the wellbore?

19 A. Yes, I would.

20 Q. What data do you have to support your conclusion?

21 A. Exhibit Number 18, which I've talked about
22 earlier, is a structure map on the BC-2, with the current
23 GORs plotted as of September, 1993.

24 This map, again, shows there is no definable
25 trend towards high GORs on the top of the structure and low

1 GORs low on structure.

2 For example, starting with the Yates well in the
3 southwest of the southwest of Section 32, this well right
4 here, if you follow around the structure between the 4580
5 contour and the 4560 contour, this area right here, follow
6 around structure, you'll see dots of every color, which
7 means that you have high, moderate and low GORs at the same
8 structural position around the structure.

9 Also starting with the Mobil Federal Number 8
10 well, which is this well here --

11 Q. In Section 29?

12 A. In Section 29. -- if you head directly south
13 downstructure, follow this line of wells down, you go from
14 high to moderate to low to high and back to moderate. So
15 there's no trend to a decrease in GORs as you head
16 downstructure.

17 Starting with the Mobil Federal 8 again and
18 heading straight east downstructure, you go from high to
19 low to high to low to moderate. So there's no trend in
20 either direction towards high GORs high upstructure to low
21 GORs downstructure.

22 Q. Okay. What does Exhibit 19 show?

23 A. Exhibit 19 is a plot of the current gas-oil ratio
24 versus structure. This plot portrays the same information
25 as the map.

1 Once again, the plot shows a random scattering of
2 GORs with no relation to structure.

3 If you'll notice the eight wells to the lower
4 right side of the plot which are deeper than 4520 feet
5 subsea, those eight wells have cum'd less than 20,000
6 barrels, and two of these wells are open in the Bell
7 Canyon. Therefore, the lower GORs shown by these wells are
8 not a function of structure but are a function of
9 cumulative production --

10 Q. Okay.

11 A. -- and I would expect these wells to increase
12 with further production.

13 Q. The GOR to increase?

14 A. The GORs.

15 Q. Yes. What is the permeability of this reservoir?

16 A. The permeability ranges from two to five
17 millidarcies, based on a combination of pressure buildup
18 data and core data.

19 Also, as our geologist stated, there are
20 laminations between and within the producing zones.

21 Q. What's the practical effect of this low
22 permeability?

23 A. Due to low permeability, the wells do require
24 fracture stimulation to produce. Once they are stimulated,
25 they flow at a high rate, due to a high-conductivity region

1 around the wellbore. I would therefore expect free gas in
2 the reservoir to be produced through this high-conductivity
3 region around the wellbore, rather than migrate updip
4 through a low-permeability rock matrix.

5 Q. Let's move on to a slightly different subject,
6 production from other Delaware zones. Could you refer to
7 your Exhibit 20 and discuss production from zones other
8 than the Brushy Canyon?

9 A. Yes, Exhibit 20 shows that there are three wells
10 that have Brushy Canyon and Cherry Canyon combined, two
11 wells that have Brushy Canyon and Bell Canyon combined, and
12 one well that has Brushy Canyon and Upper Bone Springs
13 combined.

14 Yates received a commingling order for the
15 Pauline ALB State Number 6 early in 1993.

16 The three wells that have the Brushy
17 Canyon/Cherry Canyon producing together, what I've done is
18 taken the before and after producing rates and come up with
19 an estimate of the contribution of each zone.

20 In the case of the Yates well with the Upper Bone
21 Springs commingled, this data, the 94 percent Brushy and 6
22 percent Bone Springs, is based on Yates's testimony from
23 their commingling order.

24 The two wells with the Brushy Canyon and the Bell
25 Canyon combined in Section 16, I had no data available on

1 those. I don't know if they were separately tested in the
2 Bell Canyon and the Brushy Canyon.

3 Q. Okay. What is the drive mechanism in the Bell
4 Canyon and the Cherry Canyon?

5 A. Based on the apparent limited areal extent of
6 these other zones, I would expect them to be solution gas
7 drive.

8 Q. Do they also appear to be tight?

9 A. Yes, they do.

10 Q. Do you favor the current rule allowing operators
11 to produce simultaneously from all Delaware zones?

12 A. Yes, I do. The ability to commingle zones
13 together is more efficient from a development standpoint.
14 It allows the operator to produce to a lower abandonment
15 pressure and abandonment rate. It also allows for
16 maintaining production rates with less administrative
17 requirements.

18 Q. Pogo has requested a higher GOR, which would
19 allow at least certain wells to produce at a higher rate
20 without curtailment. Will ultimate recovery be adversely
21 affected by the increased production rate?

22 A. No, not significantly, and I would like to show a
23 couple of exhibits to illustrate this.

24 Exhibit Number 21 is an excerpt from *Craft and*
25 *Hawkins* which is considered to be the standard reservoir

1 engineering text by most practicing engineers. I won't
2 read it, but I will summarize each paragraph.

3 Paragraph one states that the recovery from
4 solution gas drive reservoirs is essentially independent of
5 production rate.

6 Paragraph two states that the GOR of a solution
7 gas drive reservoir is not a function of pressure -- or,
8 excuse me, is not a function -- is a function of pressure
9 and depletion and is not a function of producing rate.

10 This is the same principle as shown by Exhibit
11 16 from Slider's text.

12 Paragraph --

13 Q. What -- Go ahead.

14 A. Excuse me. Paragraph 3 states that to have a
15 rate-sensitive reservoir, another drive mechanism must be
16 present, such as partial water drive or gravity
17 segregation. And we've shown that we have neither one of
18 those in effect here.

19 Q. Okay, and what about Exhibit 22?

20 A. Exhibit 22 is an equation from Slider's text.
21 This equation gives the GOR at any time for a solution gas
22 drive reservoir. I'll just explain the terms a little bit.

23 The R is the instantaneous gas/oil ratio at any
24 time during the life of the well.

25 R_g is the solution gas/oil ratio.

1 And the third term is a ratio of gas/oil
2 permeabilities, viscosities and formation volume factors.
3 This term represents the flow of free gas in the reservoir.

4 The significance of this equation is that both
5 terms on the right-hand side of the equation are a function
6 of reservoir pressure or fluid saturation, which in turn
7 are functions of cumulative production.

8 None of these terms are a function of producing
9 rate. Therefore, the GOR is independent of producing rate.

10 Q. What GOR does Pogo request?

11 A. 8000 to 1.

12 Q. What do you base this on?

13 A. Based on the individual well plots in Exhibits
14 17A through 17K, the GOR trend is increasing, and it's
15 currently at an average of about 4000 to 1. We believe the
16 ultimate average poolwide will be approximately 8000 to 1.

17 Also, the GORs for other Delaware pools -- for
18 example, East Loving -- have been increased to 8000 to
19 10,000 to 1, which appears to be adequate.

20 Q. Were Exhibits 12 through 22 prepared by you or
21 under your direction?

22 A. Yes, they were.

23 Q. And in your opinion, is the granting of this
24 Application in the interests of conservation, the
25 prevention of waste, and the protection of correlative

1 rights?

2 A. Yes, it is.

3 MR. BRUCE: Mr. Examiner, I move the admission of
4 Exhibits 12 through 21.

5 This is all I have of Mr. Stouffer at this time.
6 He does have one final exhibit which is dependent upon our
7 final witness's testimony. I'd like to recall him for two
8 three minutes right at the end.

9 EXAMINER CATANACH: Okay. Exhibits 12 through 21
10 will be admitted as evidence.

11 Mr. Kellahin?

12 MR. KELLAHIN: Yes, sir.

13 CROSS-EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Mark, do you say your last name "Stouffer", or is
16 it "Stouffer"?

17 A. "Stouffer".

18 Q. "Stouffer", with an "o"?

19 A. Like the frozen foods.

20 Q. Yeah, okay. What are the two most important
21 factors, Mr. Stouffer, that control or affect gas
22 recoveries in a solution gas drive reservoir?

23 A. Gas recoveries or oil recoveries?

24 Q. Oil recoveries.

25 A. Oil recoveries?

1 Q. Yes, sir.

2 A. I would say permeability, porosity, pressures,
3 initial pressures, abandonment pressures, saturations,
4 economic limits, a variety of things.

5 Q. Of those, which are the most important?

6 A. In this particular case?

7 Q. Yes, sir.

8 A. I wouldn't say that any one is more particularly
9 important. I would say they all have the same effect,
10 basically.

11 Q. Would you turn to your Exhibit Number 12?

12 A. Yes, please.

13 Q. Does Exhibit Number 12 contain all the current
14 producing wells in either of these two pools?

15 A. It only contains the wells that were in the two
16 pools at the time of preparation, which is approximately
17 September, October of 1993, somewhere. There may have been
18 some wells drilled in the pool that are not on this
19 Exhibit.

20 Q. All right. The current pool rules, 40-acre
21 spacing, depth bracket oil allowables 187 barrels of oil a
22 day, you've got a 2000-to-1 gas/oil ratio limit, right?

23 A. That's correct.

24 Q. Using that basis, what is the maximum volume of
25 gas that you're allowed to produce from any of the oil

1 wells?

2 A. That would be 187 times 2000, or 374 MCF per day.

3 Q. When we look at the distribution of the wells and
4 find a display that illustrates that, perhaps the one on
5 the board now -- what is that, 18?

6 A. Yes.

7 Q. 18, the one that's got the colored dots on it,
8 maybe that's the way to help us locate some of those.

9 Can you show me the wells, or is there a way to
10 look at Exhibit 12 and find the wells that are currently
11 subject to the limitation? In other words, they are being
12 restricted because they are exceeding the gas limitation
13 for that spacing unit?

14 A. Yes, if you look at Exhibit 12, what you can do
15 is go to the column for current MCF per month.

16 Q. Multiply by 30? Is that how you can do it?

17 A. Well, or divide by 30 to get the daily rates.

18 Q. Well, let's do the month. You've already got
19 months --

20 A. Okay.

21 Q. -- tabulated here.

22 A. Okay.

23 Q. So if we take 374 times 30, it gives you 11.22
24 million a month?

25 A. That's right.

1 Q. Okay. And if we look down that column, then, and
2 we find any of those wells that are exceeding 11.22 million
3 a month, those wells are being overproduced?

4 A. Yes, for that particular month.

5 Q. Okay. What have you been doing about the wells
6 that you operate that are exceeding the current 2000-to-1
7 gas/oil ratio?

8 A. We have not made an effort to curtail, as far as
9 I'm aware.

10 Q. Do you know which of your wells is the well that
11 is most overproduced of the current gas/oil ratio?

12 A. I'm sorry, I do not.

13 Q. Okay.

14 A. I don't have that information.

15 Q. This tabulation on Exhibit 12 would only show --
16 It says current MCF per month. I guess I need to know what
17 month that refers to.

18 A. Okay, the current MCF per month corresponds to
19 the current date on the column two columns to the right.
20 So the current date, September, 1993, for Sections 28, 29
21 and, for example, Section 20 and 21, that current date
22 would be August, 1993. So there are three of those months
23 shown there.

24 Q. I don't have enough information on Exhibit 12 to
25 find out which of your wells is overproduced and how much

1 they are overproduced?

2 A. That's correct.

3 Q. Okay. The operation in the field for your wells,
4 is it such that you have measured and reported all gas
5 production from each of those wells?

6 A. Yes.

7 Q. Was there any gas flared from any of these wells
8 that wasn't measured?

9 A. I cannot answer that. I do not know if there was
10 gas vented or not.

11 Q. Okay. What reports are you working with to
12 generate a spreadsheet like this when we're concerned about
13 the accuracy of the gas numbers being used on the
14 spreadsheet?

15 A. All of the gas and oil rates were taken from
16 either C-115 data or data supplied -- furnished to me
17 directly by the operator of each section.

18 Q. You have a map that shows the initial GOR for the
19 wells. I think there was a color code.

20 A. Yes, there was.

21 Q. Do you have that display handy, that we might put
22 it up at the same time as we look at 18 so we can draw some
23 comparisons?

24 The PVT data, we've got two sources, two fluid
25 samples taken from two different wells. I think there was

1 one of your wells and one of Kaiser-Francis's wells?

2 A. That's correct.

3 Q. Have you examined that PVT data?

4 A. Yes, I have.

5 Q. Are you satisfied as an engineer that there are
6 no glitches in how that -- those fluids were analyzed and
7 processed and samples taken?

8 A. Yes, I am. I believe the Kaiser-Francis well was
9 sampled downhole. Our well was sampled at the surface and
10 recombined. However, as a quality-control check, the
11 bubble-point pressures on the two PVT studies are within 50
12 pounds, which I consider excellent agreement.

13 Q. What is the bubble-point pressure of the
14 reservoir?

15 A. The bubble-point pressure of the reservoir, based
16 on PVT data from these two wells, would be somewhere in the
17 range of 3173 to 3220.

18 Q. Okay. The initial reservoir pressure was what,
19 sir?

20 A. The initial reservoir pressure on the Pure Gold
21 "D" 8 was 3175. However, that was not an extrapolated
22 reservoir pressure, so I would consider it to be somewhat
23 higher than that.

24 The initial reservoir pressure, extrapolated
25 reservoir pressure from the Pure Gold "A" 2 was 3292 p.s.i.

1 Q. Have we drawn down reservoir pressure in the
2 reservoir that now the wells are producing below the bubble
3 point?

4 A. It depends on the well and also the cumulative
5 production.

6 In, for example, the Mobil Federal Number 1 well,
7 which was the discovery well in the field, has produced
8 approximately 100,000 barrels, I would say we are without a
9 doubt below bubble point in that particular well.

10 Some of the other wells that are brand new may
11 not be below bubble point at this time, but it will happen
12 very quickly.

13 Q. Can you go to one of the displays and help me
14 find the Mobil Federal Number 1?

15 A. Yes.

16 Q. Show it so we're all clued in as to where that
17 is.

18 A. It's this well right here.

19 Q. It's the one in Section 29; you're in the
20 northwest of the southeast of 29?

21 A. That's correct.

22 Q. Okay. Stay there for just a second. When you
23 look south of that location in the same section, there is a
24 well with a black dot?

25 A. Yes.

- 1 Q. Okay, what's that well name?
- 2 A. That's the Mobil Federal Number 8.
- 3 Q. And if you'll look at the Mobil Federal Number 8
- 4 on display number 18 just next to you --
- 5 A. Yes.
- 6 Q. -- it's got a black dot?
- 7 A. Yes.
- 8 Q. Its producing current GOR is between 4000 and
- 9 6000; is that correct?
- 10 A. That's correct.
- 11 Q. Look at the east of it. There's a red dot. Do
- 12 you see that?
- 13 A. Yes.
- 14 Q. What's that well?
- 15 A. That's the Mobil Federal Number 7.
- 16 Q. And it's less than 2000 to 1?
- 17 A. That's correct.
- 18 Q. And then you continue east and we have another
- 19 black dot?
- 20 A. Yes.
- 21 Q. And you continue east one more time, and we've
- 22 got a red dot?
- 23 A. Pink.
- 24 Q. I'm sorry, pink?
- 25 A. Yes, sir. Yes.

1 Q. What's the explanation as to why in 40-acre
2 offsets you get a well that's less than 2000 to 1, side by
3 side with one that's more than -- 4000 to 6000 to 1?

4 A. The explanation is that the GOR is a function of
5 cumulative production. Some of these wells have been
6 producing longer and therefore have produced more, so their
7 GORs would be higher. Other wells have come on more
8 recently and produced less, so their GORs may be less.

9 Q. Will that point hold true to all the wells in the
10 reservoir --

11 A. As a general trend, yes.

12 Q. -- that we can find in the older portions of the
13 pool, the well that has produced longer has a higher GOR?

14 A. I would say that's a good general statement.

15 Q. Okay. What is the vintage of the discovery well?

16 A. The discovery well was discovered, I believe, in
17 March of 1992.

18 Q. Okay. You've got what? Eighteen months of
19 production from that well now?

20 A. Approximately.

21 Q. Please return to your seat.

22 Have you done any kind of drainage studies, Mr.
23 Stouffer, to determine whether or not wells are having any
24 effect on the recoveries of their adjoining wells?

25 A. No, I have not.

1 Q. Have you done any type of engineering analysis to
2 determine what is the oil in place for any of the 40-acre
3 spacing units?

4 A. Yes, I've done some initial volumetrics.

5 Q. Have you taken the isopach that the geologist
6 prepared and done any further calculations, volumetric or
7 otherwise, to determine oil in place?

8 A. For a particular well or for the field?

9 Q. For either.

10 A. Well, I've not used the geologist's most recent
11 isopachs. I've used my log-derived porosity, water
12 saturation and net pay and used those numbers.

13 Q. Did you create your own ϕh map?

14 A. No, I didn't.

15 Q. Do you have an estimate or an engineering
16 projection as to what percentage recovery you would
17 anticipate out of this reservoir?

18 A. Typical recovery efficiency for a solution gas
19 drive reservoir of this nature, I would say, would be in
20 the range of 10 to 12 percent.

21 Q. Do you know whether any of the wells that are in
22 the pool have already recovered their share of recoverable
23 oil from underneath their spacing unit?

24 A. No, I have not made any drainage studies, so I
25 cannot say that.

1 Q. Have you made any pressure studies to see if
2 there's any pressure effect among the wells in any portion
3 of the reservoir?

4 A. No, I have not.

5 Q. Initial reservoir pressure is slightly over 3000
6 pounds?

7 A. Approximately 3300, yes.

8 Q. Okay. Do you have any newer wells in proximity
9 to some of the older producers to see if they were still
10 coming in close to original reservoir pressure or whether
11 they had been pressure-depleted by the prior well?

12 A. We may have some pressure data, but I -- Like I
13 say, I have not conducted a drainage study, I have not
14 compared pressures from one 40-acre unit to the next.

15 MR. KELLAHIN: Just a moment, Mr. Examiner.

16 EXAMINER CATANACH: Sure.

17 Q. (By Mr. Kellahin) Let's go to Exhibit 32 for a
18 minute, Mr. Stouffer.

19 A. Okay, we've not yet presented Exhibit 32.

20 Q. I'm way ahead of you then, I'm sorry. I thought
21 this was -- You saved that, didn't you?

22 MR. BRUCE: Yes.

23 MR. KELLAHIN: Okay, we'll come back to it.

24 Q. (By Mr. Kellahin) I've lost track of your
25 development on Pogo tracts. Are you fully developed for

1 40-acre within the reservoir? And when I say "reservoir",
2 I'm combining the two pools.

3 A. "Fully developed" to mean a well in each 40
4 throughout the section?

5 Q. Yes, sir, and I understand there's limitations on
6 the reservoir and where you're going to pick to drill
7 wells, but if you'll look at Section 32 it looks fully
8 developed. You get up into 29 and there's just a few
9 wells, and -- You know, the map speaks for itself.

10 In terms of your acreage position, do you have
11 further locations that you want to drill?

12 A. I do not decide which wells to drill and where.

13 Q. Okay.

14 A. That's a decision made by the geologist. I can
15 tell you that I know in Section 29 we do have some problems
16 with locations due to potash. Beyond that, I can't
17 speculate any further.

18 Q. Okay. The lack of development in 29 is a
19 condition other than something in the reservoir,
20 apparently?

21 A. Yes.

22 Q. It's a potash issue?

23 A. Yes.

24 Q. Have we drilled this reservoir in the wrong
25 spacing?

1 A. As I said before, I have not conducted drainage
2 studies, so I cannot say.

3 Q. Okay. It doesn't matter, we're committed to 40-
4 acre spacing. But I was curious as to whether or not in
5 hindsight we may have drilled this too densely.

6 A. I don't think I can make that statement at this
7 time.

8 MR. KELLAHIN: All right, sir, thank you. No
9 more questions.

10 EXAMINATION

11 BY EXAMINER CATANACH:

12 Q. Mr. Stouffer, is there any correlation between
13 GOR and what zone a well is producing from, or have you
14 examined that question?

15 A. All of the GORs that you see on both of these
16 plots, and all of the GORs that are used in the exhibits,
17 are wells producing primarily from the Brushy Canyon, which
18 would be the BC-2 and the BC-4 members.

19 We do believe that even though some wells have
20 only been perforated in the BC-2, that we -- with our
21 fracture stimulations, we are communicated upwards to the
22 BC-4. But I have not made a GOR breakdown by itself.

23 Q. Is there any possibility of an existence of just
24 a gas-bearing interval anywhere in that producing interval?

25 A. Not that I'm aware of, no.

1 Q. It's your opinion that GOR is strictly a function
2 of cumulative production?

3 A. Yes, it is.

4 Q. And you've cited numbers 20,000 to 25,000 barrels
5 of oil is the point where GOR begins to increase?

6 A. It's the point where, as you can see if you look
7 at Exhibits 17A through -K...

8 For example, the Mobil Federal Number 1, the
9 first plot, begins to increase at about 30,000 barrels.

10 The Pure Gold "D" 2, the next plot, begins to
11 increase at about 25,000 barrels.

12 The next well, the Pauline State Number 4, begins
13 to increase at about 22,000 barrels.

14 So roughly 20,000 to 30,000 barrels, we start to
15 see an increase in GOR.

16 Q. On your Exhibit 17B, do you have an opinion as to
17 why that GOR dropped at about 40,000 barrels?

18 A. 17B?

19 Q. Yeah, Pure Gold "D" Number 2.

20 A. Okay. No, I do not have an explanation for that.
21 However, it does continue back up after that.

22 Q. Was it your testimony that the average GOR is
23 approximately 4000 to 1 at this point?

24 A. Yeah, that was an average number, more or less
25 taken from the wells in Sections 28, 29 and 32.

1 Q. Okay. So that's not the whole average, that's
2 just --

3 A. No, that's not the entire field. By that I meant
4 the wells that are above the 2000 to 1, the average is
5 probably close to 4000 to 1.

6 Q. You don't know what the average poolwide is?

7 A. No, I don't, but it would probably be less than
8 4000 due to all the low-GOR wells in the north part of the
9 pool.

10 Q. How do you arrive at a proposed 8000-to-1 GOR?

11 A. The 8000 to 1 was based on similar Delaware
12 fields.

13 For example, East Loving-Delaware, which Pogo
14 Producing Company came to a similar GOR hearing earlier
15 this year.

16 It produces from the same stratigraphic
17 intervals, the same general producing characteristics as
18 the Sand Dune-Los Medanos, and we were granted an 8000-to-1
19 GOR in that pool. And we feel that due to similarities in
20 the two pools, that 8000 to 1 will be adequate.

21 Q. The GOR in this pool should at some point in time
22 peak out and then gradually start to decline somewhat?

23 A. Yes, I would expect to see that in the latter
24 portions of the field.

25 Q. There's no way to tell at this point in time what

1 that peak GOR would be?

2 A. Not at this time, no.

3 EXAMINER CATANACH: I think that's all I have of
4 the witness.

5 REDIRECT EXAMINATION

6 BY MR. BRUCE:

7 Q. I just have a brief follow-up question to
8 something Mr. Kellahin asked you, Mr. Stouffer, about
9 Pogo's development in the pool. 29 is essentially all
10 Pogo, isn't it?

11 A. That's Pogo-operated, yes.

12 Q. Pogo-operated?

13 A. Yes.

14 Q. And that is a lot of undeveloped acreage; is that
15 correct?

16 A. Yes, that's correct.

17 Q. And Pogo also has undeveloped -- has nonoperating
18 working interests, substantial working interests in
19 Sections 20 and 21?

20 A. Yes, we do.

21 Q. So there are a number of undeveloped units that
22 Pogo has in this pool yet?

23 A. Yes, there are.

24 MR. BRUCE: I have nothing further, Mr. Examiner.

25 EXAMINER CATANACH: The witness may be excused.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHARLES R. VANORSDALE,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. BRUCE:

Q. Would you please state your name for the record?

A. Charles Vanorsdale.

Q. Where do you reside?

A. Midland, Texas.

Q. Who do you work for?

A. I work for T. Scott Hickman and Associates.

Q. What is your capacity there?

A. I'm senior evaluation engineer.

Q. What is your relationship to Pogo in this case?

A. Pogo asked me to develop a reservoir simulation model to assess the impact that a higher GOR allowable would have on the ultimate recovery of the Sand Dunes West Delaware field.

Q. Have you previously testified before the Division as an engineer?

A. Yes, I have.

Q. And have you had your credentials accepted as a matter of record?

A. Yes.

Q. And are you familiar with your model and the

1 input from this pool into that model?

2 A. Yes.

3 MR. BRUCE: Mr. Examiner, I would tender Mr.
4 Vanorsdale as an expert engineer.

5 EXAMINER CATANACH: Mr. Vanorsdale is considered
6 qualified.

7 Q. (By Mr. Bruce) Would you please describe your
8 model? And I'll refer you to your Exhibit 23.

9 A. Yes, Exhibit 23 represents a five-well reservoir
10 model, which was constructed as a three-dimensional, three-
11 phase model using a state-of-the-art commercially available
12 simulator.

13 Five wells were selected to be representative of
14 the field and include some of the oldest producers in the
15 field. The Mobil Federal Number 1 is the discovery well
16 for the Sand Dunes West.

17 In addition to this particular grouping of wells,
18 I was concerned with the structural impact. The Mobil
19 Federal Number 1 and the Mobil Federal Number 8 are located
20 near the structural high of the reservoir. There has been
21 some concern in the past as to the possibility of secondary
22 gas cap formation due to structure, and so I wanted to
23 assess that likelihood in the reservoir simulation.

24 And if you'll notice on the model, there are two
25 zones represented, the BC-4 and the BC-2. I have those

1 separated by a barrier. The two zones, as has been
2 discussed already, are in communication due to hydraulic
3 fracturing. I have incorporated that in my simulator. The
4 BC-4 and the BC-2 are not in communication anywhere else in
5 the simulator except at the wellbore.

6 Additionally, you will also notice that around
7 each of those five wells there is a rather thin layer which
8 represents a frac wing. We have incorporated the hydraulic
9 fracture around each wellbore to accommodate a rapid
10 pressure drop and fluid saturation change in order to make
11 the model accurate.

12 Q. Okay. Would you move on to Exhibit 24 and
13 discuss the parameters you used in your model briefly?

14 A. Exhibit 24 represents information which was
15 gathered across the field from PVT analysis, special core
16 analysis, some volumetric work, pressure buildup tests, and
17 core analysis primarily.

18 The PVT data comes from primarily the Pure Gold
19 "D" 8, which is a well just east, offset east to my "D" 4,
20 Pure Gold "D" 4, which is in the reservoir model.

21 Some additional information came from the East
22 Loving-Delaware Pool, specifically gas and oil relative
23 permeability data, which was modified for this model.

24 Q. Would you move on to your Exhibits 25 through 29
25 and discuss actual production from the field in comparison

1 to your model?

2 A. Exhibit 25 represents the reservoir model's
3 attempt to match the actual cumulative oil and gas
4 production from the Mobil Federal Number 1. This
5 represents 19 months of production. The overall match is
6 excellent. The actual data is shown as a solid line. The
7 simulated results from my model are shown as a dashed line.

8 Likewise, Exhibit Number 26 is the same type of
9 information for the Mobil Federal Number 8. This
10 represents 12 months' worth of data, and I should point out
11 that all of these matches utilize data through the end of
12 September of 1993.

13 Q. What is Exhibit 30?

14 A. Exhibit 30 represents the composite for all five
15 wells in the model. And the overall results, as shown
16 here, indicate that the cumulative oil produced is within
17 five percent of the simulated cumulative oil produced. And
18 the cumulative gas produced in the field, five-well field,
19 is within six percent of the simulated results.

20 Q. Is that a good match?

21 A. This is considered an excellent match.

22 Q. Would you refer to your Exhibit 31 and discuss
23 for the Examiner what that exhibit shows?

24 A. Exhibit 31 represents the results of taking the
25 simulator's history match of those five wells and then,

1 assuming two different gas/oil ratio allowable scenarios,
2 forecasting what the ultimate recovery would be, in order
3 to assess the impact on overall reserve recovery.

4 The two cases presented assume 2000 to 1 GOR
5 versus the proposed 8000 to 1. The simulator forecast the
6 producing rates for the five wells down to a production
7 limit of ten stock tank barrels per day per well.

8 As you can see by comparing the two columns, the
9 oil recovery and the gas recovery are almost identical.

10 Likewise, the cumulative gas/oil ratio is almost
11 identical.

12 And finally, the oil recovery factor, as a
13 percent of the oil in place, as calculated by the
14 simulator, is likewise almost identical.

15 Q. Now, looking at the cumulative GOR, is that
16 different, 200 -- about a 200 difference between the two
17 figures, is that significant?

18 A. It's insignificant. No, it's about a 2.7 percent
19 difference between the two. In the event that a secondary
20 gas cap had formed, assuming an 8000 to 1 GOR allowable, we
21 would have anticipated the cumulative GOR to be
22 significantly higher than this.

23 Q. What about the recovery factor? What does that
24 indicate?

25 A. The magnitude of the recovery factor is something

1 on the order of 11 percent in both cases. It is indicative
2 of a solution gas drive reservoir.

3 Had this been a gas cap expansion reservoir, the
4 recovery factors would have been significantly higher, as
5 pointed out in some statistical studies that have been done
6 in the past.

7 Q. Is there any additional evidence you have to
8 negate the formation of a secondary gas cap?

9 A. Yes, I have also monitored the gas saturation
10 throughout the five-well area, both vertically and areally,
11 to assess whether or not any significant gas migration has
12 taken place toward this structural high. In other words,
13 forming a secondary gas cap. This was not accomplished in
14 the model. There was no secondary gas cap forming. The
15 highest gas saturations that occurred were in the near-
16 wellbore area.

17 Q. How confident are you in your model?

18 A. I'm very confident in the model. I have modeled
19 the Delaware before for the East Loving-Delaware Pool and
20 presented the results in 1991 and again in 1993, again
21 representing the reservoir simulation.

22 I presented testimony which, in the 1993 hearing,
23 matched what I had forecast within about three or four
24 percent of the actual oil production rates and gas
25 production rates, and pressure history was within six

1 percent of the actual pressure data.

2 Additionally --

3 Q. Go ahead.

4 A. Additionally, with respect to the validity of
5 this model, there was a pressure buildup test taken on the
6 Mobil Federal Number 1 in late November, early December, a
7 14-day duration. The results of that pressure buildup
8 indicated a bottomhole pressure on the order of 1615
9 pounds. I verified the results in my model for the Mobil
10 Federal Number 1, and the bottomhole pressure predicted by
11 my model was 1633 pounds.

12 Q. And that's a pretty good match?

13 A. That's an excellent match.

14 Q. Were Exhibits 23 through 31 prepared by you or
15 under your direction?

16 A. Yes.

17 Q. And in your opinion, is the granting of this
18 Application in the interests of conservation and the
19 prevention of waste?

20 A. Yes.

21 MR. BRUCE: Mr. Examiner, I would tender Pogo
22 Exhibits 23 through 31.

23 EXAMINER CATANACH: Exhibits 23 through 31 will
24 be admitted as evidence.

25 Mr. Kellahin?

1 MR. KELLAHIN: Yes, sir.

2 CROSS-EXAMINATION

3 BY MR. KELLAHIN:

4 Q. You testified before the Division in that East
5 Loving Pool case, did you?

6 A. Yes, sir.

7 Q. Who was your client in that matter? Do you
8 remember?

9 A. Bird Creek.

10 Q. The East Loving Pool, I've lost track of where
11 that is in relation to this reservoir. Can you orient me
12 as to where we are to go to the East Loving Pool?

13 A. I do not know the specific mileage away.

14 Q. That was not a contested case before the
15 Division, was it, sir?

16 A. Yes, it was.

17 Q. Who were the other parties involved?

18 A. Pogo was involved; the opponent was Oryx energy.

19 Q. The model simulation, the software, if you will,
20 the program used for the model, you didn't tell me what
21 that specifically was. What program did you use?

22 A. It's called Eclipse, and the software is through
23 an outfit known as Intera, I-n-t-e-r-a.

24 Q. If my engineers want to try to duplicate our work
25 effort, I'd like them to be able to use the -- a similar

1 program. Is that a commercially available program?

2 A. Yes, sir.

3 Q. All right. Let me understand some of the
4 assumptions in the model, and perhaps the first page of the
5 Exhibit 23 serves that purpose.

6 The model will assume a reservoir of this size?

7 A. Yes, sir.

8 Q. When we get to the boundary of this container,
9 what does the model do? It assumes that's the reservoir
10 limit, does it not?

11 A. Yes, sir.

12 Q. All right. Is there -- Did you run any
13 simulation to determine what the ultimate recovery would be
14 for an individual well within the simulation?

15 A. There are -- Yes, we do have ultimate recoveries
16 on a per-well basis.

17 Q. Does the model assume the historical producing
18 chronology of the five wells in the model?

19 A. That's how we obtained the history match. That
20 gives us an indication as to the productivity of the
21 individual wells.

22 Q. Okay. So the model is programmed such that
23 whatever the first well was -- I don't think it matters,
24 but you've got five wells in your model. You'll take the
25 first well that is first producing?

1 A. Yes, sir.

2 Q. You will take that plot of production. Are you
3 trying to match historical production for the oil
4 production, or on all fluids?

5 A. I match all fluids on each well.

6 Q. Okay. And that's a part of what we see in the
7 run here, is an attempt to match the gas production and
8 then attempt to match the oil production; did I read that
9 right?

10 A. Well, not an attempt but an achievement at
11 matching the oil and gas production rate.

12 Q. Okay. Well, I don't want to quibble with you
13 over how close that line comes, but -- The input
14 parameters, reservoir pressure, we've got initial reservoir
15 pressure, 3300?

16 A. Yes.

17 Q. Bubble-point pressures from the PVT data?

18 A. Yes, sir.

19 Q. Where did the reservoir pressure come from?

20 A. The reservoir pressure came from a series of
21 buildup tests that were taken throughout the field at
22 various points in time. They are what we would call P*
23 values, which from pressure buildup data indicates the so-
24 called infinite reservoir.

25 Q. Had you attained P* in all the buildup data

1 that's utilized for the model?

2 A. What?

3 Q. Maybe I didn't say that right. Have you attained
4 pressure that was stabilized?

5 A. Are you asking me if all of the pressure buildup
6 tests achieved a stabilized pressure from which to obtain a
7 similar P^* ?

8 Q. Bingo. Yes, sir.

9 A. Okay. No, not all wells achieve the same P^* .
10 That's a function of the amount of time that each well
11 built up.

12 Q. How did you deal with that?

13 A. Well, those wells were ignored. We had about
14 three or four wells which had sufficient time to reach what
15 we call pseudo radial flow and then obtain a P^* value.

16 Q. All right. Which wells did you choose to
17 utilize?

18 A. Let's see. Of course the Mobil Federal Number 1
19 was the first well, and from that the P^* value taken in
20 March, 1992, was about 3275 pounds.

21 The Pure Gold "A" 2 P^* value, taken exactly one
22 year later, was 3292 pounds.

23 And the Pure Gold "B" 4 P^* value, taken in April
24 of 1993, was 3278 pounds.

25 All certainly within the range that the tests

1 could have provided.

2 Q. Okay.

3 A. From that, I simply rounded to 3300 pounds.

4 Q. I'm looking for areas that you may differ with my
5 simulator engineer, and I want to understand where
6 parameter choices were made by you so that if he conducts a
7 similar simulation I at least know where yours came from.
8 All right?

9 A. (Nods)

10 Q. In order to get your history match, what
11 parameters did you have to adjust in order to make the
12 match?

13 A. Of course, gas/oil relative permeability was one.
14 As I have already mentioned, we took data from the East
15 Loving-Delaware Pool and had to make some corrections to
16 account for the relative liberation of gas with the
17 production of oil.

18 Q. Do you remember what relative permeability value
19 you used in order to attain the match that you were
20 satisfied with?

21 A. Well, relative permeability varies as a function
22 of the gas saturation, so I would have to provide that in
23 the form of a table.

24 MR. KELLAHIN: Okay. Mr. Bruce, would you do
25 that for me, is to give me the table so I have the relative

1 permeability values that were used in the simulation so
2 that we can --

3 MR. BRUCE: We'll do that.

4 Q. (By Mr. Kellahin) All right. Anything else that
5 my engineer is going to need in order to check your work,
6 sir?

7 A. Well, there is a lot of information that is very
8 specific to the individual wells. If we need to go into
9 this, there are such things as transmissibility multipliers
10 around the wellbore, which approximates the conductivity
11 achieved by hydraulically fracturing the wellbore.

12 Additionally for each well and for each zone
13 within the well, both the BC-2 and the BC-4, there are
14 values of productive capacity, KH, the product of
15 permeability times the net pay thickness, which has to be
16 incorporated.

17 Likewise, for each zone there is a skin factor
18 which needs to be incorporated.

19 Q. How did you then generate the KH? Did you
20 utilize the Pogo geologic interpretations?

21 A. It was derived both from pressure buildup tests
22 and from data derived from core analysis. Again, there was
23 considerable adjustments necessary in order to obtain the
24 match.

25 Q. Are there any geologic interpretations that

1 you've relied on in order to run the simulation?

2 A. With respect to the vertical permeability, yes.
3 Due to the laminations within the Brushy Canyon, the
4 vertical permeability was reduced above and beyond the
5 horizontal permeability.

6 Q. Did you account for the fact that in the
7 reservoir these wells have to be frac'd or otherwise
8 stimulated in order to make them productive? That's going
9 to induce a fracture system, if you will, at least around
10 the near wellbore?

11 A. Yes, sir.

12 Q. And is that a component of the simulation?

13 A. Yes, sir.

14 Q. How many runs or separate adjustments did you
15 have to make in order to get a match that you were
16 satisfied with?

17 A. Well, that's a good question. I would say
18 that --

19 Q. Did you get a unique match the first time?

20 A. No, no.

21 Q. Okay.

22 A. Not to this data, anyway.

23 Q. All right.

24 A. I would estimate that in order to obtain a match,
25 given the amount of individual zone contribution that had

1 to be taken into consideration, we're looking at on the
2 order of 50 to 75 simulation runs.

3 Q. Having achieved a match that's acceptable to you,
4 what then do you do with the simulation?

5 A. At that point, I forecast the production,
6 assuming the gas is restricted to the 2000-to-1 GOR, or to
7 the 8000-to-1 GOR allowable.

8 Q. That assumption is made at what point in time?
9 During the entire productive life of the wells in the
10 simulation?

11 A. Well, you can do it from the beginning or at any
12 point that you choose.

13 Q. Did you try to vary the point in time at which
14 you made the adjustment to 8000 to 1?

15 A. Well, originally, the data with which I was
16 working, which had been revised subsequently, did enable me
17 to make some runs which were at a different point in time
18 from which the results are displayed on my exhibits.

19 The results obtained using the old information at
20 a different point in time did not vary significantly from
21 the results that are shown on my Exhibit 31.

22 Q. Okay. I'd like to ask you, on the input
23 parameters, it's Exhibit 24, the initial solution GOR,
24 1130 --

25 A. Yes, sir.

1 Q. -- where did you get that number?

2 A. That came from PVT analyses.

3 Q. Do you happen to have Exhibit 13A and -B that the
4 previous witness used? We'll get you one if you don't have
5 it.

6 Do you have another one of those, Jim? Yeah,
7 there it is. Go ahead and look at these two.

8 A. Okay.

9 Q. On 13A that I've handed to you, there's a
10 solution GOR ratio of 1383. Do you see that number?

11 A. Yes, sir.

12 Q. If everything else in the model is the same and I
13 change that initial solution GOR you've got from 1130 to
14 1383, what happens to the end result of the run? Do you
15 know?

16 A. Well, I would imagine that the gas production
17 would increase slightly, but probably not without the
18 normal parameters of an excellent match.

19 Q. Okay. When we go to the next page, 13B, the
20 solution GOR for that well on PVT analysis was 1425?

21 A. Yes, sir.

22 Q. It's higher than the initial solution GOR you
23 used in the model? Give me a sense of what happens. If I
24 use a higher solution GOR than you did, what is going to be
25 the end result?

1 A. Well, again, it could very well be that there
2 would be an increase in the overall gas recovery. However,
3 that might also necessitate my going back and changing the
4 gas/oil relative permeability data.

5 Q. Because now you've changed a component, it's
6 going to affect the match, and you're going to have to
7 adjust another parameter to bring the match back -- the
8 simulation line back to the historical line you're trying
9 to match?

10 A. Yes, that's the whole purpose behind simulation.

11 MR. KELLAHIN: Thank you, Mr. Examiner.

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. Just one question, Mr. Vanorsdale. In your
15 opinion, can you extrapolate the results of the model to
16 the whole reservoir?

17 A. Typically, the purpose of simulation is to take a
18 small area of the reservoir or a field and then extrapolate
19 the results to the entire field.

20 I would say that the results obtained from this
21 simulation would be representative of what the entire field
22 would do. In other words, should the entire field be
23 enabled to go to the 8000-to-1 GOR, the ultimate recovery
24 for the field would not be adversely affected.

25 EXAMINER CATANACH: Thank you.

1 Mr. Bruce?

2 MR. BRUCE: I don't have anything further from
3 Mr. Vanorsdale.

4 Like I said, I'd like to recall for a very brief
5 period of time Mr. Stouffer.

6 EXAMINER CATANACH: Okay.

7 MARK STOUFFER,
8 the witness herein, having been previously duly sworn upon
9 his oath, was examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. BRUCE:

12 Q. Now, Mr. Stouffer, you've been listening to Mr.
13 Vanorsdale testify, and he on his final exhibit had a --
14 had oil recovery and gas recovery under a couple of
15 different scenarios. Have you seen that exhibit?

16 A. Yes, I have.

17 Q. Let me hand it to you, just in case. And then
18 refer to your Exhibit 23, and could you just briefly
19 explain why you prepared this exhibit?

20 A. Refer to my Exhibit 23?

21 Q. Or 32, excuse me.

22 A. 32?

23 Q. Dyslexia here.

24 A. Okay, Exhibit 32 is a reserves and economic
25 comparison for the five-well model area at the 2000 versus

1 the 8000-to-1 GOR allowables. Mr. Vanorsdale's simulation
2 model was used to predict the recovery factors and the
3 production volumes in each case.

4 As you can see, the oil recovery, gas recovery,
5 cumulative GOR and oil recovery factor on his Exhibit
6 Number 31 are identical to the numbers that I used in my
7 comparison on Exhibit 32.

8 Q. Now, the 8000-to-1 GOR shows a slightly lower,
9 one or two percent, less oil recovery at 8000 to 1 GOR,
10 does it not?

11 A. Yes, it does. That difference is very small.
12 It's a minor difference. If you apply that .2-percent
13 difference to the original oil in place in the model area,
14 the five-well model area, the difference amounts to
15 approximately 2000 barrels per well. Considering these
16 wells in the model area have ultimate recoveries of
17 approximately 120,000 barrels per well, the 2000 compared
18 to the 120,000 is a relatively minor loss.

19 Q. But nonetheless, Pogo, like most operators,
20 doesn't want to cause waste, does it?

21 A. No, we certainly do not.

22 Q. And what does this exhibit show?

23 A. This exhibit shows the -- was intended to show
24 the economic benefit from the 8000-to-1 GOR versus the
25 2000-to-1 case. As you can see, the bottom three rows, the

1 8000-to-1 case, results in a two-year shorter well life,
2 8.3 years, as opposed to 10.3 years. So you can get your
3 reserves faster.

4 There's also a \$230,000 savings in operating
5 costs, and there's also a \$340,000 improvement in net
6 present value.

7 This translates to a benefit for the working
8 interest and the royalty owners due to the decreased cash
9 flow and high revenues received up front in the 8000-to-1
10 case.

11 So by going to the 8000-to-1, we're maximizing
12 the value of the assets for both the working interest
13 owners and the royalty owners.

14 Also, the small amount of oil not recovered by
15 the 8000-to-1 case could be recovered at a later date under
16 secondary recovery.

17 Q. Now, you mentioned operating costs before.
18 They're kind of steep in this field, aren't they?

19 A. From what I've seen on lease operating statements
20 on our wells, they average anywhere from \$3500 to \$4000 per
21 well per month.

22 Q. Thank you. And -- Now, Mr. McDaniel also
23 mentioned a sliding-scale royalty. Is there any benefit to
24 producing these wells at a higher rate for the royalty
25 owners?

1 A. Yes, I believe there is. Several of the leases
2 have the sliding-scale royalty. By having the 8000-to-1
3 GOR increase, the operators will be able to produce at top
4 allowable for a longer period of time without having to
5 curtail production. Therefore, the increased production
6 rates will translate to higher royalties.

7 For example, at top allowable, the royalty is 20
8 percent compared to 12 1/2 percent at less than 50 barrels
9 a day.

10 Q. Now, one final question. Mr. Kellahin had
11 referred Mr. Vanorsdale back to your Exhibits 13A and 13B.
12 Do you have any comment on the initial GORs or solution --

13 A. Yes, I do. The -- Mr. Kellahin, I believe, asked
14 Mr. Vanorsdale what impact or what number -- where he got
15 the solution gas/oil ratio to use in his model. He said he
16 got it from the PVT data, which is correct.

17 If you'll look at Exhibit 13A, the number of 1130
18 that he used, if you look at the -- in the bottom box,
19 under "Separator Test Results", the total solution gas/oil
20 ratio of 1130 corresponds to what Mr. Vanorsdale used.

21 The other number in the box under "Differential
22 Vaporization Data" is a higher number. However, the more
23 accurate number to use in this case is the separator test
24 results, so he did use the correct number, based on the PVT
25 data.

1 MR. BRUCE: Thank you. Pass the witness, Mr.
2 Examiner.

3 EXAMINER CATANACH: Mr. Kellahin?

4 CROSS-EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Stouffer, you told me a recombined sample --
7 based upon a surface sample, the 1130 is more accurate than
8 a bottomhole?

9 A. No, I did not say that.

10 Q. Did I misunderstand you?

11 A. I did not say that. What I said was, the
12 separator test results are more accurate to use in this
13 case. They are a flash process, which is more
14 representative of what we have going on at the separator,
15 as opposed to differential vaporization data, which will be
16 higher, since it's taken down to residual oil saturation or
17 residual dead oil.

18 Q. The Kaiser-Francis PVT data, how was that taken?

19 A. I believe that was taken by a bottomhole sample.

20 Q. Yeah. Isn't a bottomhole sample going to be a
21 better sample than this recombined effort at the surface?

22 A. No, I don't believe so.

23 Q. Why not?

24 A. Recombination is used commonly, and it's
25 considered just as accurate in many cases as bottomhole

1 data.

2 Q. Okay. Exhibit 32, is this an economic analysis
3 made for the five wells, or does this represent what is the
4 economic comparison for each of the wells in the five-well
5 simulation?

6 A. These results shown here are for the composite
7 five wells.

8 Q. Okay. When I look at the difference in the two
9 columns, about 338,000, and that's for the five wells --

10 A. Yes, that's correct.

11 Q. -- 67,000 per well?

12 A. I don't have a calculator, but I'll trust your
13 math.

14 Q. Okay. If you look back up here and we look at
15 2000 to 1, ultimate oil recovery is higher than it is under
16 the 8000 scenario, right?

17 A. That's correct.

18 Q. Okay.

19 A. However, it is a relatively insignificant
20 reduction in oil recovery.

21 Q. I can't figure out the last line, "Net Present
22 Value". What were you using for your oil price?

23 A. I utilized a price forecast that I generated on
24 my own, starting initially at \$15 per barrel, escalating at
25 four percent per year. I used a gas price at \$2 per MCF,

1 also escalating at four percent per year.

2 Q. For the life of --

3 A. For the life --

4 Q. -- of the operation?

5 A. Yes, sir.

6 Q. Okay. The net, what did you take out to get a
7 net? Did you take out royalties?

8 A. Yes, I did.

9 Q. Okay, and you took out what? Taxes?

10 A. Yes, this net present value number is after tax.

11 Q. What was the tax rate you took?

12 A. I believe the corporate tax rate, using the
13 economics model, is 28 percent.

14 Q. Okay. The lease operating expenses, do you
15 remember what you started at?

16 A. Yes, they were \$3500 per month per well, also
17 escalated at four percent.

18 MR. KELLAHIN: Okay. All right, sir, thank you.

19 EXAMINER CATANACH: Anything further, Mr. Bruce?

20 MR. BRUCE: No, sir. And that finishes my case.

21 EXAMINER CATANACH: Okay, the witness may be
22 excused.

23 Let's take a short break here and let Mr.

24 Kellahin get prepared.

25 (Thereupon, a recess was taken at 2:28 p.m.)

1 (The following proceedings had at 2:38 p.m.)

2 EXAMINER CATANACH: Call the hearing back to
3 order at this time.

4 MR. KELLAHIN: Mr. Examiner, I have two witnesses
5 to present. Alan Benson is my first witness. He is a
6 petroleum geologist, Kaiser-Francis.

7 James Wakefield is my engineer, and he is the
8 second witness.

9 Call at this time Mr. Alan Benson.

10 ALAN BENSON,
11 the witness herein, after having been first duly sworn upon
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Mr. Benson, would you please state your name and
16 occupation?

17 A. Alan Benson. I'm a geological engineer.

18 Q. On prior occasions have you testified as a
19 geologic expert before this Division?

20 A. I have.

21 Q. Pursuant to your employment as a geologist with
22 your company, have you made a geologic study of the
23 reservoir that has been identified in this case?

24 A. Yes, I have.

25 MR. KELLAHIN: We tender Mr. Benson as an expert

1 petroleum geologist.

2 EXAMINER CATANACH: Mr. Benson is so qualified.

3 Q. (By Mr. Kellahin) Mr. Benson, let me ask you,
4 sir, to turn to what we've marked as Kaiser-Francis Exhibit
5 Number 1 and have you identify that display for us.

6 A. Yes, that's a net sand -- I'm sorry, which one is
7 -- Is that the isopach or the cross-section?

8 Q. Well, mine is an isopach, but I may have been out
9 of order. I've got what you have.

10 A. Okay, that's what I --

11 Q. All right, we're all looking at the same little
12 creature here.

13 A. Mine aren't marked.

14 Q. All right. If you'll help me mark it, that's
15 Exhibit 1, and that's your net sand isopach?

16 A. That's correct.

17 Q. All right, sir. Describe for us the interval
18 that you're mapping.

19 A. This is the Lower Brushy Can. sand of the
20 Delaware Mountain Group.

21 Q. Why would you have chosen to map that particular
22 member or interval of the pool?

23 A. This is the interval that's productive in this
24 field.

25 Q. How do you construct a map like this?

1 A. You use well logs and obtain the feet of pay from
2 the well logs and then post those wells to a map. And then
3 based on your interpretation of the depositional
4 environment, you contour that map.

5 Q. Okay, it's difficult to find all the section
6 numbers on your display, but the Kaiser-Francis acreage, if
7 you'll look three sections down, see Section 19? And then
8 if you go east into Sections 20 and 21, that's
9 approximately where the Kaiser-Francis acreage is located?

10 A. Well, we operate those two sections, Sections 20
11 and 21. We also own nonoperating working interest in other
12 sections.

13 Q. All right, sir. Do you have an opinion as a
14 geologist whether or not this area, which currently is
15 being managed by the Division as two different pools, is in
16 fact one common source of supply?

17 A. It is one common source of supply.

18 Q. Have you reached any geologic conclusions with
19 regards to the distribution and continuity of the Brushy
20 Canyon member of the reservoir?

21 A. It's very continuous.

22 Q. When we look at the values on the isopach, what
23 cutoff value did you use?

24 A. I used a density porosity of 14 percent.

25 Q. With that criteria, and with the data available

1 for mapping, you have generated this map?

2 A. Yes, I have.

3 Q. And what conclusions do you reach?

4 A. That it's a continuous reservoir, all the way up
5 and down the extent of this map.

6 Q. If Pogo drills a well in the Brushy Canyon member
7 of the pool in any of their portions of the reservoir, is
8 that going to be the same Brushy Canyon interval that
9 Kaiser-Francis is producing or intends to produce?

10 A. Yes, it is.

11 Q. Do you see any breaks or separations between what
12 are now two separate pools?

13 A. No.

14 Q. Do you see any reason not to treat those as one
15 common, single source of supply?

16 A. No, sir, I do not.

17 Q. Let's turn to Exhibit 2, and I apologize for not
18 marking these, Mr. Examiner. I wasn't sure quite what the
19 sequence would be, but the cross-section is Number 2.

20 A. Correct.

21 Q. All right, sir, turn to that and first of all
22 tell us the reason for selecting these particular wells on
23 your north-south cross-section.

24 A. This is a north-south cross-section that runs the
25 entire length of the field. It's marked with an orange

1 line on Exhibit 1. It's very similar to the cross-section
2 that's presented by Pogo.

3 The reason I chose these particular wells was
4 just that it made a nice line up and down the middle of the
5 field and the thickest part of the reservoir and showed off
6 the continuity of the reservoir, north and south, to a very
7 dramatic extent.

8 Q. Do you see any relationship to the pay thickness
9 for the Lower Brushy Canyon and the productivity of wells
10 that penetrate various portions of the pool?

11 A. I haven't examined any of the productivity of any
12 of the wells.

13 Q. All right. We can conclude and agree, then, with
14 the Pogo geologic presentation to the extent that in
15 principle you believe in one common source of supply, and
16 whatever rules are developed and adopted by the Division
17 ought to be applied throughout the pool?

18 A. Yes, I find the Pogo geologic presentation to be
19 very effective and that any rules adopted for one field
20 should be adopted for both.

21 MR. KELLAHIN: Okay, that concludes my
22 examination of Mr. Benson.

23 We move the introduction of his Exhibits 1 and 2.

24 EXAMINER CATANACH: Exhibits 1 and 2 will be
25 admitted as evidence.

1 MR. BRUCE: Very briefly, Mr. Examiner.

2 CROSS-EXAMINATION

3 BY MR. BRUCE:

4 Q. Mr. Benson, your Exhibit 1 is a map of the entire
5 -- what Pogo called the A interval, the Lower Brushy Canyon
6 zone?

7 A. I believe they called it BC-2 and BC-4.

8 Q. This is the BC-2 plus BC-4?

9 A. That's correct.

10 Q. Okay, I just wanted to clear that up.

11 And you're showing a continuous deposition on
12 this map. Does the continuous deposition mean continuous
13 permeability throughout that area?

14 A. In my opinion, yes.

15 MR. BRUCE: Nothing further.

16 EXAMINER CATANACH: I have no questions of the
17 witness. He may be excused.

18 MR. KELLAHIN: Call at this time Mr. Jim
19 Wakefield.

20 JIM WAKEFIELD,

21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. KELLAHIN:

25 Q. All right, sir, are you all ready? Would you

1 please state your name and occupation?

2 A. My name is Jim Wakefield. I'm a petroleum
3 engineer with Kaiser-Francis Oil Company.

4 Q. Mr. Wakefield, on prior occasions have you
5 qualified as an expert petroleum engineer before the
6 Division?

7 A. I have.

8 Q. And pursuant to your employment in that capacity,
9 have you made an engineering study of what we're describing
10 here as the Delaware Pools, the Los Medanos and the West
11 Sand Dunes Pool in Eddy County, New Mexico?

12 A. Yes, sir, I have.

13 Q. What is the position of your company with regards
14 to Pogo's Application in this case?

15 A. We recommend that it be denied.

16 Q. Describe for us what is your activity in the
17 pool.

18 A. We are an operator of Sections 20 and 21. I
19 believe Pogo, from an early exhibit that showed a pink
20 portion and a green portion, with the pink, I guess, being
21 Los Medanos and the green or blue portion being the West
22 Sand Dunes-Delaware fields, and the interval in between
23 there was white in Sections 20 and 21, and then a little
24 part of it was blue.

25 Q. Have you made a study of the request that Pogo

1 has made to the Examiner to increase the GOR in these two
2 pools?

3 A. I have.

4 Q. Have you shared and exchanged data with Pogo
5 concerning information in this reservoir?

6 A. I have.

7 Q. Based upon that study, do you have an opinion as
8 to whether or not it is timely to increase the GOR in this
9 reservoir above the current 2000 to 1?

10 A. I believe it is not a timely event to have occur.

11 Q. Why, in your opinion, Mr. Wakefield, is it
12 premature to increase the GOR to 8000 to 1?

13 A. We have a very large reservoir being developed.
14 I say "being developed" because it's approximately six or
15 maybe as much as seven miles long in a north-south
16 direction, as evidenced by the many maps that have been
17 entered into exhibits here today, and as much as two miles
18 wide. There could be potentially as many as 170 wells
19 drilled in this reservoir. Presently there's somewhere
20 around 80. It's kind of a moving number as people move
21 rigs in and drill. Maybe a little bit less, maybe a little
22 more than that, but somewhere close to that number.

23 There are plans to drill a number of wells
24 currently. Kaiser-Francis, for instance, is planning to
25 drill additional wells, Pogo is drilling additional wells.

1 Yates, I haven't heard their plans; I don't know what they
2 plan to do. I know that Santa Fe plans to drill additional
3 wells. Merit may be drilling some additional wells. So
4 it's an ongoing field development.

5 And what's interesting to look at, beyond just
6 the model studies and the numbers that are being quoted by
7 Pogo, is that this reservoir has had a huge amount of gas
8 in place.

9 The information obtained from PVT data indicates
10 that this reservoir is to the high end of being a black
11 oil. It's not a volatile oil; it's to the high end. It
12 shows an initial formation volume factor of about 1.75 in
13 the reservoir in terms of -- I mean -- Excuse me, I'm
14 getting confused here, ahead of myself.

15 Formation factor initial was 1.754 on the Kaiser-
16 Francis PVT data, which indicates a high-shrinkage oil. I
17 think they used a 1.5 in his model study.

18 The gas in solution in the reservoirs, in the
19 1425 range for our PVT data, indicates a huge amount of gas
20 in place. This is an energy factor in the reservoir, a
21 large energy factor, which will result in, we think,
22 significantly higher recoveries than Pogo is postulating at
23 11 percent. In fact, we think that out of the reservoir as
24 a total there may be as much as 20 million barrels of oil
25 and 130 BCF of gas produced. A significant reservoir, one

1 that, at this point in time, where we've only produced
2 maybe 1.7, 1.8 million barrels to date, it's too early in
3 the life of the reservoir to start tampering with
4 increasing gas/oil ratios, particularly with the variety of
5 gas/oil ratios present in the field today.

6 Q. Do you have an approximate volume for the
7 reservoir in terms of ultimate oil recovery from the entire
8 pool?

9 A. Somewhere around 20 million barrels, we think.

10 Q. And at this point in the life of the reservoir,
11 we've captured how many barrels of oil?

12 A. Approximately 1.7 million. And that's through, I
13 believe, about October 1st, maybe November 1st. I'd have
14 to go back and look.

15 Q. Have you examined the geology that Mr. Benson has
16 generated for this reservoir?

17 A. I have.

18 Q. And are you familiar with his information and
19 with the geologic data?

20 A. Yes, I am.

21 Q. What is your concern about allowing those older
22 wells in the pool to produce at a higher gas/oil ratio?

23 A. We have a -- The field has essentially been
24 developed in two different ways.

25 The southern edge of the field, if you take the

1 inner section or the dividing line between Sections 20 and
2 21 and 28 and 29, essentially that southern half has been
3 extensively developed and is -- outside of Section 29, is
4 on 40-acre spacing. As it extends to the south that's
5 still developing.

6 If you go to the north, due to a variety of
7 reasons, most of which is potash, and some just preference
8 by some of the operators in that area, it hasn't been
9 developed as rapidly. And as you saw from some of the
10 exhibits, the gas/oil ratios were quite different between
11 the north and the south.

12 And at this point in time with still additional
13 development being planned, particularly in sections 20 and
14 21 where we cannot drill or are prohibited from drilling
15 straight holes and have to drill either directionally or
16 perhaps even horizontally, I guess, to develop our lease
17 under the potash, it seems inappropriate to not only
18 continue the current gas production in excess of the state-
19 mandated allowables, but to ask for an increased gas
20 allowable which allows them to further reduce pressure and
21 create a pressure sink in the south end of the field that
22 potentially could drain through the numerous fractures.

23 All these wells have been fracture-treated.
24 There are high-permeability conduits that exist through the
25 core analysis -- you can see them -- could easily create a

1 conduit from the north to the south and drain gas from the
2 south end to the north end -- pardon me, from the north end
3 to the south end, due to the pressure sink, which would in
4 fact reduce recoveries, particularly for Section 20 and 21
5 where we're not able to develop and compete on a well-to-
6 well basis.

7 Q. In a solution gas drive reservoir, there is only
8 so much energy to drive the oil production that's within
9 the reservoir?

10 A. That's correct, the --

11 Q. When you look at a solution gas drive reservoir
12 as an engineer, what are the most important factors for you
13 that affect ultimate recovery?

14 A. The two factors that are most important are
15 pressure and oil/gas ratio.

16 Q. Why are those important?

17 A. Because they drive everything else. Everything
18 else in the equation for recovery is a function of PVT.
19 The only variables are pressure and gas/oil ratio.

20 And if you drain off pressure, i.e., by either
21 being late in the development, and the field has good perm.
22 and is in excellent communication, then you drain off
23 pressure. And if you're late in developing, you have lower
24 reserves.

25 If you permit gas to be drained off through high-

1 perm. sections or in other ways produced, then you again
2 have reduced recoveries in areas of the field.

3 Q. Give us a perspective, if you will, about the
4 engineering presentation that looked at *Craft and Hawkins*
5 or any of the other published treatises on the concept that
6 ultimate oil recovery from a solution gas drive reservoir
7 is not a function of rate.

8 Did I say that right?

9 A. Say it again.

10 Q. All right. Pogo commented a while ago on the
11 fact that they had concluded it was a solution gas drive
12 reservoir.

13 A. I agree with that.

14 Q. All right, and that it did not matter in terms of
15 ultimate recovery that we produced the oil at any
16 limitation. In other words, lower rates of oil recovery is
17 not going to increase ultimate oil?

18 A. Actually, what my opinion of that is, based on my
19 understanding of the reservoir mechanisms involved, is that
20 given the fact that Kaiser-Francis is in an area of the
21 field that is being prohibited from being developed,
22 essentially in a competitive manner, we are going to, by
23 increasing the gas/oil ratio, be subject to drainage of
24 pressure, pressure that is very precious to us in the
25 recovery of hydrocarbons in our lease.

1 It's an issue more, in my opinion, of equities
2 across -- and correlative rights across lease lines.

3 Q. I asked the Pogo engineer if he had any pressure
4 information between or among wells so we could examine with
5 him this drainage issue. He said he had not done that
6 work.

7 Have you done any kind of work like that to talk
8 about drainage?

9 A. I have done some of that. There's very few
10 pressures that actually give you an accurate determination
11 of the current reservoir pressure. There's maybe three or
12 four wells, maybe five in total, that actually gives a good
13 snapshot view of what's happening in the reservoir.

14 If we had better pressure data, then the question
15 that we have to answer here about harm to the reservoir and
16 ultimate recovery would be much easier. Because you don't
17 have that information, it makes it much more difficult.

18 Q. When you look at the field as a total, have you
19 examined whether or not the field as a total is up against
20 or exceeding the gas/oil ratio of 2000 to 1?

21 A. It's not. The south end, because of its more
22 rapid development, its high competition for reserves, I
23 believe are interfering with each other, first of all, to a
24 large extent. I think that that is creating a high gas
25 saturation in that area of the field. That is causing your

1 high gas/oil ratios.

2 If you look at the field as a whole, the field as
3 a whole does not need an increased gas/oil ratio. We are
4 well under the limit for the number of wells we have,
5 versus the amount of gas that can be produced on a field
6 basis.

7 What we have a problem with is that
8 inappropriately, at least in my opinion, and for state-
9 mandated gas allowables, we have a number of leases that
10 are producing in excess of the state gas/oil ratio.

11 Q. Does the current 2000-to-1 GOR for the wells in
12 the pool serve as a useful conservation means by which to
13 limit the gas and the energy withdrawal from the reservoir?

14 A. Yes, it does. Again, we have a significant
15 amount of gas in the reservoir. The equities with respect
16 to gas are equally important, in our opinion, as it is for
17 the oil.

18 Q. Do you have an opinion as to whether or not it is
19 a more efficient use of that drive mechanism in the
20 reservoir to restrict the high-GOR wells until the entire
21 field exceeds the GOR?

22 A. I don't know that I would go that far. I would
23 say it would be in the interests of conservation, in the
24 interest of equities to maintain the current GOR until the
25 field is developed.

1 Q. Let's look at your Exhibit Number 3; it's
2 captioned "PVT Data". Describe for us what you're showing
3 here.

4 A. I believe this data has already been entered into
5 testimony through Pogo. It's just a comparison on a line-
6 by-line basis of the information from the PVT analysis.

7 Q. Did you prepare a tabulation of bottomhole
8 pressures?

9 A. Yes, I did.

10 Q. I'm marking that as Exhibit Number 4. Would you
11 turn to that now, Mr. Wakefield?

12 A. Okay.

13 Q. Describe for us what you're showing here.

14 A. This is a list of all the known bottomhole
15 pressures available to me at this time. There may be some
16 taken by Yates, but they -- and my questioning of their
17 personnel didn't have any to give me. Enron operated the
18 wells that Merit now operates. They had no bottomhole
19 pressure data. Perhaps Yates has taken some recently I
20 don't know about, but this is -- I tried to make the
21 universe of known bottomhole pressures.

22 Q. To what purpose have you utilized this
23 information?

24 A. What I was trying to do was to find the initial
25 bottomhole pressure in conjunction with the PVT data to

1 determine at what point the reservoir went through bubble
2 point and what the current reservoir pressure in the field
3 is.

4 Q. What is your opinion on those issues?

5 A. My opinion is that the DST data on the Mobil Fed
6 29 Number 7 indicated a DST pressure of 3570, and I think
7 that's probably pretty close to the initial bottomhole
8 pressure of the reservoir. That was taken 9-92, and it
9 could be lower than the original, because at 3-92 the Mobil
10 Fed 29 began producing. I'm not sure what the effect would
11 be in total for that.

12 The Pure Gold 4 well -- I think it should be Pure
13 Gold "D" Number 4 -- on 10-16-92 had a DST of 3430.

14 And then on 3-26-93 the Pure Gold "A" Number 2
15 well had a bottomhole pressure that was built up adequately
16 to extrapolate to a P* of 3292, as testified earlier.

17 And the Pure Gold "A" Number 4 well, we ran a --
18 what's called a V-tool by Halliburton, which is essentially
19 a DST-type mechanism, which measured about 3328 pounds,
20 bottomhole pressure, which is fairly close in agreement to
21 the Pure Gold "A" Number 2 pressure.

22 And then more recently, there was three pressures
23 taken.

24 11-26-93, the Mobil Fed 29 was shut in for 335
25 hours and measured a final pressure of 1613. It had not

1 built up adequately to be extrapolatable to a P*.

2 The Pure Gold "A" Number 3 well, when it was
3 drilled on 11-30-93, had a bottomhole pressure of 2762.

4 And then the Pure Gold "B" Number 4 had a
5 bottomhole pressure measured most recently of 1447 pounds
6 after 117 hours. Again, it was still in the transition
7 period, and we could not translate that to a bottomhole
8 pressure.

9 The point being, the last three pressures, is
10 that there's a gross difference between wells that are
11 producing at or close to their capability versus wells that
12 are being drilled in offsetting 40-acre spacing units, and
13 that new well, being the "A" 3, has seen significant
14 pressure depletion, i.e., drainage.

15 The bubble point of 3220 and the PVT data that
16 Kaiser-Francis obtained in the Pure Gold "A" Number 2 well
17 will indicate that shortly after 3-26 or 5-18, somewhere,
18 probably the summer of 1993, the reservoir went through a
19 bubble point, at least in those areas of the field where
20 they're developed.

21 Q. What in your opinion is the solution gas/oil
22 ratio for the reservoir initially?

23 A. The -- Producing through the flash process, as
24 was testified, was probably 1240, 1130 to 1240, depending
25 on which of the PVT data you look at. However, for

1 purposes of estimating the gas in place you would use the
2 flash liberation, which is the 1425 or -- I think it's the
3 1280 number from the PVT data.

4 Q. Put the pressure information in perspective for
5 us. What concerns are you expressing with regards to the
6 pressure information that you now have?

7 A. This pressure data indicates to me, at least the
8 last three points in particular, that the areas in Sections
9 20 and 21 that we haven't been able to drill yet are being
10 drained, that there's a pressure sink existing to the south
11 which is significant, and -- in terms of a 1000-p.s.i.
12 differential pressure.

13 That pressure sink, in our opinion, due to the
14 way we view the core analysis and the way we view the way
15 the well's been fracture-treated, provide a conduit that
16 can permit gas to migrate from the north to the south with
17 this kind of pressure differential.

18 Q. Let's turn to your Exhibit Number 5. It's the
19 illustration that's got the color code on it.

20 A. Uh-huh.

21 Q. Identify that for us.

22 A. This is very similar to the -- There was two,
23 actually two exhibits proposed by -- or presented by Pogo,
24 one showing the initial GORs on an isopach map -- or I
25 guess it was a structure map, actually -- and one with

1 current GORs on the same structure map.

2 The intent of their exhibit was to show that it
3 doesn't really matter where you're at in the reservoir; GOR
4 is a function of something else besides the wells after the
5 test and with respect to its structural position.

6 And I think it was alluded to that in their
7 opinion it was a function of the amount of production
8 recovered to date, and -- at each individual well, not
9 necessarily its relationship to when the well was drilled
10 or anything, just total number of barrels produced.

11 In other words, you've got a well that was
12 drilled today and made 25,000 barrels a month, and it had
13 the same GOR as one that produced for five months and had
14 that.

15 Q. Is there a relationship that you see where the
16 older wells in fact have higher GORs?

17 A. I haven't studied it from that viewpoint to that
18 extent, to make that determination.

19 What I have seen, though, is that, essentially,
20 as I said before, the field is a north-south development
21 situation. To the north in Sections 20 and 21, up in 2, 8,
22 9, 17 and 16, those wells developing later have a
23 significantly lower GOR. The wells to the south have a
24 significantly higher GOR. That GOR difference is a result
25 of reservoir pressure.

1 Depletion at those wells -- Some of those wells
2 are thin. You can play games with the thinness of the
3 well. You could play games with the number of feet of pay
4 in one zone versus another, things like that, or
5 permeability difference, if you knew the permeability. In
6 fact, we don't, because we only have two cores that
7 actually tell us what the permeability is, and they're
8 all -- they are offset wells. So we don't have a spread of
9 data to give us a confidence level to really predict what
10 permeabilities are.

11 But the indication is that you have a much -- In
12 the pressure and the GOR performance, you have an
13 indication that the southern half is experiencing very high
14 GORs at pressure depletion, and the north doesn't have that
15 same pressure depletion. Therefore, it's at a higher GOR
16 -- pardon me, a lower GOR.

17 Q. If the PVT data tells you that the solution GOR
18 is in the 1400-to-1 range, and if the rules currently allow
19 you to produce at 2000 to 1, there's a 600-MCF
20 differential. That's simply going to be free gas, isn't
21 it?

22 A. I'm not sure I can answer the question the way
23 you asked it.

24 Q. All right, I'll --

25 A. The solution gas/oil ratio has to do with the

1 amount of gas in the reservoir and the initial producing
2 gas/oil ratio.

3 When you look at this field, and particularly
4 early time at this field, you don't see the 1400 or 1100
5 gas/oil ratio because a lot of the gas is flared, if you
6 look at the production data in the available production
7 books.

8 Now, some of the operators have kept records, I'm
9 sure, what the gas flared has been during those early times
10 and have reconstructed, as Pogo did recently. I received a
11 packet of information that changed all of their gas rates
12 back to the time they began producing, which I assume they
13 went back and tried to add in all the gas that flared.

14 And when you do that, you should see initial
15 gas/oil ratios in the terms of the 1000 or 1100 standard
16 cubic feet per barrel, predicted by PVT. I haven't had
17 time to examine the documents today that have been
18 presented, to look at that, but I'm sure that they're
19 probably going to show something like that.

20 You would not expect wells drilled in this
21 reservoir to have GORs initially in excess of about 1200 or
22 1300. If they do, then they probably mis-measured the gas,
23 I would think. They didn't share it properly between
24 wells, et cetera.

25 At later times when wells are drilled,

1 particularly in areas of development such as 32 and the
2 south half of 29 and the east half of 28, the newer wells
3 should come in -- if they're being drained, they should
4 come in at higher gas/oil ratios, and I think that they
5 did. We're seeing that, I think, in the newer wells. But
6 I haven't made it a direct examination to point those out.

7 The key point again, as far as what I'm trying to
8 show here with this exhibit, is just that there's a
9 difference in development of the field, which is the main
10 cause of the gas/oil ratio difference and the pressure-
11 depletion difference, and -- and that's it.

12 Q. Okay. Let's turn now to Exhibit 6. It's
13 captioned "Gas/Oil Ratio Comparison".

14 A. All right.

15 Q. What have you prepared here, Mr. Wakefield?

16 A. This essentially is the data that went into the
17 prior exhibit. And what I did was, just in case there was
18 a question someone had about low rates versus high rates,
19 we could attempt to address that. I don't really think
20 it's important to go into all that at this time. It's just
21 simply the data that goes into there.

22 Q. All right, sir.

23 A. And it shows -- More important, it shows that the
24 data for the north end, which was test data from Santa Fe
25 primarily, and then from Kaiser-Francis, is newer data,

1 therefore at a later point in time in the reservoir than
2 the data from the south end, which is actual production
3 data supplied from operators on the C-115s.

4 The point being, is that if you have November
5 data that's showing a lower GOR in the north, the GORs will
6 actually be higher for the same point in time for the wells
7 to the south. If you were to move them one month further,
8 you would expect their GORs to go up.

9 So that the exhibit -- the prior exhibit, Exhibit
10 Number 5, would then show even higher GORs in the south
11 end, if you were to hit the same point in time.

12 Q. Have you examined the reported information to
13 attempt to identify what leases or what wells were going to
14 be the direct beneficiaries of any GOR increase if the
15 Division should increase the GOR?

16 A. I have.

17 Q. Let's turn to Exhibit 7. It's a spreadsheet.
18 First column it says "Operator", and then the second one it
19 says "Lease Name".

20 A. Yes.

21 Q. All right, what are you preparing here?

22 A. This is a tabulation of the number of wells on
23 those leases in these two fields during the month of
24 September, 1993, and the reported oil and gas production.

25 The next -- That takes care of the first three

1 columns. The next column is gas/oil ratio and MCF per
2 barrel versus -- In other words, standard cubic feet per
3 barrel would be -- instead of 1.29, it would be 1290. It
4 depends on how you're going to look at that.

5 The next column, then, should be the 2000-to-1
6 GOR gas allowable in MCF a month.

7 And then finally the last column would be a
8 comparison of the allowable versus the amount of gas
9 produced in that month. And the obvious thing, it draws
10 your eyes that there's two leases that are produced in
11 excess of their allowable during the month of September --
12 or at least reported on C-115s.

13 Q. Show me how to read it. For example, the first
14 line, it says "Yates", they've got eight wells --

15 A. Yates operates the Medano VA State well, state
16 lease. They have eight wells that month reported.

17 Q. They would have been eight --

18 A. Oil production was 17,101 barrels, gas production
19 21,096, gas/oil ratio of 1.29 MCF per barrel. Their gas
20 allowable was 89,760 MCF. They actually had room to
21 produce another 67,764 MCF for the month.

22 Q. That's what I want to draw your attention to.
23 What's the 67,000 number in relation to the allowable?

24 A. That's the difference between the allowable and
25 the actual production.

1 Q. All right. They under-used their allowable for
2 gas, if you will, by 67,000?

3 A. Yes, that's right.

4 Q. They got that much left to --

5 A. To produce as a lease.

6 Q. All right. And you read down, and then we get to
7 a couple of the lines where the number is in parentheses?

8 A. Right. For instance, the Merit Sundance Federal
9 was the largest overproducer. It produced 150,907 MCF for
10 the month, 5 million a day. And essentially that's 2
11 million a day over its gas allowable or 72,367 MCF for the
12 month.

13 The only other lease was the Pogo Pure Gold "D"
14 Federal, which has ten wells on it and produced over its
15 allowable some 10,163 MCF.

16 Q. Two operators in the reservoir over-producing
17 their allowable?

18 A. Yes.

19 Q. Okay, let's turn now to the spreadsheet. The
20 caption says "Kaiser-Francis Oil Company Operated".

21 A. Okay.

22 Q. What is this?

23 A. This is a snapshot view of two things. First,
24 the top part, Kaiser-Francis's operating properties, Pure
25 Gold "A" and "B" lease. We have three wells on the "A"

1 lease, four on the "B" lease.

2 It is an attempt to show the individual test data
3 that we have on those wells for the most current month.
4 And then we show they're below it, the December lease
5 average production, it's off the gauge sheets, it's not
6 reported on C-115s yet.

7 And as you go across the line it will show that,
8 you know, we had -- for the Pure Gold "A" lease, the Number
9 2, 3 and 4 wells, the gas/oil ratio varied from 1.8 to 2.7
10 MCF per barrel, and that the Pure Gold "B" lease, the 3, 4,
11 5 and 6, varied from 1.16 to 2.6.

12 The absolute gas/oil ratio from the produced oil
13 and gas for the December average would be 2.433 MCF per
14 barrel for the Pure Gold "A" lease and 2.223 for the Pure
15 Gold "B" lease.

16 The Number 3 well wasn't on much that month, and
17 it's a new well. But these are -- and there's no -- This
18 isn't an attempt to allocate the production for a well
19 during those months; it's just a statement of what the
20 individual tests said, and we don't -- I don't have the
21 data on here that shows the number of wells produced or
22 what you would allocate to an individual well.

23 Then as you come across the column it says
24 "Monthly Oil Allowable" for the oil and the gas.

25 Then it says "Additional Gas to Produce (MCF per

1 day)". For the Pure Gold "A" lease we could have produced
2 436 MCF more per day, and for the Pure Gold "B" lease we
3 could have produced 431 MCF more per day, which translates
4 to about 13 million more per month on those two leases.

5 The bottom half of this exhibit, it says "Pogo
6 Operated". Again, this is October production from Pogo's
7 most recent amended C-115s. And what this shows is three
8 leases.

9 The Pure Gold "D" lease, which is located in
10 Section 28 immediately south of the Pure Gold "A" lease,
11 have nine wells currently producing on that lease.

12 And these production numbers are exactly the
13 numbers that they report on their C-115A, which shows if --
14 assuming that they have allocated this properly based on
15 well tests, would give you a snapshot view of October for
16 the Pure Gold "D" lease, which shows a variation in
17 allowable from roughly 3 MCF per barrel up to 5.2.

18 Q. Again, the numbers in parentheses represent
19 overproduction?

20 A. And as you come to the right, past the
21 allowables, you come to "Gas Allowable, over/under (MCF per
22 month)", and then the next column, "over/under (MCF per
23 day)".

24 And you can see that on the lease, if you take
25 the absolute allowable for each well, that of the nine

1 wells, all but three were over their allowable, for a total
2 of 32,492 MCF for the month. On a daily basis, that's a
3 million cubic feet per day.

4 Q. Okay. And --

5 A. And then you go to the Mobil Federal lease where
6 they have four wells currently producing, similar analysis,
7 similar situations here.

8 One of those wells does not produce over its
9 mandated allowable, the other three do. They produced a
10 total of 26,984 MCF for the month above their allowable, or
11 899 MCF per day.

12 And then finally the Federal 29 lease has 353 MCF
13 a day left to be produced to get to their allowable.

14 If you --

15 Q. That's not a running total; this is just the
16 month of October?

17 A. Yeah, just for the month of October.

18 If you were to go back and then compare Exhibit 7
19 and 8 and look at the snapshot views of September and
20 October for the Pure Gold "D" lease, the rate of production
21 of gas increased significantly between September and
22 October.

23 Which is the point of their hearing here, is that
24 they want an allowable to allow them to continue to produce
25 at rates above the 2000-to-1 limit for the lease. And

1 they're not really asking for -- When they talk about the
2 2000-to-1 or a 4000-to-1 or 8000-to-1 GOR limit, they're
3 not talking about it versus the actual production of the
4 well; they're talking about it as an allowable. And
5 there's a big difference in that.

6 I agree that the reservoir should be expected to
7 see significantly higher GORs with time. It's a solution
8 gas drive reservoir.

9 The difference is that I don't believe the field
10 needs an increase in gas/oil ratio allowable because the
11 field is producing well below the mandated state
12 allowables.

13 Q. Have you made a study to determine whether there
14 is any other analogies between what you expect to see in
15 this reservoir and what has occurred over the life of other
16 Delaware pools?

17 A. Yes, I have.

18 Q. Let me direct your attention to Exhibit Number 9.
19 It's a plot of production.

20 A. This is a --

21 Q. At the very top, Jim, it says "Summary Loving-
22 Delaware Summary".

23 A. Right. I believe this is the East Loving-
24 Delaware field.

25 Q. Okay.

1 A. There's about 114 wells in this summary. I've
2 highlighted in red the gas production, history of the
3 lease, and the purple dots are the gas/oil ratio. And then
4 the black line in between that is the oil production.

5 And if you'll notice, that the gas increases very
6 rapidly, and as the oil hits a peak in the first half of
7 1991, the gas also hits a peak. The peak for the oil is
8 about 160,000 -- 150,000, 160,000 barrels per month. And
9 the peak for the gas is between 450,000 and 500,000 MCF per
10 month.

11 And the gas continues on a very flat type of
12 profile. The last two months I haven't been able to
13 determine what they've done there. I don't believe they've
14 drilled any new wells. If they have, I haven't been able
15 to find them, because I'm not sure what the last two months
16 are.

17 But with 114 wells, the field gas allowable here
18 is about 900- -- I believe 920,000 MCF per month on a two-
19 to-one [sic] GOR allowable. So their well -- Here they
20 are, three years into the field, four years into the field,
21 based on the predictive data that was presented earlier by
22 Slider and the performance they expected, and it's matching
23 quite well.

24 The gas/oil ratio is increasing, and -- beginning
25 to taper off and level, the rate of increase is decreasing.

1 The oil production is declining about 30 percent for the
2 field, and the gas has been very flat.

3 Again, the field performance doesn't require a
4 gas/oil ratio increase.

5 Q. Let's turn and see what's happening in our
6 reservoir. If you'll look at Exhibit 10, what have you
7 plotted, and what do you conclude from this plot?

8 A. Exhibit 10 shows -- again, the red being the gas,
9 the oil being the black, and the gas/oil ratio being the
10 purple. We're very early in the life of the field. We are
11 at probably the peak production. I say "probably" because
12 we have a lot of wells left to drill and there may be a
13 double peak here, in which case, you know, potentially
14 we'll go even above the peak month of two-hundred-and-
15 about-twenty-five-thousand barrels per month.

16 The gas allowable from Exhibit 7 says that the
17 gas allowable will be 762,000 MMCF per month. Well, that
18 point, the last production point here on the gas, is only
19 560 million. So we have a difference of 560- -- 200
20 million -- That's about 7 million cubic feet of gas per day
21 that's left for the field to produce, and we don't need an
22 increased gas/oil ratio. Increased gas/oil ratio here
23 would only be for a few leases which would benefit by
24 recovering additional gas from other leases that aren't
25 developed.

1 Q. Let me have you turn to your last exhibit,
2 Exhibit 11. Identify this for the --

3 A. Exhibit 11 is just a compilation of the
4 production points on Exhibit Number 10. It's just
5 presented so the numbers will be plain to people.

6 Q. In conclusion, then, Mr. Wakefield, what is your
7 recommendation to the Examiner?

8 A. Our recommendation to the Examiner is that the
9 Application be denied. At the very best, it should be
10 delayed for at least six months to a year and then
11 reconsidered with hopefully better production -- additional
12 production data and some additional pressure data.

13 It's our opinion that if we're right, there's no
14 decrease in ultimate recovery from the field. If they're
15 wrong, there is.

16 MR. KELLAHIN: That concludes my examination of
17 Mr. Wakefield.

18 We move the introduction of his Exhibits 3
19 through 11.

20 EXAMINER CATANACH: Exhibits 3 through 11 will be
21 admitted as evidence.

22 CROSS-EXAMINATION

23 BY MR. BRUCE:

24 Q. Mr. Wakefield, if you could turn to your Exhibit
25 5, the plat --

1 A. Okay.

2 Q. -- I believe you said that you own interest and
3 operate sections 20 and 21; is that correct?

4 A. Yes, sir.

5 Q. Do you own any interest in Section 17?

6 A. Yes, we do.

7 Q. South half of Section 17?

8 A. And the north half.

9 Q. And the north half. Do you own any interest in
10 Section 28?

11 A. Yes, sir, we do.

12 Q. Okay. Now, what about your interests, especially
13 in 20 and 21? When did you acquire those? When did
14 Kaiser-Francis acquire those?

15 A. In the early Eighties.

16 Q. So you've had them about a decade?

17 A. Roughly.

18 Q. And why didn't you start developing them sooner?

19 A. Developing what?

20 Q. Your leases.

21 A. Our leases -- For Delaware, I assume you mean?

22 Q. Yes.

23 A. We hadn't pursued Delaware because we were not
24 offset by anyone and had not cataloged it as anything but
25 possible pay behind pipe.

1 Q. Now, you're looking at Section 20, you're talking
2 about having your acreage drained, but if you look at
3 Section 20, there's really very little in Section 29 to the
4 south of you, immediately to the south of you, is there?

5 A. That's correct.

6 Q. And unfortunately, Pogo has had the same problem
7 as Kaiser-Francis on these potash issues, haven't they?

8 A. They have.

9 Q. You have in Section 20, in the southeast quarter,
10 four wells. Kaiser operates those wells, don't they?

11 A. Yes, sir.

12 Q. Who proposed those wells?

13 A. Enron.

14 Q. So you had to wait until a non-operator proposed
15 them before you drilled them?

16 A. Actually, we were ready to propose them and went
17 to drill other locations than what they proposed. They
18 submitted them before we could get them proposed.

19 Q. What about in Section 21?

20 A. Same thing.

21 Q. So basically, as I understand your position, you
22 don't dispute that this is a solution gas drive reservoir;
23 you're just saying we want time to develop our lease before
24 we seek an increased GOR?

25 A. That's correct.

1 Q. And so the people who drilled out here first and
2 took all the risks should be punished?

3 A. No, that's not what I said.

4 Q. Isn't that restricting their ability to produce?

5 A. No.

6 Q. Now, the solution gas is an energy factor, right?

7 A. Yes.

8 Q. Won't it be used as efficiently at 8000-to-1 GOR
9 as it is at 2000-to-1?

10 A. On an individual well basis.

11 Q. Do you expect most of these leases on your
12 Exhibit 5, over time, to exhibit increased GOR?

13 A. Yes.

14 Q. Now, you talked about a pressure sink. Do you
15 have any evidence of that?

16 A. Yes.

17 Q. What is the evidence?

18 A. We presented it earlier, on Exhibit Number 4 as
19 well as Exhibit Number 5.

20 Q. The decreased pressure on Kaiser's operated
21 leases, is that what you're talking about?

22 A. On Mobil Federal 29 and the Pure Gold "B" Number
23 4, both taken in -- one in November, one in January, versus
24 the Pure Gold "A" 3, which was taken in November.

25 Q. And if you had developed your leases quicker, you

1 wouldn't have that problem?

2 A. Of drainage? I assume you're saying that --

3 Q. You wouldn't have this --

4 A. What problem are you --

5 Q. Pressure, you're talking about a pressure sink.

6 A. Yes.

7 Q. One final issue. The closing argument was that
8 if Pogo is wrong, there will be a decrease in the recovery
9 factor; is that correct?

10 A. That's correct.

11 Q. What is that based on?

12 A. Just based on a simple statement that if indeed
13 they are able to siphon gas from the north end to the south
14 end, i.e., through pressure conduit, the pressure sink,
15 high-permeability streaks and the fact that all the wells
16 are fracture-treated, that we have a continuous reservoir,
17 that we would see reduced recoveries in Sections 20 and 21,
18 which would result in reduced recoveries for the field.

19 Q. But not poolwide?

20 A. Yeah, it would for fieldwide. If we have reduced
21 oil recoveries, it's reduced oil recoveries for the field.
22 You're not going to move the oil if you lose the gas, if
23 you're losing pressure.

24 Q. And you're saying there's high-permeability
25 streaks which preferentially produce this gas?

1 A. I'm saying that you have all the wells fracture-
2 treated, which puts all the zone in communication, and we
3 know from core analysis that we do have high-permeability
4 streaks, 10, 12 millidarcies versus an average of less than
5 2, that, once communicated, with a pressure sink of 1000
6 p.s.i., can easily transport gas from one end of the field
7 to the other.

8 Q. You don't agree that this is a low-permeability
9 reservoir?

10 A. I didn't say that. I agreed with your analysis
11 that the -- the average permeability is low, but there are
12 significantly higher perms available.

13 Q. Looking at your Exhibit 8, do you have any wells
14 that are now producing over the top gas allowable, on an
15 individual-well basis, not a lease basis?

16 A. In excess of 374 MCF per day, or in view of the
17 2000-to-1 GOR?

18 Q. What's that? I'm sorry, I wasn't --

19 A. The gas allowables, 374 MCF per day? Is that
20 what you're asking?

21 Q. Correct.

22 A. We have no wells producing more than 374 MCF per
23 day. On Exhibit 8 we have test information on one-day
24 tests.

25 Q. Okay.

1 A. I don't have information if the well produced the
2 next day or not, if it was built up or whatever. That's
3 just tests that were given to me by the field personnel.

4 Q. These permeability streaks you talked about, are
5 they continuous, all the wells?

6 A. I think they probably are. If you examine the
7 cross-sections that were presented by Pogo and by Mr.
8 Benson for Kaiser Francis, you'll see a very high
9 correlativeness between individual intervals throughout the
10 field.

11 MR. BRUCE: I don't have any further questions of
12 the witness, Mr. Examiner.

13 EXAMINER CATANACH: Just a couple.

14 EXAMINATION

15 BY EXAMINER CATANACH:

16 Q. What kind of time line do you see in developing
17 Sections 20 and 21 at this point?

18 A. We just recently received permission to drill ten
19 wells out of the 22 we'd like to drill in time, in Sections
20 20 and 21. Since we're dealing with a fairly new
21 technology, Pogo and I -- Pogo and us have both agreed that
22 we should drill at least one, see how it performs before we
23 jump off and drill all of them.

24 We're going to have another hearing in a very
25 short time to obtain permits for the remaining wells to be

1 drilled in those two sections, and would then be able to
2 kick off a program to hopefully complete all those wells
3 that need to be drilled by year end, 1994.

4 Q. So you believe that all those wells -- or
5 Sections 20 and 21 may be fully developed within the end of
6 the year?

7 A. I think so.

8 Q. Once those wells are developed, is it your
9 opinion that maybe then would be an appropriate time to
10 bump the GOR up?

11 A. I think it would be an appropriate time to come
12 back to this Commission and examine that, and if we can get
13 concurrence to do that, yes.

14 Q. How long would you -- In your opinion, how long
15 would you estimate that -- before the entire field is fully
16 developed?

17 A. I think by the end of this year, nearly everyone
18 will have drilled the meaningful wells. There will still
19 be wells drilled on the edges and to the far extents that
20 attempt to either extend the reservoir or make it wider
21 than it is.

22 But we're limited in doing some of that to the
23 east by potash -- pardon me, to the west by potash -- and
24 to the east. So I think that probably by year-end we'll
25 have most of the wells drilled. Santa Fe indicates they

1 have a large budget and are going to drill as many wells as
2 they can this year. We intend to drill, Pogo has agreed to
3 drill with us in Sections 20 and 21 to date. Merit is
4 drilling where they have opportunities.

5 I would anticipate development will be pretty
6 much complete by year end.

7 Q. Is it your testimony that you think that once you
8 get your wells drilled in Sections 20 and 21, at least
9 you'll be protected -- you'll be more protected than you
10 are now?

11 A. I think that we would be competitive.

12 EXAMINER CATANACH: Okay, I don't have anything
13 else.

14 Anything else? Mr. Bruce? Mr. Kellahin?

15 MR. KELLAHIN: Nothing, sir.

16 MR. BRUCE: I would like to ask, if I could, Mr.
17 Hoose one question.

18 EXAMINER CATANACH: Okay.

19 GARY HOOSE,
20 the witness herein, having been previously duly sworn upon
21 his oath, was examined and testified as follows:

22 EXAMINATION

23 BY MR BRUCE:

24 Q. Mr. Hoose, were you here listening to Mr.
25 Wakefield testify?

1 A. Yes, I was.

2 Q. And did you hear him testify about these
3 permeability streaks he talked about?

4 A. Yes, I did.

5 Q. In your opinion, are these permeability streaks
6 -- What is your comment on them?

7 A. He mentioned that he thought they were continuous
8 from well to well, and I wondered at the time what he based
9 that on.

10 The cores that we have seen do not support that.
11 I understand why he would believe that there perhaps some
12 permeability streaks. I have some core-analysis reports
13 here. I do not have extra copies. Kaiser has these
14 reports in their possession as well as core photos and
15 other associated data.

16 I'll be discussing very briefly two intervals,
17 and you can follow along on any of the cross-sections that
18 you have.

19 The two wells that were referred to that had the
20 cores were the Kaiser-Francis Pure Gold "A" Number 2, and
21 the interval that I would refer to would be from
22 approximately 7760 down to approximately 7800 feet, and
23 that would be what was earlier referred to as the BC-4
24 section, which is again what we believe to be the major
25 contributing reservoir.

1 The similar section in the other well, which is
2 the Pogo Mobil Fed Number 4 -- and these are, I believe,
3 diagonal offsets to each other; they're very close in
4 position -- the section in question there would be from
5 approximately 7726 down to perhaps 7754.

6 In each well there are porosities -- these are
7 cross-plot porosities, and this is rough, but 17 to 18
8 percent, perhaps, maximum.

9 In the Kaiser-Francis well, in that interval,
10 there are indeed some reasonable porosity streaks in there.
11 And mind you, we're not talking about tremendous porosities
12 -- or permeabilities, excuse me. We're not talking about
13 tremendous perms.

14 By way of example, many of the permeabilities we
15 see in the core data, be it sidewall cores or in plugs
16 taken from the full diameter core, are less than a
17 millidarcy of permeability.

18 In this particular well, being the Kaiser Pure
19 Gold "A" Number 2, they had in that interval some very
20 reasonable perms by comparison. The highest one was 15.6
21 millidarcies horizontal perm. That was far and away the
22 highest one. I might even question that one particular
23 data point. Sometimes in the way these things are tested
24 or if they've been fractured or something in handling, you
25 might get a little bit higher, but perhaps that is a

1 correct point also.

2 There are several permeabilities of -- in the --
3 at least two in the seven-to-eight-millidarcy range,
4 another handful of them in the two-to-five. We're not
5 talking about very high permeabilities, even in the high-
6 perm streak.

7 In the corresponding section, in the Pogo well,
8 by contrast, and this is -- Mind you, both of these wells
9 are in the thick trend of the reservoir and they're very
10 near to each other. The corresponding sections are in
11 general less than a millidarcy. In fact, an average looks
12 to be about .5 to .6 millidarcies.

13 I would say that I see two of them here -- and
14 these samples are taken every foot in these cores. I see
15 two of them slightly over one millidarcy, 1.12, and 1.24.
16 And towards the bottom and actually below the interval that
17 I had mentioned earlier, down at 7768.4 and 7769.6, there's
18 a -- presumably corresponding to a little bit better
19 porosity -- a 2.8 and a 2.05.

20 The point being that even in wells that are very
21 close to each other where we have the best data, which are
22 both in the thick portion of the reservoir, we do not see
23 it as a continuation of permeability streaks. And I expect
24 that, yes, there may be perm streaks in the field, but from
25 what we know, they would be discontinuous.

1 MR. BRUCE: Thank you.

2 EXAMINER CATANACH: Any cross, Mr. Kellahin?

3 MR. KELLAHIN: No, sir.

4 EXAMINER CATANACH: The witness may be excused.
5 Gentlemen, would you like to give brief closing
6 statements?

7 MR. KELLAHIN: Oh, sure, why not?

8 (Off the record)

9 MR. KELLAHIN: Mr. Examiner, I'd like your
10 permission to prepare for and submit to you a draft order
11 in this case. But in addition to that, I'd like to share
12 some of my comments and concerns with you.

13 We have a reasonably new Delaware Pool. The
14 conservation rules of the State have established a limiting
15 GOR for that pool. Those were the rules, and those were
16 the procedures that all operators are required to abide by.

17 Pogo has violated the gas withdrawals. The
18 spreadsheet shows significant overproduction. And rather
19 than get into compliance and figure out how to make up this
20 overproduction, they race in here and ask you to give them
21 a special favor. They want to increase the GOR and thereby
22 excuse themselves from taking more than their share of the
23 gas-drive energy out of this reservoir.

24 We have done dozens and dozens and dozens of
25 cases like this, Mr. Examiner, and almost always the

1 applicant is in Pogo's position. They come before you
2 because they have a high-capacity oil well, and they don't
3 want to live with the depth bracket allowable, and they
4 want to take their share and their neighbor's share. Or
5 they come in here and the GOR is restricting their
6 production, and instead of complying and letting the more
7 efficient wells produce and recover their share of the oil
8 in the reservoir, Pogo and others ask for special
9 treatment.

10 That's not how we practice conservation law in
11 this state. This Division has consistently denied
12 increases in gas/oil ratio unless there is unanimous
13 consent of all operators in the pool to make an increase.
14 You can search all the Delaware GOR cases. The only time
15 you'll see an increase is when everybody unanimously asks
16 for that increase.

17 You see the GOR increase later in the life of the
18 reservoir, where everyone has exercised their correlative
19 rights and gotten their wells into production, and as you
20 see over time, the GOR increases for the pool.

21 But that's not the case here. The pool GOR is
22 well below the pool allowable. It is premature to change
23 the GOR for benefit of Pogo.

24 They have failed to prove their case, Mr.
25 Examiner. You and I and others have -- sit in here and

1 listen to simulation by till we go nuts.

2 The simulator wants to rely on what the Division
3 did in the Bird Creek case. Well, that's Order Number
4 R-9501-A. Well, it was a computer war. Bird Creek asked
5 to increase the East Loving-Delaware pool to 5000 to 1.
6 The Commission said no. The Division said no. They didn't
7 get it. I don't know what comfort they take out of citing
8 that to you as an example, but that case represents a
9 finding by this Commission that the drive mechanism in that
10 Delaware pool was solution gas with no indication of
11 extensive gas cap, water influx, formation compaction or
12 connate water expansion. They said, I'm sorry, I don't
13 care if it's solution gas drive or not. You don't get the
14 increase.

15 What Pogo didn't prove to you today, because they
16 couldn't, they couldn't satisfy the fundamental obligation
17 to show that they're not impairing correlative rights.
18 They cannot tell you and they cannot show you that the
19 high-GOR wells are not affecting the offsetting wells. Mr.
20 Wakefield's proof is to the contrary. They have no
21 defense, no rebuttal. It's a slam-dunk, we win on that
22 issue.

23 The waste issue is suspect too. After all the
24 fancy simulation, the end result is that in ten years
25 you're going to get more oil out of the reservoir at 2000

1 to 1 than if you pump it up.

2 This is a case, Mr. Examiner, that's being begged
3 to be denied, and we ask that you do so. To grant it is to
4 give Pogo a special favor to the expense and to the
5 violation of the correlative rights of Kaiser-Francis.

6 EXAMINER CATANACH: Thank you, Mr. Kellahin.

7 Mr. Bruce?

8 MR. BRUCE: I don't understand Mr. Kellahin's
9 comments about the East Loving-Delaware. Oryx came in
10 here in that case, I believe, represented by Mr. Kellahin,
11 and it was asserted that there was a secondary gas cap.
12 That was the reason that was initially denied, the GOR was
13 initially denied in that case. Pogo did come in later and
14 prove that it was a solution gas drive reservoir and the
15 8000-to-1 GOR was granted.

16 I'm not quite sure what Mr. Kellahin is
17 advocating here. I think he's saying that any time a case
18 is opposed, it should be denied. I think that would have
19 far-reaching effects on every operator in the pool. Just
20 because someone doesn't agree with some data doesn't mean
21 that the opponent is right.

22 As a matter of fact, it's undisputed in this case
23 that there's a solution gas drive reservoir in the Los
24 Medanos and West Sand Dunes-Delaware Pool. GOR is only a
25 function of the amount of production. Waste will not occur

1 if the GOR is increased.

2 Kaiser hasn't attacked any of Pogo's data.
3 Rather, they've come in here today to complain about
4 potential drainage.

5 However, as they admitted up here, they're the
6 last operator in the pool to start developing its acreage.
7 They've had their acreage since the early 1980s. Only now
8 they've started developing it. In fact, five of the six
9 Kaiser-Francis wells in Sections 20 and 21 were proposed by
10 non-operators. Kaiser didn't even want to drill them then,
11 apparently, until it was proposed by other people.

12 Now Pogo does sympathize; Yates is here, they
13 sympathize; most people sympathize with the potash problems
14 that Kaiser has had.

15 But Pogo has the same problem in section 29. If
16 you look at the map, there's hardly any wells there, and
17 that's a very excellent part of the pool. So it's not like
18 Pogo is totally unaffected by the inability to develop
19 acreage.

20 Furthermore, correlative rights is only the
21 opportunity you have to produce the reserves under your
22 acreage. Kaiser-Francis has not had its correlative rights
23 harmed. They should have gotten out of there a long time
24 ago, drilled the acreage. So I think correlative rights is
25 a red herring before the Division.

1 A feature of these Delaware pools is that they
2 usually have top-allowable wells with rapidly increasing
3 GORs early in the life of these wells. So if you need GOR
4 relief, you need it early in the life of the pool. Waiting
5 until more data is obtained, like Kaiser wants to do, is
6 unnecessary. There's already been a couple million barrels
7 produced.

8 And furthermore, who it's really harming is the
9 early investors in the pool, the people who went out there,
10 drilled the initial wells, proved up the prospect, and
11 they're the ones being harmed. They're the ones with the
12 high-GOR wells, they're the ones who need the relief.
13 There's nothing wrong with that. It's benefitting
14 everybody in the pool, to get the high GOR.

15 The evidence is clear that we have a solution gas
16 drive pool. Ultimate poolwide recovery will not be harmed
17 by increasing the GOR. And as a result, we think the GOR
18 increase should be granted.

19 We think there's enough data today to make it
20 permanent. We understand that in most cases the Division
21 makes these rules temporary. If you're going to make them
22 temporary, make them temporary for a year; there will be a
23 lot more data. The reservoir is not being harmed,
24 everybody will be taken care of.

25 We think this Application should be granted.

1 EXAMINER CATANACH: Thank you, Mr. Bruce.

2 Would you like to submit a rough draft, as well
3 as --

4 MR. BRUCE: Oh, I guess if Tom's willing to, I'd
5 better.

6 EXAMINER CATANACH: Mr. Diem, you didn't have a
7 statement or anything you'd like to contribute?

8 MR. DIEM: No, I have no statement, Mr. Examiner.

9 EXAMINER CATANACH: Thank you.

10 Okay, there being nothing further, this case will
11 be taken under advisement.

12 And this hearing is adjourned.

13 (Thereupon, these proceedings were concluded at
14 3:52 p.m.)

15 * * *

16

17

18

19

20

21

22

23

24

25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter
and Notary Public, HEREBY CERTIFY that the foregoing
transcript of proceedings before the Oil Conservation
Division was reported by me; that I transcribed my notes;
and that the foregoing is a true and accurate record of the
proceedings.

I FURTHER CERTIFY that I am not a relative or
employee of any of the parties or attorneys involved in
this matter and that I have no personal interest in the
final disposition of this matter.

WITNESS MY HAND AND SEAL February 10th, 1994.


STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1994

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10870
heard by me on February 20 1994.


Daniel M. Lata, Examiner
Oil Conservation Division