

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10924

5
6 IN THE MATTER OF:7
8 The Application of GECKO, Inc.,
9 for Directional Drilling and Unorthodox
10 Oil Well Surface and Bottomhole
11 Locations, Lea County, New Mexico.
12
13
14

15 BEFORE:

16 DAVID R. CATANACH

17 Hearing Examiner

18 State Land Office Building

19 March 3, 1994
20
21
22

23 REPORTED BY:

APR 12 1994

24 CARLA DIANE RODRIGUEZ
25 Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
Post Office Box 2265
Santa Fe, New Mexico 87504-2265
BY: **W. THOMAS KELLAHIN, ESQ.**

I N D E X

Page Number

Appearances 2

WITNESSES FOR THE APPLICANT:

1. STEVE L. THOMSON
Examination by Mr. Kellahin 6
Examination by Mr. Catanach 19

Certificate of Reporter 23

E X H I B I T S

Page Marked

Exhibit No. 1 7
Exhibit No. 2 7
Exhibit No. 3 8
Exhibit No. 4 16
Exhibit No. 5 18

1 EXAMINER CATANACH: We'll call the
2 hearing back to order at this time and call Case
3 10924, the application of GECKO, Incorporated,
4 for directional drilling and unorthodox oil well
5 surface and bottomhole locations, Lea County, New
6 Mexico.

7 Are there appearances in this case?

8 MR. KELLAHIN: Mr. Examiner, I'm Tom
9 Kellahin of the Santa Fe law firm Kellahin &
10 Kellahin, appearing on behalf of the Applicant,
11 and I have one witness to be sworn.

12 EXAMINER CATANACH: Additional
13 appearances? Okay. Will the witness please
14 stand to be sworn in.

15 MR. KELLAHIN: Mr. Examiner, this is an
16 attempt by GECKO to drill a well in the
17 Casey-Strawn pool. Casey-Strawn is an oil pool
18 on 80-acre oil spacing.

19 For your reference, I made a copy of
20 the pool rules. In addition, there's a copy of
21 order R-10040, which is the prior order in this
22 matter.

23 The subject well was originally located
24 at a nonstandard surface location. Casey-Strawn
25 oil pool rules require that wells at standard

1 location be located within 150 feet of the center
2 of a 40-acre tract. This well was located too
3 far north to the north half of the northeast of
4 its spacing unit. It was commenced, and then we
5 had a hearing before Examiner Morrow.

6 As of the date of the hearing, we
7 advised Examiner Morrow that the well was not
8 commercial as drilled, at that location, so the
9 application was dismissed.

10 Since then, GECKO has decided to
11 reenter this well and to directionally drill it
12 to a proposed bottomhole location in the same
13 spacing unit. However, in this instance, we will
14 still be outside of the 150-foot drilling
15 window. We're going to be located too far to the
16 south of the spacing unit. We're about 386 feet
17 away from the south side of the 80-acre tract.

18 We're asking for a drilling/producing
19 window that gives us the tolerance to complete
20 this well with a hundred-foot radius bottomhole
21 within a target area, as defined in the
22 application.

23 My witness is Steve Thompson. Mr.
24 Thompson is a petroleum engineer. He also has
25 credentials in geology. He is the president,

1 managing officer, if you will, of this company,
2 and I tender him as an expert.

3 **STEVE L. THOMSON**

4 Having been first duly sworn upon his oath, was
5 examined and testified as follows:

6 EXAMINATION

7 BY MR. KELLAHIN:

8 Q. For the record, Mr. Thomson, would you
9 please state your name and occupation?

10 A. My name is Steve Thomson. I'm
11 president of GECKO, Incorporated, in Midland,
12 Texas.

13 Q. Summarize for us your education, sir.

14 A. I received a B.S. in chemical
15 engineering in 1979, from the University of
16 Texas, a B.S. in geology in 1984, from the
17 University of Texas, and an MBA in finance in
18 1989, from the University of Texas.

19 Q. Is this proposed well and the spacing
20 unit, a well that is under the operation of
21 GECKO, Inc.?

22 A. Yes, sir.

23 Q. Are you directly responsible for and
24 have knowledge about the technical aspects of
25 this case?

1 A. Yes, sir.

2 MR. KELLAHIN: We tender Mr. Thomson as
3 an expert geologist and engineer.

4 EXAMINER CATANACH: Mr. Thomson is so
5 qualified.

6 Q. Let me have you start, sir, by taking
7 Exhibit No. 1, a copy of the Division Form C-102,
8 and, for the record, describe for us what your
9 plan is.

10 A. Okay. As Mr. Kellahin said, Exhibit
11 No. 1 is a copy of C-102, surface location plat,
12 that shows the surface location as the well was
13 originally drilled, and 500 feet due south from
14 the surface location shows the proposed
15 bottomhole location.

16 Showing the proposed bottomhole
17 location 500 feet due south of the surface
18 location, really surmizes what the plans are for
19 this well; that is, to kick the well 500 feet to
20 the south of the present location.

21 Q. All right, sir. Identify for the
22 record what we gave marked for introduction as
23 Exhibit No. 2.

24 A. Exhibit No. 2 is an internal memorandum
25 from a staff geologist that works for me, Don

1 Mozynski's his name. It's written to Benny
2 Barton, who is the principal of GECKO and not to
3 me, but this is his description and attempt to
4 model the stratigraphy of the well as it was
5 drilled, based on some rotary side wall cores
6 that were extracted from this wellbore.

7 MR. KELLAHIN: Mr. Examiner, Exhibit 3
8 is a photocopy reproduction of a composite
9 display we're about to generate for you. The
10 photocopy shows a structural interpretation, and
11 then an isopach superimposed upon that, that
12 gives you the interpretation as to the dimensions
13 of the reservoir.

14 What Mr. Thomson and I propose to do is
15 start with a larger copy of that display on the
16 board, and walk you through the technical aspects
17 of why he's proposing to try to target in the
18 reservoir approximately 500 feet to the south.

19 Q. (BY MR. KELLAHIN) If you'll refer to
20 the display, which is the base map for Exhibit 3,
21 Mr. Thomson, identify for us what we're looking
22 at.

23 A. I'll start out with the exhibit. This
24 is a map of what we call our Love East Prospect
25 Area. Section 35, where the well operations are,

1 is centered in the middle. The surrounding
2 sections are shown on the map. The base of the
3 map shows the leasehold position at this time.

4 The cross-hatched area is the leasehold
5 of GECKO, incorporated. The only other operators
6 in the area you can see in Section 26. The west
7 half of the southeast quarter is held by
8 production by Yates, Incorporated. The northwest
9 quarter of 35 is a state lease, that PG&E
10 Resources has the leasehold.

11 Q. When we look at the northeast quarter
12 of 35, the north half of the northeast is
13 proposed as the spacing unit for the well?

14 A. Yes, it is.

15 Q. Is there any difference in ownership,
16 between the north half and the south half of that
17 northeast quarter?

18 A. No, sir.

19 Q. It's all the same?

20 A. It's all the same.

21 Q. So the well is moving towards common
22 ownership with the spacing unit for the well?

23 A. Yes, sir.

24 Q. I notice on the base map that there are
25 a number of black dots. What do those represent?

1 A. There are a number of dots, period.
2 The dots on the map are all wellbore locations.

3 There are three classes of wellbore
4 locations. The solid black dots--excuse me.
5 First of all, all of the wellbore locations are
6 Strawn penetrations only. The shallower wells
7 are not on this map.

8 The solid black dots are currently
9 producing from the Strawn. There are solid black
10 dots with a cross-hatch through them that have
11 produced from the Strawn but currently are TA'd
12 or abandoned. And there are open dots with a dry
13 hole symbol on them that were drilled and
14 abandoned, but not produced.

15 The significance to us is, as you can
16 see in Section 35, the well control in the Strawn
17 is sparse, and not real helpful for our geologic
18 interpretations.

19 Q. Because of the absence of immediate
20 well control data, have you applied any other
21 type of geologic data in order to make an
22 interpretation of where best to locate the well?

23 A. The emphasis for our prospect is a
24 series of seismic lines that we shot across this
25 acreage and we have interpreted in a structural

1 sense.

2 Q. Can you approximate, for the Examiner,
3 the degree of data that you have for the seismic
4 information, in terms of the location of the
5 seismic lines and the grid size for the runs?

6 A. The seismic lines are plotted on the
7 isopach map, and probably would be helpful to
8 talk with them at that time.

9 Q. When we look at the isopach, then, it
10 will show the lines of the seismic run?

11 A. Yes, it will.

12 Q. Are you satisfied, as a geologist and
13 an engineer, that the seismic data was adequate
14 from which to make a determination of the best
15 optimum place in which to now deviate this well?
16 Do we have sufficient seismic information from
17 which to make an interpretation?

18 A. Yes, we do. Actually, the seismic
19 information, as we'll see when we look at the
20 structure map, was adequate when we drilled the
21 first well.

22 Q. Let's start at that point, then, and
23 I'm going to put the overlay up that shows the
24 structural interpretation.

25 All right, sir. What have we put on

1 the base map at this point, Mr. Thomson?

2 A. Okay. The overlay that we've put over
3 the base map is a structure map on the top of the
4 Strawn formation. It's contoured on 10-foot
5 intervals. It shows a gradual dip to the east,
6 it shows a pretty severe dip to the west, and
7 basically a flattening and a structural high over
8 the original drill site and the prospect.

9 The well, as it was drilled, that
10 surface location matched the seismic structure
11 map within about 10 feet at the top of the
12 Strawn, and basically is a real valid structural
13 interpretation, and still is a structural
14 interpretation. What the problem was, is there
15 was no reservoir encountered in the vertical
16 wellbore.

17 Q. What new data do you now have that
18 caused you to believe that, by reentering this
19 well and directionally drilling it to a
20 bottomhole location 500 feet to the south, is
21 going to put you in the reservoir?

22 A. There are two additional, I guess,
23 pieces of information that, in our
24 interpretation, give us a lot of confidence that
25 500 feet to the south from the surface location,

1 we can encounter reservoir. Those two things
2 are: The wellbore logs through this interval
3 give us a lot more understanding of what the rock
4 fabric and texture is, and there are some things,
5 seismically, we can infer in our data, at this
6 point, that we really couldn't before.

7 The major help, though, is the rotary
8 side wall cores that we talked about before that
9 we've extracted, the detail of which is in
10 Exhibit 2. Basically, we can summarize what our
11 geologic model says at this point, which is
12 starting from the base of the wellbore we drilled
13 and moving to the top of the Strawn.

14 In the base of the wellbore, we
15 encountered, basically, just a low energy shelf
16 environment. As we moved up in the section, we
17 see, in the rotary side wall cores, we see some
18 algal fragments, we see some oil staining of
19 those fragments.

20 We see some other indications, through
21 some fossiliferous material, that we are near a
22 reef environment. This material really cannot be
23 transported very far at all and be preserved
24 still. And, based on some modeling that we've
25 done in the area, our interpretation is that we

1 are qualitatively 400 to 600 feet from an algal
2 mound-type reef.

3 Q. Do you have an illustration that
4 represents the conclusions from studying that
5 data?

6 A. What we've done is, we've gone back in
7 with our well logs and the fabric and texture
8 information we have from the rock, and we have
9 isopached a rock unit, if you will. It's not
10 reservoir at this point because we have not
11 encountered porosity. We're Inferring where
12 porosity will be encountered.

13 But, if we isopach the rock unit that
14 we are overlying on top of the structure, we can
15 see that the surface location was drilled on a
16 structural advantageous point on that crossing
17 seismic line. We can see that when we isopached
18 the rock unit, the thickening is to the south.

19 Our belief is, and our knowledge in the
20 area, tells us that that thickening will be where
21 the reservoir will be encountered. These type
22 reservoirs can go from zero net feet of porosity,
23 to 60 to 80 feet of porosity, literally, in just
24 a few hundred feet, and that's what we believe
25 the case to be here.

1 Q. Is this typical of the steep-sided
2 algal mounds that we're seeing in this area for
3 Strawn oil production?

4 A. It is real typical of the mounds. It
5 may be more severe than some mounds that have
6 been encountered in the past, simply because the
7 bigger mounds have been discovered already. What
8 we're doing, we're searching now for the smaller
9 ones that may have been overlooked, and they're
10 just going to be tougher to find.

11 Q. In looking at the composite display,
12 Exhibit 3, why would you not want the bottomhole
13 location more centered to the east of the
14 reservoir thickness, as it's been interpreted?
15 You're on the western edge, if you will. What
16 causes you to believe that you want to be at that
17 point?

18 A. We're honoring all the dip that is in
19 the well, we're honoring our seismic
20 interpretation, and we're honoring the thickest
21 part of our isopached interval.

22 These reservoirs have tremendous
23 vertical and horizontal permeability. So,
24 really, all we have to do is get in the thickest
25 part of that reservoir and we will find porosity,

1 and that's plenty to drain the reservoir.

2 Q. Having decided upon this plan, based
3 upon the current, technical data, do you have an
4 illustration to show us the mechanics of how
5 you're going to do it?

6 A. Yes, sir, we do.

7 MR. KELLAHIN: That's marked as Exhibit
8 No. 4, Mr. Examiner.

9 Q. Would you identify for us Exhibit No.
10 4?

11 A. Exhibit No. 4 is a directional drilling
12 plan. It's presented in horizontal and vertical
13 planes. We'll walk through it, starting with the
14 vertical section, from top to bottom.

15 We've designed this well, we designed a
16 kickoff point at 9000 feet. The designed kickoff
17 point is designed for a couple of reasons: One,
18 the original wellbore down to this point, at
19 least by surveys, had very little deviation in
20 it. We believe it to be almost true vertical, if
21 not tru vertical. It has not been surveyed, as
22 far as directional survey at this point.

23 All of these wells in this pool end up
24 on artificial lift, primarily by rod pump. So,
25 we have tried to create as little wellbore

1 deviation as we have to, but still achieve our
2 objective of getting 500 feet to the south. So,
3 we've tried to build a real gradual angle, and
4 then hold a constant angle and hit the window, as
5 you can see in the horizontal plane of a 50-foot
6 radius, being 50 feet to the north of our
7 objective, when we enter the top of the Strawn
8 formation, and 50 feet to the south, when we hit
9 the base of the Strawn formation.

10 Q. As targeted on this display, it shows a
11 50-foot radius target. Both the application and
12 the notice of hearing request additional
13 flexibility for you, of using 100-foot radius
14 target. What's the reason to request the
15 additional radius?

16 A. We requested the additional radius
17 simply because our drilling plan assumes, as you
18 can see on the diagram at 9000 feet, that we're
19 at 00. We don't know that.

20 These operations are very successfully
21 done by just setting a cement kickoff plug, going
22 in with a bent sub, creating your angle, and then
23 just drilling with a fixed angle.

24 If we have to make a corrective motor
25 run, we don't want to dog-leg the hole. We don't

1 want to create that type of wellbore path
2 because, in the future, you get into all kinds of
3 problems with rod cutting your tubing, wearing
4 out your rods, which is higher operating costs,
5 which will, I guess, shorten the economic life of
6 the well.

7 So, we're just trying to create a
8 gradual wellbore path, and still hit our target.

9 Q. Is there anything special or unusual
10 about the application of the directional drilling
11 technology in this particular case?

12 A. No, sir. This is pretty plain vanilla
13 type directional work.

14 MR. KELLAHIN: That concludes my
15 examination of Mr. Thomson. We move the
16 introduction of his Exhibits 1 through 4.

17 In addition, Exhibit 5 is our notice to
18 the offset operators. I'm not aware of any
19 objection to the approval of the application, Mr.
20 Examiner.

21 So, at this time we would move the
22 introduction of Exhibits 1 through 5.

23 EXAMINER CATANACH: Exhibits 1 through
24 5 will be admitted as evidence.

25

EXAMINATION

BY EXAMINER CATANACH:

Q. Mr. Thomson, as I understand it, your seismic told you where to drill to hit the highest structural position?

A. Yes, sir, that's correct.

Q. Just didn't have enough sufficient reservoir rock present at that location?

A. No, sir. If you really, I guess, looked at the logs and tried to do a net feet, there might have been two feet that were above a four percent cutoff, and they were tight.

Q. And, as I understand it, you're using the side wall core data to project which direction you should drill the well, among other things?

A. Yes. We used the side wall core information to really understand what the fabric of the rock was.

From there, looking at some impedance contrast on the seismic data, we really can infer, we believe, which direction dip is. And that, really, what you do from there is, you go to the analogies in the area, and it shows pretty strongly that, when you can predict that

1 direction of dip, you can be real successful in
2 finding oil.

3 In the past, the mounds were a lot
4 bigger, and the structural picture was really all
5 you needed. And that's why we drilled, you know,
6 the well, just based on structural
7 interpretation.

8 Q. What's the current status of the well?
9 Shut in?

10 A. It was actually drilled and abandoned
11 as a dry hole.

12 Q. Plugged and abandoned?

13 A. Yes, sir. To get back to where our
14 drilling plan starts is pretty simple. We just
15 put the wellhead back on, nipple up. We have two
16 plugs to drill out, no pipe to pull. The 7-7/8
17 hole was drilled originally with packed hole
18 assembly. It's very straight; should be very
19 clean. It really should be just plain vanilla.

20 Q. Did you say that the whole northeast
21 quarter of that Section 35 was commonly owned?

22 A. Yes.

23 Q. Is there a specific reason for
24 orienting the proration unit the way you did, as
25 opposed to a stand-up 80?

1 A. If you back up to when we drilled the
2 well, we drilled it just on the structural
3 interpretation that you have in front of you. If
4 you look at that interpretation, it was our
5 belief that two wells could be drilled in this
6 reservoir. That's why we propose it as a
7 lay-down 80.

8 Q. The point 934 feet from the north line,
9 1762 feet from the east line, that is your target
10 location?

11 A. Would you mind repeating that for me?

12 Q. 934 from the north, 1762 from the
13 east.

14 A. Yes, sir.

15 Q. That's the target, and that's the point
16 you want the 100-foot radius keyed off of?

17 A. Yes. As you can see, our drilling plan
18 really plans on the 50-foot radius, and we've
19 asked for the additional flexibility of a hundred
20 foot.

21 EXAMINER CATANACH: I don't have
22 anything else of the witness. He may be
23 excused.

24 MR. KELLAHIN: That concludes our
25 presentation.

1 EXAMINER CATANACH: There being nothing
2 further, Case 10924 will be taken under
3 advisement.

4 (And the proceedings concluded.)
5
6
7
8
9
10

11 I do hereby certify that the foregoing is
12 a complete record of the proceedings in
13 the Examiner hearing of Case No. 10924.
14 heard by me on March 3 1994.
15 David R. Catanach, Examiner
16 Oil Conservation Division
17
18
19
20
21
22
23
24
25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Carla Diane Rodriguez, Certified
7 Shorthand Reporter and Notary Public, HEREBY
8 CERTIFY that the foregoing transcript of
9 proceedings before the Oil Conservation Division
10 was reported by me; that I caused my notes to be
11 transcribed under my personal supervision; and
12 that the foregoing is a true and accurate record
13 of the proceedings.

14 I FURTHER CERTIFY that I am not a
15 relative or employee of any of the parties or
16 attorneys involved in this matter and that I have
17 no personal interest in the final disposition of
18 this matter.

19 WITNESS MY HAND AND SEAL April 11,
20 1994.

21
22
23 
24 CARLA DIANE RODRIGUEZ, RPR
25 CSR No. 4