

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

COPY

6 IN THE MATTER OF:

7 Application of Curry and Thornton
8 for an unorthodox gas well location
and a non-standard proration unit,
Chaves County, New Mexico.

CASE
9617

10 -----
11
12
13 TRANSCRIPT OF HEARING
14 AUGUST 17, 1989

15 BE IT REMEMBERED that on the
16 17th day of August, 1989, this matter
came on for hearing before CHAIRMAN
17 WILLIAM LEMAY, COMMISSIONER WILLIAM
HUMPHRIES and PATRICIA O'BRIEN, Certified
18 Shorthand Reporter, of the firm SANTA FE
DEPOSITION SERVICE, 1437 Paseo de
19 Peralta, Santa Fe, New Mexico, at
the State Land Offices, Morgan Hall,
Santa Fe, New Mexico.

20 * * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE OCD: WILLIAM LEMAY, CHAIRMAN
WILLIAM HUMPHRIES, COMMISSIONER
FLORENE DAVIDSON, STAFF SPECIALIST
ROBERT STOVALL, GENERAL COUNSEL

FOR MIDLAND
PHOENIX CORP.: ERNEST L. PADILLA, ESQ.
PADILLA & SNYDER
Attorneys at Law
Post Office Box 2523
Santa Fe, New Mexico
87504

FOR ENRON OIL
& GAS CORP.: WILLIAM F. CARR, ESQ.
CAMPBELL & BLACK, P.A.
Attorneys at Law
Post Office Box 2208
Santa Fe, New Mexico
87501

* * *

P R O C E E D I N G S

AUGUST 17, 1989

CHAIRMAN LEMAY: Case No. 9617?

MR. STOVALL: Application of Curry and Thornton for an unorthodox oil well location and non-standard proration unit, Chavez County, New Mexico. Applicant requests this case be continued to the September 21st, 1989, Commission Hearing.

CHAIRMAN LEMAY: Without objection, Case No. 9617 will be continued to the Commission Hearing September 21st.

(Whereupon, the hearing in the above matter was concluded.)

* * *

STATE OF NEW MEXICO)
) SS.
COUNTY OF SANTA FE)

REPORTER'S CERTIFICATE

I, Patricia Lou O'Brien, Certified Shorthand Reporter
and Notary Public of the firm SANTA FE DEPOSITION SERVICE,
do hereby certify that the following transcript is a
complete and accurate record of said proceedings as the same
were recorded by me or under my supervision.

Dated at SANTA FE, NEW MEXICO, this 7th
day of September, 1989.

Patricia O'Brien

Patricia Lou O'Brien
Certified Shorthand Reporter

My Commission Expires:
February 16, 1990

SANTA FE DEPOSITION SERVICE

1437 PASEO DE PERALTA
SANTA FE, NEW MEXICO 87501
(505) 983-4643

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

COMMISSION HEARING

IN THE MATTER OF:

Case 9617

Application of Curry and Thornton for an
unorthodox oil well location and a
nonstandard proration unit, Chaves County,
New Mexico.

(CONSOLIDATED)

IN THE MATTER OF:

Case No. 9670

Application of Stevens Operating Corporation
to amend Division Order No. R-8917,
directional drilling and an unorthodox oil
well location, Chaves County, New Mexico.

TRANSCRIPT OF PROCEEDINGS

BEFORE: WILLIAM J. LeMAY, CHAIRMAN
WILLIAM WEISS, COMMISSIONER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

OCTOBER 19, 1989

ORIGINAL

CUMBRE COURT REPORTING
(505) 984-2244

A P P E A R A N C E S

FOR CURRY AND THORNTON
and
STEVENS OPERATING CORPORATION:

CAMPBELL & BLACK, P.A.
Attorneys at Law
110 North Guadalupe, Suite 1
Post Office Box 2208
Santa Fe, New Mexico 87504-2208
BY: WILLIAM F. CARR, ESQ.
PATRICIA A. MATTHEWS, ESQ.

FOR SANTA FE EXPLORATION COMPANY:

PADILLA & SNYDER
Attorneys at Law
200 West Marcy, Suite 216
Post Office Box 2523
Santa Fe, New Mexico 87504
BY: ERNEST L. PADILLA, ESQ.

FOR EXXON COMPANY U.S.A.:

KELLAHIN, KELLAHIN & AUBREY
Attorneys at Law
117 North Guadalupe
Post Office Box 2265
Santa Fe, New Mexico 87504-2265
BY: W. THOMAS KELLAHIN, ESQ.

A P P E A R A N C E S (CONTINUED)

FOR ARMSTRONG ENERGY CORPORATION:

RODEY, DICKASON, SLOAN, AKIN & ROBB, P.A.
Attorneys at Law
123 East Marcy
Post Office Box 1357
Santa Fe, New Mexico 87504-1357
BY: PAUL A. COOTER, ESQ.

FOR LARRY HARRISON:

MONTGOMERY & ANDREWS, P.A.
Attorneys at Law
325 Paseo de Peralta
Post Office Box 2307
Santa Fe, New Mexico 87504-2307
BY: DEBORAH S. DUNGAN, ESQ.

FOR THE COMMISSION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Commission
State Land Office Building
Santa Fe, New Mexico 87504-2088

I N D E X

	Page Number
Appearances	2
Opening Statements:	
Mr. Carr	12
Mr. Padilla	18
Mr. Kellahin	21
Closing Statements:	
Mr. Padilla	267
Mr. Kellahin	272
Mr. Carr	278
Mr. Cooter	286
Ms. Dungan	288
Witnesses:	
JACK AHLEN	
Direct Examination by Mr. Carr	26
Cross-Examination by Mr. Padilla	64
Cross-Examination by Mr. Kellahin	83
Examination by Mr. LeMay	93
T. SCOTT HICKMAN	
Direct Examination by Mr. Carr	96
Cross-Examination by Mr. Padilla	138
Cross-Examination by Mr. Kellahin	148
Examination by Mr. Weiss	161
Examination by Mr. LeMay	164
Further Examination by Mr. Kellahin	170
Further Examination by Mr. LeMay	249
HENRY J. GRUY	
Direct Examination by Mr. Carr	172
Cross-Examination by Mr. Padilla	183
Cross-Examination by Mr. Kellahin	184
Redirect Examination by Mr. Carr	186
Examination by Mr. Weiss	187

I N D E X (CONTINUED)

CHARLES HOLMSTROM

Direct Examination by Mr. Padilla	190
Direct Examination by Mr. Kellahin	196
Cross-Examination by Mr. Carr	202
Redirect Examination by Mr. Padilla	207
Examination by Mr. LeMay	208

L. D. SIPES, JR.

Direct Examination by Mr. Padilla	209
Direct Examination by Mr. Kellahin	218
Cross-Examination by Mr. Carr	226
Redirect Examination by Mr. Padilla	237
Examination by Mr. Weiss	238
Examination by Mr. LeMay	239
Further Examination by Mr. LeMay	246
Further Examination by Mr. Weiss	247

CYNTHIA SULLIAVAN

Direct Examination by Mr. Kellahin	256
Cross-Examination by Mr. Carr	264
Redirect Examination by Mr. Kellahin	265

Certificate of Reporter	289
-------------------------	-----

I N D E X (CONTINUED)

E X H I B I T S

Page Identified

5	Ahlen Exhibit No. 1	31
	Ahlen Exhibit No. 2	38
6	Ahlen Exhibit No. 3	45
	Ahlen Exhibit No. 4	51
7	Ahlen Exhibit No. 5	52
	Ahlen Exhibit No. 6	55
8	Ahlen Exhibit No. 7	61
	Hickman Exhibit No. 8	99
9	Hickman Exhibit No. 9	103
	Hickman Exhibit No. 10	104
10	Hickman Exhibit No. 11	105
	Hickman Exhibit No. 12	107
11	Hickman Exhibit No. 13	115
	Hickman Exhibit No. 14	124
12	Hickman Exhibit No. 15	125
	Hickman Exhibit No. 16	127
13	Hickman Exhibit No. 17	128
	Hickman Exhibit No. 18	130
14	Holmstrom Exhibit No. 1	192
	Sipes Exhibit No. 2	212
15	Sipes Exhibit No. 3	215
	Sipes Exhibit No. 4	216

1 MR. LeMAY: Good morning. This is the Oil
2 Conservation Commission hearing, and we have three
3 Commissioners. One of the Commissioners is stranded in
4 Truth or Consequences. Commissioner Bill Humphries
5 will not be here for this with us.

6 For those of you who did not get a chance to
7 meet our new Commissioner, Bill Weiss is our new
8 Commissioner here to my left. My name is Bill LeMay,
9 and we are the Commission of three Bills, two of which
10 are present today.

11 So with that we will begin by calling --

12 MR. STOVALL: Mr. Chairman.

13 MR. LeMAY: Yes.

14 MR. STOVALL: Before we start, maybe this
15 would be a good time to -- this is off the record.

16 (Thereupon, a discussion was held
17 off the record.)

18 MR. LeMay: Thank you, Mr. Stovall.

19 Case No. 9611.

20 MR. STOVALL: Application of The Petroleum
21 Corporation of Delaware for an unorthodox gas well
22 location, Eddy County, New Mexico. Applicant has
23 requested this case be dismissed.

24 MR. LeMAY: Without objection Case No. 9611
25 will be dismissed.

1 Case No. 9617.

2 MR. STOVALL: Application of Curry and
3 Thornton for an unorthodox oil well location and a
4 nonstandard proration unit, Chaves County, New Mexico.

5 MR. LeMAY: Appearances in the case.

6 Yes.

7 MR. CARR: May it please the Commission, my
8 name is William F. Carr with the law firm of Campbell &
9 Black, P.A., of Santa Fe. I represent Curry and
10 Thornton in this matter.

11 I also represent Stevens Operating
12 Corporation in the following case on the docket and
13 will be involved in the last case on the docket, which
14 is an application of Santa Fe Exploration Company.

15 I have talked to Mr. Padilla. They may be
16 dismissing the last case. But in any event, I would
17 first request that all three of these cases, or such
18 cases as remain, be consolidated for purposes of
19 hearing.

20 MR. LeMay: Thank you, Mr. Carr.

21 Mr. Padilla.

22 MR. PADILLA: Mr. Chairman, we have no
23 problem with consolidating all three cases. If it's
24 appropriate at this time, I'd like to move for the
25 dismissal of our case, in that Case 9697.

1 And insofar as we have asked for de novo
2 hearing in Case 9617, we would request that our
3 application for de novo be also dismissed.

4 And we will simply appear in the de novo case
5 of Curry and Thornton and in the Case of 9670 of
6 Stevens Operating.

7 MR. LeMAY: Thank you, Mr. Padilla.

8 Is there anyone else that would object to the
9 consolidation of Cases 9617 and 9670 and the dismissal
10 of Case 9697?

11 Fine. We'll read now Case 9670.

12 MR. STOVALL: Application of Stevens
13 Operating Corporation to amend Division Order No.
14 R-8917, directional drilling in an unorthodox oil well
15 location, Chaves County, New Mexico.

16 MR. LeMAY: At the request of counsel's
17 present Case No. 9670 will be consolidated in with Case
18 9617.

19 Case 9697.

20 MR. STOVALL: Application of Santa Fe
21 Exploration Company for amendment of the special rules
22 and regulations for the North King Camp Devonian Pool,
23 Chaves County, New Mexico.

24 MR. LeMAY: If there are no objections, Case
25 9697 will be dismissed.

1 So now call for appearances in Cases 9617 and
2 9670.

3 MR. CARR: May it please the Commission,
4 in addition to the appearance I have previously
5 entered, I would like to introduce Pattie Matthews, an
6 attorney with Campbell & Black. This is Pattie's first
7 Oil Conservation Commission or Division Hearing.
8 She'll be assisting me today and also assisting me in
9 the other Oil Conservation Commission or Division
10 matters.

11 MR. LeMAY: Thank you. Welcome to the
12 Commission, Ms. Matthews.

13 Mr. Padilla.

14 MR. PADILLA: Mr. Chairman, Ernest L.
15 Padilla, Santa Fe, New Mexico, for Santa Fe Exploration
16 in the Case 9617 and 9670.

17 MR. LeMAY: Thank you, Mr. Padilla.

18 Additional appearances?

19 Mr. Kellahin.

20 MR. KELLAHIN: Mr. Chairman, my name is Tom
21 Kellahin of the Santa Fe law firm of Kellahin, Kellahin
22 & Aubrey.

23 I'm appearing on behalf of Exxon Company
24 U.S.A. today. We are in opposition to Curry and
25 Thornton and Stevens Operating Corporation. And we

1 appear in support of Santa Fe Exploration Company in
2 these two cases.

3 MR. LeMAY: Thank you. Will you be having
4 any witnesses today, Mr. Kellahin?

5 MR. KELLAHIN: I anticipate I may. I'm not
6 certain which witnesses to swear at this point. If I
7 might reserve that opportunity for a later time, we can
8 make that judgment later in the hearing.

9 MR. LeMAY: Thank you.

10 Addition appearances in the case?

11 Mr. Cooter.

12 MR. COOTER: Gentlemen of the Commission, my
13 name is Paul Cooter, and for the reporter, that's
14 C-o-o-t-e-r. I'm with the Rodey law firm here in Santa
15 Fe appearing today on behalf of Armstrong Energy
16 Corporation.

17 MR. LeMAY: Thank you, Mr. Cooter. Will you
18 be tendering any witnesses for --

19 MR. COOTER: No, sir.

20 MR. LeMAY: Statement at the end possibly?

21 MR. COOTER: Possibly.

22 MR. LeMAY: Possibly.

23 MS. DUNGAN: Mr. Commissioner, my name is
24 Deborah Dungan. I'm with the law firm of Montgomery &
25 Andrews here in Santa Fe. I'm here appearing on behalf

1 of Larry Harrison, a New Mexico oil corporation. I
2 will not have any witnesses but are here to support the
3 position of the Santa Fe Exploration Company.

4 MR. LeMAY: Thank you. How do you spell your
5 last name, Debbie?

6 MS. DUNGAN: D-u-n-g-a-n.

7 MR. LeMAY: Thank you.

8 Additional appearances in these cases?

9 How many witnesses do each of you currently
10 have?

11 MR. CARR: I intend to call three witnesses.

12 MR. PADILLA: I may call two witnesses, Mr.
13 Chairman.

14 MR. LeMAY: Do you care to start with opening
15 remarks?

16 MR. CARR: Yes, sir.

17 MR. LeMAY: Mr. Carr.

18 MR. CARR: Mr. Kellahin thinks I should speak
19 from behind the exhibit, but with your permission, may
20 it please the Commission, Curry and Thornton and
21 Stevens Operating Corporation are before you today
22 seeking approval of a nonstandard proration unit in the
23 North King Camp Devonian Pool.

24 They also seek approval of the directional
25 drilling of their No. 1 Deemar well and approval of an

1 unorthodox bottom-hole location in this reservoir.

2 The background facts in the case are not
3 complicated and are really not in dispute.

4 The North King Camp Devonian Pool is a pool
5 that consists of really one section, Section 9,
6 Township 14 South, Range 29 East.

7 There are two wells in the pool. The pool
8 was discovered in 1988 when Santa Fe Exploration
9 drilled and completed its Holmstrom Federal No. 1
10 located in the southeast quarter of this section.

11 At the time this well was drilled and
12 completed, as the evidence will show, there was seismic
13 information and other information that showed there was
14 a fault that ran approximately at this angle through
15 the west half of this section.

16 Santa Fe Exploration did not own the rights
17 on the west half of the section and, although
18 available, did not subsequently acquire them.

19 They did, however, in late 1988 come to the
20 Oil Conservation Division and obtained special pool
21 rules for the pool, which created 160-acre spacing
22 units, and they dedicated the southeast quarter to
23 their Holstrom Federal No. 1 Well.

24 And it also provided for an allowable, based
25 on the depth of the formation, of 515 barrels of oil

1 per day. It also provided for 660-foot setbacks from
2 the outer boundary of spacing of proration units.

3 Well, early this year, 1989, Curry and
4 Thornton and Stevens Operating acquired the rights to
5 develop the reserves under the west half of Section 9.

6 And they've had two hearings before the
7 Division concerning their plans for the development of
8 this property.

9 In the first hearing they obtained approval
10 to drill a well at an unorthodox location and to
11 dedicate the east half of the west half as a 160-acre
12 nonstandard spacing or proration unit.

13 The Division entered an order approving that
14 unit and approving the well location. The location had
15 to be nonstandard because if they were more than 660
16 feet from the outer boundary of their unit, they would
17 be on the west side of the fault and outside of the
18 reservoir.

19 But that order imposed a penalty, and the
20 penalty affected the economics of the plans for
21 developing this acreage.

22 And so they came back to the Division and
23 obtained authority to enter an old wellbore on that
24 property, kick off at about 7,000 feet and
25 directionally drill in an easterly direction, and have

1 done that and bottomed their well on their lease inside
2 the reservoir at an unorthodox location.

3 And so we're here today asking you to approve
4 the nonstandard unit and approve this location and
5 approve the actual directional drilling that has taken
6 place on this well.

7 We were unable to comply with the exact
8 angles and all that were contained in the original
9 directional drilling order, so we have filed an amended
10 application and are asking you to approve that part of
11 what we have done.

12 And so we're here today asking for an order
13 that will not only do those but will protect
14 correlative rights and prevent waste.

15 Now, the evidence that we will present will
16 show the Commission that under the property that is
17 leased to Stevens and Curry and Thornton, there are
18 670,000 barrels of producible reserves.

19 Now, this is a cross-section obviously; it's
20 two dimensional. But when you take the structure --
21 this is the line dividing the properties -- and you
22 look at the structure and compare it to what is
23 underlying the west half of the section, 670,000
24 barrels of producible reservoirs, when you take a look
25 at the producible reserves under the southeast, our

1 evidence will show that they have 732,000 barrels of
2 producible reserves 670,732. That's what our evidence
3 will show.

4 We will also show based on prior and
5 currently existing in-place orders of this Division, we
6 are permitted to produce 34 barrels per day.

7 Under the orders of this Division, as they
8 currently exist, Santa Fe Exploration can produce 515
9 barrels of oil per day.

10 Our evidence will show under existing orders,
11 we have the opportunity to produce 6 percent of the
12 pool allowable.

13 Santa Fe Exploration has an opportunity to
14 produce 94 percent of the pool allowable.

15 This is a technical case. This is a case
16 that is rooted in the disciplines of geology and
17 petroleum engineering.

18 But this is not the same case that appeared
19 before the Examiner because we stand before you with
20 new, substantially improved, substantially more
21 engineering and geological information.

22 Because of the drilling that has taken place,
23 we will show you where the fault is. We now know
24 because we have intersected the fault; we have cut it.

25 We will show you what the recoverable

1 reserves are in this pool. We know that. We will show
2 you. We will show you what the recoverable reserves
3 are under the tract under the west half of this
4 section; we know that.

5 We will show you what the producible reserves
6 are under each of the standard spacing units in the
7 east half of the tract.

8 And on this new and substantial evidence, we
9 will show you that is practicable to enter an order
10 allocating production between these tracts based on the
11 recoverable reserves.

12 We will call Jack Ahlen. He will review the
13 structure for you. He will identify the fault, and he
14 will explain the other confining aspects of the
15 structure in the North King Camp Devonian Pool.

16 But this is also and, perhaps, primarily an
17 engineering case.

18 We will call Mr. Scott Hickman, who will
19 calculate the reserves under each of the tracts. He
20 will show you how you can allocate those reserves in a
21 fashion that will permit each owner to receive its just
22 and fair share of reserves in the pool.

23 And he will show you how all of this can be
24 done with no harm to the existing Santa Fe Exploration
25 well in this pool.

1 We will then call Mr. Hank Gruy. Mr. Gruy is
2 an internationally recognized petroleum engineer and an
3 expert in both the fields of petroleum engineering and
4 geology.

5 And he will confirm the integrity of the
6 methods we have used. And he will confirm that the
7 calculations and the approaches utilized by Stevens and
8 Curry and Thornton are based on and consistent with
9 sound engineering principles.

10 So when the evidence is in, we will have
11 shown you that you can enter an order based on
12 recoverable reserves; that you can enter an order that
13 will prevent waste.

14 We will show you what the reserves are in the
15 pool. We will show you what the reserves are under
16 Santa Fe Exploration's tract.

17 We will show you what the reserves are under
18 the Stevens, Curry, and Thornton tract, and in so
19 doing, we will tell you what correlative rights are.

20 And then we are going to ask you to act, to
21 do what the Oil and Gas Act requires and to protect
22 those correlative rights.

23 MR. LeMAY: Thank you, Mr. Carr.

24 Mr. Padilla.

25 MR. PADILLA: Mr. Chairman, this case is a

1 throwback to the old cases on the Rule of Capture where
2 wells were drilled at random and to try and obtain as
3 much oil without the benefit of conservation.

4 What Curry and Thornton and Stevens have done
5 in this case is to throw us back and ignore the rules
6 of the Oil Conservation Division.

7 Our case today is going to be premised on the
8 basis of supporting the order of the Oil Conservation
9 Division in allocating a production rate of 34 barrels
10 per day.

11 We believe that is as close as possible as
12 you can get to fairness in this case.

13 It doesn't matter how you cut it; there are
14 still only two wells in the reservoir. The limits of
15 the reservoir cannot be determined by the basis of
16 where that fault may lie.

17 And so from that aspect our case is going to
18 be grounded on the basis that recoverable reserves at
19 this time cannot be readily defined.

20 We go back to the historical development of
21 this case. It's true Santa Fe Exploration discovered
22 the pool with their well in the southeast quarter of
23 Section 9.

24 They have also drilled a well in the
25 northeast quarter of the section to the south. That

1 was a dry hole. That's indicative of some sort of a
2 limited reservoir in this area.

3 In any event, it doesn't matter how you cut
4 it. This case, the facts involve the distance to the
5 lease line of Santa Fe Exploration Company.

6 The Division has calculated that distance to
7 be 78 feet. There never was any permission for Stevens
8 or Curry and Thornton to whipstock to the bottom-hole
9 location of 78 feet away from the lease line. Those
10 facts you could not ignore.

11 And I think the permeability, the reservoir
12 characteristics that we will present today will show
13 that there indeed is a need to protect the Santa Fe
14 acreage.

15 It's not -- there's no question that Curry
16 and Thornton and Stevens are entitled to produce their
17 just and fair amount of oil. It's the question of
18 where they're going to produce the oil from.

19 It's our position and our case will be
20 grounded on the basis that the oil should be produced
21 from their lands strictly and not from an adjoining
22 camp that's within 78 feet from our lease line, that's
23 Santa Fe Exploration, and the other working and the
24 other interest owners in the southeast quarter of
25 Section 9, that's their oil.

1 And they have the right and it's their
2 correlative rights that are affected, and they
3 should -- those correlative rights should be
4 protected.

5 So our case is going to require and
6 demonstrate to the Commission that indeed the
7 Commission should protect this situation and not put us
8 back into the Rule of Capture situation where Santa Fe,
9 in order to recover it's fair share of production,
10 based on pool rules that are established by the
11 Division to develop 160 acres so Santa Fe will not have
12 to go drill a second well 78 feet from the line in
13 order to adequately protect the rights.

14 MR. LeMAY: Thank you, Mr. Padilla.

15 Mr. Kellahin.

16 MR. KELLAHIN: Gentlemen of the Commission, I
17 appear before you on behalf of Exxon Company in support
18 of Santa Fe Energy's position.

19 This is not a new case for us. Perhaps you
20 -- we originally were involved in this case back
21 earlier in the year when Examiner Lyon first heard this
22 initial request by Curry and Thornton.

23 Let me tell you what I believe the evidence
24 will show you today as it unfolds. If I might use Mr.
25 Carr's display, I can show you some of the things that

1 he has not yet told you.

2 You will note that under the pool rules, the
3 Santa Fe Energy well is in fact at a legal location in
4 the pool some distance in excess of being 660 feet from
5 a common line.

6 They are well within the window for standard
7 well location. They have dedicated the southeast
8 quarter of that section to their well. It's 160 acres,
9 and that is the standard configuration for the spacing
10 unit.

11 What Mr. Carr did not tell you and what the
12 evidence will show you is that their nonstandard unit
13 is simply stacking four 40-acre tracts, one on top of
14 the other.

15 Now, why would they do that? The evidence
16 will show you that they've done that in order to
17 attempt not to be subject to a penalty because they do
18 not have a full 160 acres of production to dedicate to
19 the well.

20 Mr. Carr's red line on his display shows you
21 what some of the evidence will show you, that a
22 significant portion of that spacing unit dedicated to
23 this well is on the west side of the fault line and
24 cannot be produced by the Stevens, Curry, Thornton
25 well, which is now on the east side of the fault.

1 What Mr. Carr didn't tell you and what the
2 evidence will show you is this bottom-hole location is
3 78 feet away from the common spacing unit line.

4 This well is at a depth of in excess of a
5 mile or so. And the distance separating that
6 bottom-hole location from our spacing unit is the
7 length of this room. That is how close they are to
8 us.

9 Mr. Carr proposes to present to you a case
10 that demonstrates conventional routine engineering work
11 by renown experts. We have our own experts. But I
12 will tell you, gentlemen, the evidence is going to be
13 diametrically opposed with regards to the size and the
14 shape of the reservoir.

15 The engineers are going to predicate their
16 conclusions based upon how the geologists have
17 interpreted the size and shape of that reservoir, not
18 only for the Santa Fe well, but for how they have
19 attempted to justify the size of the reservoir for the
20 Santa Fe Energy well.

21 That's not a new argument. Both sides
22 presented that discussion to Mr. Lyon. He rejected
23 it. He says the key material point is the proximity of
24 the encroaching well to the offsetting spacing unit.

25 He found it was much too speculative to try

1 to construct and hear and explain a net productive
2 acreage hearing.

3 Gentlemen, you're about to hear -- 80 percent
4 of this testimony today is going to be a net productive
5 acreage hearing.

6 You're going to see geologists with
7 diametrically opposed positions on the size, the shape,
8 the thickness, the volume of the reservoir.

9 And then we're going to have diametrically
10 opposed engineers doing their engineering calculations
11 to tell you what these numbers are.

12 We say the equity in this case is going to
13 demonstrate to you that you ought to continue to build
14 upon the order Mr. Lion entered in this case and that
15 the only way to reasonably balance the equity between
16 the parties is to affirm the existing orders.

17 So that you'll have a point of reference, I'd
18 like to share with you copies of the existing orders we
19 have, as well as the August 28, 1989, letter from the
20 Division to Mr. Carr showing him what the actual
21 producing rate is for the well.

22 With regards to the producing rates of the
23 well, the evidence will demonstrate to you that
24 adoption of the proposed producing level for the
25 Stevens well of 34 barrels a day is still an

1 appropriate rate; that notwithstanding the maximum
2 allowable for the pool, the 515 barrels a day, the
3 actual mechanics between the two wells, because the
4 Santa Fe Exploration well is only flowing at 200
5 barrels a day, in order to maintain the equity, the
6 no-flow barrier, if you will, between the two competing
7 wells for these reserves is justifiable in order to
8 offset the encroachment advantage that Curry and
9 Thornton and Stevens will enjoy to maintain the level
10 of production for their well at 34 barrels.

11 We're not judging them after the fact,
12 Gentlemen. The evidence will demonstrate for you that
13 they went into this transaction with full knowledge of
14 what the penalties were going to be.

15 They undertook the risks and the expense of
16 directionally drilling these wells to a bottom-hole
17 location so close to my client's property interest that
18 they are effectively impaired unless the penalties are
19 maintained.

20 Exxon Corporation has a significant interest
21 in the Santa Fe acreage. And we propose to present
22 technical people in support of the position that
23 maintains the current status of the orders as they are
24 now before you.

25 Thank you.

1 MR. LeMAY: Thank you, Mr. Kellahin.

2 Additional opening comments by any of the
3 attorneys?

4 If not, Mr. Carr, you may begin your case.

5 MR. STOVALL: Excuse me, Mr. Chairman, I
6 believe we need to swear the witnesses. We have not
7 sworn them.

8 MR. LeMAY: Will all those planning to give
9 testimony, please stand and raise your right hand.

10 MR. STOVALL: Any witnesses who may possibly
11 give testimony, please rise.

12 (Thereupon, the witnesses
13 were duly sworn.)

14 MR. CARR: May it please the Commission, at
15 this time we call Mr. Ahlen.

16 MR. LeMAY: Yes.

17 JACK AHLEN,
18 having been previously duly sworn, testified upon his
19 oath as follows:

20 DIRECT EXAMINATION

21 BY MR. CARR:

22 Q. Will you state your full name for the record,
23 please.

24 A. My name is Jack Ahlen.

25 Q. Mr. Ahlen, where do you reside?

1 A. Roswell, New Mexico.

2 Q. What do you do for a living?

3 A. I am a consulting geologist primarily
4 concerned with oil and gas.

5 Q. Could you summarize your educational
6 background in the field of geology for the Commission?

7 A. I received a bachelor of science degree from
8 the University of Wisconsin in 1950, a master's degree
9 from the University of Wisconsin in 1952.

10 I was employed by Gulf Oil Corporation
11 starting in 1952. I continued in their employment for
12 a little over 20 years, until 1972, at which time I
13 quit and went independent, as an independent consulting
14 geologist.

15 Q. And you have been doing that since 1972?

16 A. Yes, sir, I have.

17 Q. What percentage of your work is involved in
18 the Permian Basin?

19 A. All of it.

20 Q. Are you familiar with the Devonian reservoir
21 and the pools in that reservoir in the southeastern
22 portion of New Mexico?

23 A. Yes, sir, I am.

24 Q. Do you belong to any professional
25 associations?

1 A. I am a member of the American Association of
2 Petroleum Geologists, which I joined in 1952. I am a
3 member of the New Mexico Geological Society. I'm a
4 member of the Roswell Geological Society.

5 I have functioned and been elected treasurer
6 of the New Mexico Geological Society. I have held all
7 of the offices available in the Roswell Geological
8 Society and have been president three times.

9 Q. Have you had your work published in the field
10 of geology?

11 A. Yes, sir. I have had -- I am coauthor to an
12 article that was published in the bulletin of the
13 American Association of Petroleum Geologists.

14 The Roswell Geological Society has published
15 several cross-sections, stratigraphic cross-sections of
16 the New Mexico part of the Permian Basin, for which I
17 was chairman of the stratigraphic committee.

18 Roswell Geological Society has published five
19 volumes of the Symposium of Oil and Gas Fields of
20 Southeastern New Mexico, and in each of those I have
21 contributed from two to eight separate articles on
22 different fields in Southeastern New Mexico.

23 Q. Are you familiar with the applications filed
24 in the consolidated cases on behalf of Curry and
25 Thornton and also on behalf of Stevens Operating

1 Corporation?

2 A. Yes, sir, I am.

3 Q. Are you familiar with the North King Camp
4 Devonian Pool?

5 A. Yes, sir.

6 Q. Are you familiar with the two wells that are
7 drilled therein?

8 A. Yes, sir.

9 Q. Do you have any ownership interest in any of
10 the properties in this pool?

11 A. I do not.

12 Q. Have you studied the Devonian formation in
13 this area and prepared certain exhibits for
14 presentation to the Commission today?

15 A. Yes, I have.

16 MR. CARR: We tender Mr. Ahlen as an expert
17 witness in the field of petroleum geology.

18 MR. LeMAY: His qualifications are
19 acceptable.

20 Q. (BY MR. CARR) Mr. Ahlen, what does Curry and
21 Thornton and Stevens Operating Corporation seek in each
22 of the consolidated applications?

23 A. First, they seek approval of the nonstandard
24 160-acre spacing unit, which consists of the east half
25 of the west half of Section 9, in Township 14 South,

1 Range 29 East.

2 Secondly, we seek approval of an unorthodox
3 oil well location 1974 feet from the south line and
4 1988 feet from the west line of Section 9.

5 Thirdly, we seek approval of the directional
6 drilling of the No. 1 Deemar well.

7 And, fourthly, we seek the opportunity to
8 produce our fair share of the reserves in the pool.

9 Q. Mr. Ahlen, would you identify what has been
10 marked as your Exhibit No. 1, identify what that is and
11 review this for the Commission?

12 A. My Exhibit No. 1 was prepared for the first
13 hearing before this Commission back in February of 89.
14 You'll note the date in the lower right-hand corner in
15 the legend.

16 This is the same illustration that was used
17 at that application. It was used to illustrate the
18 lease lines, the location of the North King Camp Pool,
19 which is in Section 9 of Township 14 South, 29 East.

20 It illustrates the proration units that are
21 under consideration in the pool, the southeastern
22 corridor of Section 9, being the proration unit of
23 Santa Fe Exploration, and the east half of the west
24 half of Section 9, being the proration unit for the
25 Stevens well, the Deemar well, as well as the location

1 of other wells in the vicinity.

2 (Thereupon, Ahlen Exhibit 1
3 was identified.)

4 Q. And you have on this map the proposed
5 location. Is that the proposed location that was
6 actually being sought in the --

7 A. In the initial hearing.

8 Q. -- in the February hearing?

9 A. Yes, sir, that was proposed surface location,
10 the initial well.

11 Q. And in the east half of the west half of
12 Section 9 is the Philtex Honolulu Federal well?

13 A. That is a well that was previously drilled in
14 1961 and abandoned at that time.

15 Q. And this shows the nonstandard proration unit
16 in the east half of the west half that was approved by
17 the Examiner's order; is that correct?

18 A. That is correct.

19 Q. Are you familiar with the Division rules that
20 govern the development of the North King Camp Devonian
21 Pool?

22 A. Yes, sir, I am.

23 Q. Can you basically just summarize for the
24 Commission what they provide?

25 A. One, they provide for a 160-acre spacing

1 roughly in the form of a square, call for minimum
2 distance from the lease line of 660 feet, as well as a
3 ruling for an allowable of 515 barrels of oil per well.

4 Q. Mr. Ahlen, were you involved in the decisions
5 to propose the original unorthodox location?

6 A. For Curry?

7 Q. For Curry and Thornton.

8 A. Yes, sir, I was.

9 Q. Why was this well proposed at an unorthodox
10 as opposed to a standard location?

11 A. In the first place, the orthodox location has
12 has already been drilled, has a vertical hole to the
13 Devonian, and it was plugged and abandoned because that
14 well tested water in the Devonian formation.

15 Therefore, it was obvious that the unorthodox
16 location would have to be drilled on the other side of
17 the fault, that is the bounding faults, for the pool.

18 Q. Were you involved in the decision that was
19 made ultimately to directionally drill this well?

20 A. Yes, I was.

21 Q. Why was that decision made?

22 A. The penalty imposed by the Commission was so
23 onerous it caused significant impact on the economics.
24 And in an attempt to save money, we wanted to reenter
25 the old hole and kick the hole off at 7800 feet and

1 drill the well directionally to the east to intersect
2 the fault.

3 Q. Would you refer to what has been marked for
4 identification as your Exhibit No. 2. And I would ask
5 you to first explain to the Commission what this is and
6 then review basically what it shows.

7 A. Yes, sir. I apologize for the size. First
8 of all, this is an attempt to give you a
9 three-dimensional view of the reservoir and the
10 information that was determined by drilling -- by the
11 drilling of the wells.

12 You'll note that at the -- in the upper
13 two-thirds of the diagram we have a cross-section. It
14 is an east-west cross-section between the Santa Fe
15 Holmstrom well and the Stevens Operating Deemar well.

16 The lower one-third of the illustration is a
17 map showing the relative location of the wells on a
18 map.

19 This is -- these cross-sections are
20 superimposed on a one-inch-by-one-inch graph paper.
21 It's ten divisions per inch in each direction so that
22 each of those small squares is one-tenth of an inch.

23 Scale of the illustration is 1 inch equals
24 100 feet. This was also prepared as a true scale
25 illustration such that the vertical dimension is the

1 same as the horizontal dimension so that there would be
2 no exaggeration of the spatial relationships.

3 You'll note on the east side of the upper
4 illustration, I diagramed the lower part of the Santa
5 Fe Holmstrom well. And we are essentially looking at
6 that part of the hole below 7500 feet.

7 The wells in the area TD approximately 9900
8 feet, plus or minus 100 feet.

9 I have dropped the Holmstrom well vertically
10 from its surface location, although the deviation
11 surveys suggest it is slightly different than that,
12 being less than the statutory 5 degrees all the way
13 through the drilling of the well.

14 On the upper, in the middle of the
15 illustration is the centerline of Section 9, or the
16 joint property line, as dropped vertically.

17 On the left I illustrate the location of
18 three different bottom-hole locations, but one common
19 surface location.

20 The common surface location is the original
21 surface location of the Philtex Honolulu Federal
22 drilled back in 1961.

23 You'll note at the top of my illustration
24 there's a zigzag there. That represents the deflection
25 of the well eastward of the old Honolulu Federal well

1 at a depth of approximately 7700 feet.

2 You'll note down in the map, in the lower
3 portion, that that represents the point to the
4 northeast of the surface location of the Deemar Federal
5 that is approximately an inch to the right and
6 three-quarters of an inch to the north.

7 Q. Mr. Ahlen, will you go to this exhibit and
8 review for the Commission in detail exactly what
9 occurred when Stevens attempted to directionally drill
10 the well?

11 A. Yes, sir. You'll note that the vertical
12 holes on the left is representative of the Philtex
13 Honolulu Federal well.

14 We did not measure the Philtex below a depth
15 of 8,000 feet; therefore, I dropped it vertically to
16 the total depth of 8995, which that well was drilled
17 to.

18 At approximately 7950 we kicked the borehole
19 eastward in the old Philtex hole and started increasing
20 the rate of depth at 2 degrees per 100 feet.

21 We increased the dip to a maximum of 15
22 degrees at approximately 86 to 8800 feet.

23 At that point we were targeting for a
24 location 330 feet to the east of the surface location.
25 And we started diminishing the deviation, and we

1 dropped the hole down to approximately 5 degrees, at
2 which point we intersected the top of the Devonian
3 formation.

4 That location we were only 30 feet high to
5 the old Philtex well. Samples had no show whatsoever.
6 We were not in the oil column. We had not intersected
7 the fault, and we were not on the high side of the
8 fault.

9 At that point we plugged back to
10 approximately 8700 feet, set another whipstock, kicked
11 the hole off to the east again.

12 This time total we continued to build angle
13 to approximately 25 degrees going to the east at
14 approximately 9450 feet.

15 Samples were suggesting a fractured rock
16 system in the borehole. We could actually spot healed
17 fractures in the samples.

18 And then, again, approximately 9600 it
19 appeared as though we were passing through a fracture
20 zone.

21 At that point we decided to turn the well
22 down. And before we could turn the well to a vertical
23 position, we had intersected the Devonian way high on
24 the upside of the fault.

25 Upon examining the electrical logs, I noted

1 missing section in our second sidetrack hole at a depth
2 of about 9,460 feet.

3 Further down the hole, I noted missing
4 section at a depth of 9,585 feet. And then I picked
5 the top of the Devonian formation at a depth of 9715
6 feet.

7 We carried the well to a total depth of 9,754
8 feet, which was 40 feet into the Devonian formation.

9 There was abundant porosity in evidence in
10 samples. The lithology was dolomite and chert. It
11 appeared to be vuggy and intergranular porosity. It
12 had a very good oil and gas stain. It cut and
13 fluoresced and was a classic show in the Devonian
14 formation.

15 We stopped the bottom of the hole before we
16 had intersected the top datum in the Holmstrom well.
17 In other words, we were shallower structurally than the
18 top of the Devonian formation in the Holmstrom well by
19 approximately 15 feet after correcting for measured
20 depth versus true vertical depth.

21 Q. Mr. Ahlen, you were involved with Stevens
22 during the efforts to directionally drill this well, I
23 believe you stated.

24 A. Yes, I was.

25 Q. Do you know if the Oil Conservation Division

1 was kept advised of your changes in plans as you
2 continued to drill?

3 A. Yes, sir. We notified the Oil Conservation
4 Commission, and they gave permission to proceed to
5 attempt to cross the fault to the other side in this
6 instance.

7 Q. I believe you testified there were two
8 missing sections in the logging. Were those indicative
9 of the faults you encountered?

10 A. Yes, they are.

11 Q. If I look at this exhibit, it appears there
12 are two faults depicted both in the northern plat and
13 also in the plat to the south; is that correct?

14 A. That is correct.

15 (Thereupon, Ahlen Exhibit No. 2
16 was identified.)

17 Q. Are both of those faults significant in terms
18 of defining the western boundary of the reservoir?

19 A. Only one of those faults is significant in
20 determining the western limits of the reservoir.

21 One fault cut out approximately 40 feet of
22 section. The other well, the other fault cut out
23 approximately 120 to 140 feet of section.

24 I have classified the one that cut out the
25 most section as the primary fault, the one that cut out

1 only 40 feet as a secondary fault and is a secondary
2 result of the primary structural deformation in the
3 area.

4 Q. Now, based on the information you obtained as
5 a result of the drilling of the No. 1 Deemar, are you
6 now more familiar with the reservoir geometry?

7 A. I most certainly am.

8 Q. How is that?

9 A. Primarily because we have drilled two
10 additional holes in the area of the reservoir. We have
11 a significant amount of information available on the
12 electrical logs of the wells. I can locate the point
13 in space where we have intersected two faults.

14 Also, have information from the Formation
15 MicroScanner log, which is essentially a borehole
16 imaging device where I can see the faults.

17 I can see evidence of the faults in those
18 logs. I can determine dip and strike of the faults as
19 well as dip and strike of the beds.

20 And they help significantly in finding the
21 reservoir geometry.

22 Q. What about the oil-water contact; how did you
23 determine that?

24 A. The oil-water contact, which I show on this
25 illustration is at a datum of minus 6,055, that datum

1 is approximately halfway between the lowest producing
2 oil and the highest tested water.

3 Now, due to the fact that water being
4 produced from the Holmstrom well is probably slightly
5 higher than that, and so I have adjusted the oil-water
6 contact 10 feet higher from the exact midpoint between
7 water measured on the east side of the fault system.

8 Q. Do you have anything further to present in
9 conjunction with Exhibit No. 2?

10 A. Yes, sir. The highest water that we have
11 been able to determine on the west side of the fault is
12 a datum of minus 6,080.

13 Half the distance between minus 6,080 and the
14 datum of the lowest oil, being minus 6,016, would place
15 the oil-water contact significantly higher than I have
16 placed it in this illustration.

17 The bottom half of this illustration shows
18 some of the parameters that I have determined from the
19 logs that we have run in the well.

20 Eastman Christensen has provided data as to
21 the location of the wellbores that we drilled.

22 You'll note in the bottom illustration that
23 that borehole wanders initially to the northeast, then
24 it swings to the northwest, and then it swings back to
25 the northeast.

1 And then you'll note the point where we
2 kicked off the directional holes.

3 The deviation of the borehole down to a depth
4 of 5,000 feet was to the major -- that part of the
5 illustration that shows the borehole going to the north
6 where there's a violent twist to the borehole to the
7 east. That's at a depth of approximately 5,000 feet.

8 And so the borehole went from 5,000 feet to
9 about 7900 feet. It traveled more horizontal distance
10 in that direction than just 3,000 feet than it had
11 traveled in the previous 5,000 feet.

12 I believe that the borehole was migrating
13 up-dip at that particular time, and probably the
14 bottom-hole location of the old Philtex is somewhat
15 farther to the north and east of the location that we
16 measured.

17 I show dip and strike symbols on this bottom
18 illustration. In the bottom of our hole, at the top of
19 Devonian formation, and in the Woodford shale
20 immediately above it, we measured bedding dips from 4
21 degrees to 8 degrees.

22 And the frequency diagram showed that the
23 dominant direction was 105 degrees azimuth, or slightly
24 to the east southeast.

25 Dips measured in our well above both faults

1 are illustrated on the left bottom. Dips measuring
2 from 7 degrees to 15 degrees were seen at average
3 azimuth of 265 degrees azimuth, or slightly south and
4 directly west.

5 In the fragment of formation between the two
6 faults, there were two principal directions of dip, one
7 at 300 degrees azimuth and the other at 330 degrees
8 azimuth. And the dip varied from 8 degrees to 16
9 degrees.

10 We were able to see the faults with the
11 Formation MicroScanner. The primary fault I saw
12 dipping at a -- at 67 to 85 degrees at an average
13 azimuth of 260 degrees.

14 And the secondary fault I saw dipping at 69
15 to 90 degrees at an azimuth -- and the strike of that
16 fault was at an azimuth of 220 degrees.

17 The average bed dip in the reservoir block
18 was approximately 6 degrees where we measured it when
19 we encountered the reservoir block.

20 And an illustration of that is the dashed
21 line that I show going to the 100 degrees -- 105
22 degrees east azimuth.

23 And I have noted where one might contour
24 5910, 5920, 5930, and so forth, and that is very close
25 to the datum as measured in the Holmstrom well of minus

1 5956.

2 I have drawn a 150-foot diameter circle
3 around the Santa Fe well. That would be the total
4 migration of that wellbore if all of the dips were in
5 one direction.

6 I do not believe that it was an all-in-one
7 direction in that instance. It would be very similar
8 to the way the old Philtex well did. It wandered
9 around initially, and then it probably migrated
10 somewhat to the west.

11 So I would suggest that the bottom-hole
12 location of the Holmstrom well is somewhat west of the
13 surface location.

14 Q. Anything further on Exhibit 2?

15 A. I cannot think of it unless the Commission
16 has some questions.

17 Q. All right, Mr. Ahlen, let's refer to what has
18 been marked for identification as Ahlen Exhibit No. 3.

19 That is the exhibit that is on the easel, and
20 however it's easiest for you to work with it -- if you
21 want to work with another copy that I haven't messed
22 up, that's fine.

23 But I'd like you to first identify for the
24 Commission what this is, how it's constructed, and what
25 it's intended to show.

1 A. Exhibit No. 3 is an enlargement of a portion
2 of Exhibit 2. It is primarily designed to show the
3 reservoir characteristics and those things that we
4 needed to talk about today concerning reservoir
5 volumes.

6 This scale here is 1 -- 5 inches to 100 feet
7 rather than the 1 inch to the 100 feet that we had on
8 the previous illustration.

9 I illustrate the wellbores with electric
10 logs. And I have laid the electric logs on this
11 cross-section at approximately the angle that they are
12 intersecting the earth in this immediate vicinity.

13 In other words, our sidetrack hole No. 2 is
14 laid in at an angle of 25 degrees.

15 Our sidetrack hole No. 1 is laid in at
16 approximately 6 degrees.

17 And I have presumed that there is a slight
18 deviation on the Philtex well and within the limits of
19 the deviation survey on the Holmstrom well as well.

20 And the index map is located in the center,
21 the upper center, which Mr. Carr drew the fat red
22 line.

23 We are located in Section 9 of 14 South, 29
24 East again.

25 Line of cross-section is illustrated on here

1 with a W on the left or west, and an E on the right as
2 the east. And the line goes directly through each of
3 the four wells that are present in the area.

4 The section that I illustrate the faults with
5 a heavy line through the center of the well's log at
6 this position, that's the secondary fault, the upper
7 one. The primary fault is at a depth of 9585.

8 Had I shown the faults going between the two
9 wells, the section that is missing is located between
10 the depth 9450 and 9500 in the first sidetrack hole.

11 Second section that is missing is between
12 9600 and 9740 in the first sidetrack hole.

13 None of those sediments are present in the
14 second sidetrack hole, and they are completely missing
15 at that particular point.

16 And I will show you later the traces of those
17 faults as illustrated on what is called a Formation
18 MicroScanner log, which was run by Schlumberger.

19 I illustrate our casing, which is set on the
20 bottom of the hole. Our perforations are approximately
21 13 feet thick, 3 feet from the top of the Devonian
22 formation, down to 16 feet below the top of the
23 formation.

24 (Thereupon, Ahlen Exhibit No. 3
25 was identified.)

1 Q. Those are all indicated and drawn on --

2 A. Heavy lines on the cross-section, yes, sir.

3 Q. And on the log for the No. 2 sidetrack?

4 A. Yes, sir. I also indicate on the Holmstrom
5 well, that log, their casing was set 30 feet into the
6 Devonian formation, and cement was circulated.

7 And they are completed in the open hole below
8 that casing at a depth -- to a depth of -- and I didn't
9 write it on here. I wrote it on this one. To a depth
10 of 9758.

11 I have illustrated on here also the top of
12 the Devonian formation; I have colored it blue.

13 In both the old Philtex well, as well as our
14 sidetrack well, the old Philtex well tested water in
15 the Devonian formation quite near the top of the
16 formation.

17 When we drilled into the Devonian formation
18 in the first sidetrack hole, there were absolutely no
19 shows of oil and gas in those samples.

20 And so I show water to be present in the
21 Devonian formation in the sidetrack hole No. 2. That
22 is at a datum of minus 6,080.

23 The Holmstrom well is producing oil down to a
24 datum of minus 6,013.

25 I have estimated the oil-water contact at

1 approximately 10 feet higher than half the distance
2 between proven water on the east side of the bounding
3 fault.

4 The Holmstrom No. 2 well that is illustrated
5 on Exhibit No. 1 was drilled into the Devonian
6 formation at a datum of minus 6113, and it drill-stem
7 tested water in the very top of it.

8 Q. And that Holmstrom No. 2 is located in the
9 northwest?

10 A. Directly south of the Holmstrom No. 1 at one
11 legal location.

12 Q. So it's in the northwest of the northeast of
13 16?

14 A. Yes, sir, that is correct.

15 Now, since the Holmstrom well is currently
16 producing water, and it started producing water in the
17 month of February, I have moved my former estimate of
18 the oil-water contact from minus 6,075 to my current
19 estimate at minus 6,055.

20 And I think that is a judicious use of that
21 interpretation.

22 Q. And both wells you're using are in fact on
23 the east side of the faults?

24 A. Yes, sir.

25 Now, if I were to choose the halfway mark

1 between the highest proven water on all sides of the
2 fault, the halfway mark would be 7 feet higher than I
3 currently have made the estimate.

4 I have colored this illustration also. The
5 water is indicated by the color blue at the oil-water
6 contact.

7 Immediately above the blue is the proven
8 producing reserves, both in the sidetrack hole No. 2 of
9 the Deemar and in the Holmstrom well. That is the
10 producing interval, the proven reserves.

11 Q. They're outlined in what appears to be a
12 dark --

13 A. A dark green color, yes. They are outlined
14 in a dark green color.

15 They also extend off this cross-section to
16 the east to the wedge edge where the structure contours
17 on top of the Devonian intersect the oil-water
18 contact. And that is suggested by the colors going off
19 of the illustration.

20 There is a 30-foot section that is not
21 currently producing because casing is set through that
22 interval in the Holmstrom well, and it has not been
23 perforated or treated.

24 And it is proven reserves that are not yet
25 producing.

1 Q. That is outlined in what color?

2 A. That is outlined in a lighter green color.

3 Above that in this illustration is an
4 interval that I will call attic oil, attic reservoir.
5 It is in the yellow-green color.

6 It is above the datum of the Holmstrom well,
7 and the Holmstrom well is not capable of producing the
8 oil in that part of the reservoir.

9 There is also a light yellowish-green color
10 to the west of our second sidetrack hole.

11 First of all, we perforated 3 feet from the
12 top of the formation so we have proved reserves that we
13 are not producing.

14 And then that part of the reservoir that
15 extends right up to the fault we cannot produce
16 either.

17 We would have to drill a well right on the
18 fault itself in order to produce those reserves.

19 Q. How many feet in the Holmstrom No. 1 are
20 actually behind-the-pipe, not open in the Devonian
21 formation?

22 A. Thirty feet.

23 Q. Do you have anything further to add to
24 Exhibit No. 3?

25 A. I can't think of anything.

1 Q. Mr. Ahlen, would you now refer to Exhibit No.
2 4, a smaller exhibit --

3 A. Yes, sir.

4 Q. -- and identify the structure. Identify this
5 exhibit and the interval that is mapped, please.

6 A. This is Exhibit No. 4.

7 Q. Just a minute. Okay.

8 A. Exhibit No. 4 is a Devonian structure contour
9 map in the North King Camp Pool.

10 We are, again, are looking at Section 9 of
11 1429. The boreholes are illustrated there in a
12 straight line east-west, the surface location of the
13 Philtex well, the bottom-hole location of the sidetrack
14 No. 1, the bottom-hole location of sidetrack No. 2, and
15 the surface location of the Holmstrom well.

16 On this map I show the Devonian datums in
17 bold print such that the old Philtex well has a datum
18 of minus 6105.

19 Sidetrack hole has a sub-C datum of 6,080.
20 Sidetrack hole No. 2 has a sub-C datum of minus 5901.

21 And the Holmstrom well has a sub-C datum of
22 minus 5956.

23 You will note that we intersected the top of
24 the reservoir 55 feet high to the Holmstrom well.

25 I've also noted the top of pay in the second

1 sidetrack hole as minus 9504. And the top of pay in
2 the Holmstrom well, currently producing pay, I would
3 need to add, minus 5986.

4 That considers the 30 feet of casing that is
5 set into the top of Devonian.

6 I have also shown on this illustration the
7 oil-water contact at a datum of minus 6,055. And that
8 is my best estimate as to the location of the oil-water
9 contact.

10 I show the dip as measured by the logs that
11 was used in contouring this map on the fault block as 6
12 degrees at 105 degrees azimuth.

13 I show the dip going west as 8 degrees at 265
14 degrees azimuth.

15 I show the dip and the strike directions of
16 the primary fault to be 260 degrees measured at the
17 wellbore for the primary fault.

18 And I am -- and the secondary fault has an
19 azimuth -- the dip has an azimuth of 220 degrees.

20 (Thereupon, Ahlen Exhibit No. 4
21 was identified.)

22 Q. Mr. Ahlen, if I look at your interpretation,
23 the North King Camp Devonian Pool lies between the
24 fault depicted on this exhibit on the west and the
25 oil-water contact on the east; is that correct?

1 A. That is correct.

2 Q. Based on your interpretation, is there any
3 proration unit in this pool that would be completely
4 underlying with productive acreage?

5 A. No, sir.

6 Q. Would you identify what has been marked as
7 your Exhibit No. 5, please.

8 A. Yes, sir. Exhibit No. 5 is a Survey
9 Certification Sheet on top from Eastman Christensen,
10 which certifies that Mr. Tim Stephens, who is an
11 employee of Eastman Christensen Company, did on June
12 23, 1989, do a survey of the borehole.

13 And he certifies that the calculations were
14 obtained and performed by him according to standards
15 and procedures as set forth by Eastman Christensen,
16 Inc., and is true and correct to the best of his
17 knowledge.

18 (Thereupon, Ahlen Exhibit No. 5
19 was identified.)

20 Q. Is this the actual record of survey that you
21 received from Eastman on the sidetracking of Deemar No.
22 1 well?

23 A. Yes, sir, it is.

24 Q. Okay. And is this the standard survey that
25 you would receive from the actual -- the company that

1 actually did the drilling for you or the surveying for
2 you?

3 A. Yes, it is that type of a survey.

4 Q. What does this confirm?

5 A. It was used in constructing my Exhibit No. 2
6 and Exhibit No. 3. And it gives the exact location of
7 the borehole, the geometry of the borehole.

8 Q. And is this information that you have
9 utilized in preparing prior exhibits?

10 A. Yes, sir.

11 Q. Is there anything else you want to review
12 with this exhibit?

13 A. Yes. I'd like to review some of the things
14 that are covered in this particular survey.

15 If you'll turn to the third page, this
16 particular page is the page that refers to the first
17 sidetrack hole from the point where the hole was kicked
18 off at approximately 7900 feet to its total depth.

19 And let me explain the chart in detail then
20 we won't have to do it anymore.

21 On the far left is a column that shows the
22 measured depth at which these parameters were
23 determined.

24 The second column is the drift angle. Third
25 column is the drift direction. Third column is the

1 course length; that's the distance between different
2 determinations.

3 The next column is true vertical depth, and
4 one can compare true vertical depth versus measured
5 depth in this particular column.

6 The next two columns are the rectangular
7 coordinates giving the directions from the surface
8 location of the Deemar.

9 The third column is -- the last column on the
10 extreme right is the dogleg severity.

11 You will note at the last figure, the deepest
12 recorded figure at 9899 feet measured depth, the true
13 vertical depth was 9874.16 feet, or approximately 15
14 feet shallower.

15 And the rectangular coordinates were 34.71
16 feet north and 352.83 feet east of the surface
17 location.

18 That's where I have located on our maps and
19 the illustration cross-sections and maps.

20 The next sheet starts from the surface of the
21 ground, and in 100-foot intervals it gives measured
22 depth and all of the information that I have previously
23 discussed.

24 I'd like to go to the last page of that and
25 summarize our location.

1 The last survey taken at a depth of 9739
2 measured depth was at a true vertical depth of 9,649.47
3 feet, approximately 90 feet higher datum-wise, at a
4 location that was 26.69 feet south and 577.57 feet east
5 of the surface location.

6 The method of calculation for Eastman
7 Christensen is utilization of the radius of curvature
8 method for determining their position.

9 Q. Mr. Ahlen, would you now refer to what has
10 been marked as your Exhibit No. 6 and identify this,
11 please.

12 A. Exhibit No. 6 is a publication by
13 Schlumberger Oil Well Surveying Corporation.

14 It is a reprint from The Technical Review, an
15 industry journal, that was published in January of
16 1989.

17 I am using this advertisement as an
18 illustration of what a Formation MicroScanner can do.

19 It is actually a downhole or a borehole
20 imaging system that allows you to get a much better
21 picture of what is going on in the subsurface.

22 (Thereupon, Ahlen Exhibit No. 6
23 was marked for identification.)

24 Q. If you go to the center section of that and
25 then just explain to the Commission basically what a

1 Formation MicroScanner is and how it works.

2 A. Yes, sir. First page is actually numbered
3 No. 16, apparently it was page 16 in The Technical
4 Review.

5 On the left-hand page illustrates two
6 different types of pads that are used for the Formation
7 MicroScanner.

8 Those little dots that you see there are
9 metallic contacts with the formation.

10 Current is measured between those spots on a
11 large metallic pad on a caliper arm that is pressed
12 against the formation.

13 Those dots are approximately 3/8 of an inch
14 across. They make a multitude of electrical
15 measurements between each of the -- each of the dots or
16 each of the spots or the contacts with the formation.

17 The tool itself consists of four caliper arms
18 with four of these tools attached to them that are
19 pressed against the borehole.

20 These caliper arms give you a caliper of the
21 hole while these electrical measurements are being
22 made. They also measure the electrical resistivity of
23 the beds in minute detail.

24 All of this is recorded on magnetic tape and
25 sent to the Schlumberger laboratory where it is put on

1 the computer.

2 And images are generated such that you can
3 see the image of the borehole immediately adjacent to
4 these pads.

5 The coverage of borehole is approximately 40
6 to 45 percent of the surface of the borehole that's
7 covered in this imaging.

8 And on the next page you can see an
9 illustration of what might be seen of the borehole.
10 The alternate bands of dark and light are actually
11 beds.

12 Now, there are better illustrations. The
13 next page, on page No. 19, the presentation is actually
14 in color.

15 The eye is much better able to discriminate
16 colors than it is black and white. And so the
17 presentation is put up in color on a color TV screen,
18 and the geologist and the Schlumberger engineer
19 together interpret bed contacts.

20 In the illustration shown here on page 19 in
21 the upper right-hand corner, it is quite simple for a
22 geologist or any knowledgeable technician to pick bed
23 boundaries.

24 The operator uses a cursor, places a mark on
25 each of the bed boundaries that he decides are

1 definitive in interpreting the structure in an area.

2 Those spots are entered into the computer,
3 and dip amount and direction is computed by the
4 machinery on the spot.

5 And one can make the interpretation, make the
6 calculations in a relatively short period. And you can
7 make a significant number of calculations in a very
8 short period of time.

9 This system was utilized in arriving at the
10 reservoir parameters we have in this well.

11 Q. Now, Mr. Ahlen, if you'll go to Exhibit No.
12 7, this is a set of plots or exhibits that are prepared
13 in the MicroScanner process.

14 The eye, you stated, is more attuned to
15 color. These are in black in white. There is one
16 color set. Has that been provided to the Commission?

17 A. Does anyone have a color set?

18 Q. No. It's in my briefcase.

19 A. I do not have them here in my briefcase.

20 MR. CARR: May it please the Commission,
21 following the hearing -- we do have the original color
22 sets of each of these -- and we will make them
23 available to the Commission.

24 Q. (BY MR. CARR) Utilizing the black and white
25 copies, Mr. Ahlen, would you first identify Exhibit No.

1 7, and then if we could sort of quickly go through
2 these and explain to the Commission how they were
3 utilized and what they showed?

4 A. Yes, sir. My Exhibit No. 7 consists of five
5 pages. They are Xerox copies of the colored
6 illustrations that are provided by Schlumberger.

7 The one on top is the Formation MicroScanner
8 illustration at the top of the Devonian formation and
9 the bottom of the Woodford shale formation.

10 You will note the places that I have picked
11 the dip and strike and the correlations that I have
12 utilized in arriving at the dip and strike numbers.

13 The top of the Devonian formation is actually
14 at a depth of 9715.

15 And the very light colored formation there is
16 the highly resistive part of the Devonian formation.

17 The dark spots are the conductive or low
18 resistivity parts of Woodford shale. You can see that
19 the Woodford shale is very thinly bedded.

20 And I have picked tops and bottoms of hard
21 reservoir members -- excuse me -- of hard and soft
22 formation members.

23 You'll note that the dip, the amount of dip
24 is variable on there, and I have chosen 6 degrees to be
25 the average dip of all of those individual segments.

1 There is a frequency diagram on the right.
2 The direction of the most frequent dip is 105 degrees.

3 The second illustration is from above the two
4 faults. You can see where I picked the dip segments
5 there.

6 You can see the amount of the dip, and you
7 can see the azimuth at each one of those and the
8 frequency diagram that illustrates the most frequent
9 direction of dip being 265 degrees, almost west.

10 The third page is an illustration of the beds
11 between the two faults. You can see that the dip angle
12 is variable there, all the way from 8 degrees to a
13 maximum of 16 degrees.

14 You can see that the frequency diagram shows
15 it to be slightly bimodal in that there are two most
16 frequent directions.

17 The next illustration is the primary fault
18 zone. This is the main fault zone.

19 You'll notice that there are three
20 correlations there: one at 68; one at 79; and one at
21 85 degrees dip at an azimuth of 243 degrees, 237, and
22 288 degrees.

23 The most frequent direction is approximately
24 250 degrees. I have chosen 260 as a compromise between
25 the three.

1 The last page shows four fractures in the
2 upper fracture. The angle of dip is 86, 89, 69, and 90
3 degrees, in that order, from top to bottom, and the
4 direction is 221, 218, 182, and 220.

5 That is -- that direction is quite well
6 controlled by the frequency diagram.

7 (Thereupon, Ahlen Exhibit No. 7
8 was identified.)

9 Q. Mr. Ahlen, how was that information utilized
10 by you?

11 A. I utilized all of the information that I have
12 discussed previously to arrive at what I felt was the
13 best geometry configuration of the reservoir.

14 Q. How would you characterize the extent of the
15 data that is available on this pool?

16 A. We have significantly greater information,
17 higher quality information available now than we had
18 the previous hearings, primarily because we've drilled
19 two holes.

20 We have good borehole data that is objective
21 in nature, and I have applied it in what I feel is a
22 conservative manner to make an interpretation.

23 Q. In your opinion, do you have sufficient
24 information to make an accurate interpretation of this
25 reservoir within the discipline that you practice in

1 geology?

2 A. Yes, sir, I have considerably more data
3 available to me here than I have had in many projects
4 in the past.

5 Q. What basic conclusions have you reached based
6 on your study of this pool?

7 A. I have reached a conclusion that Stevens at L
8 have considerable reserves on their part of the
9 reservoir.

10 Q. In your opinion, will granting the
11 application in each of the two cases that we have
12 consolidated, the one for Curry and Thornton, the other
13 for Stevens -- will granting those applications be in
14 the best interest of conservation and prevention of
15 waste and protection of correlative rights?

16 A. Yes, sir, it will.

17 Q. Will Curry and Thornton also call engineering
18 witnesses to discuss the reservoir reserve calculations
19 and other engineering factors?

20 A. Yes, sir, they will.

21 Q. Were Exhibits 1 through 3 prepared by you?

22 A. 1 through 7 were prepared by me.

23 Q. 4 through 7 of those exhibits are materials
24 that were prepared by service companies employed by you
25 and with whom you work?

1 A. Yes, sir.

2 MR. CARR: At this time, may it please the
3 Commission, we will offer into evidence Mr. Ahlen's
4 Exhibits 1 through 7.

5 (Thereupon, Ahlen Exhibits 1-7
6 were offered into evidence.)

7 MR. LeMAY: Without objection Exhibits 1
8 through 7 will be admitted into evidence.

9 (Thereupon, Ahlen Exhibit 1-7
10 were admitted into evidence.)

11 MR. CARR: That concludes my direct
12 examination of Mr. Ahlen.

13 MR. LeMAY: We will take a 15-minute break.
14 Be back at quarter to 11:00.

15 Do you have your crosses coordinated, or are
16 each one of you going to take a shot at it?

17 MR. KELLAHIN: Mr. Chairman, we've never
18 coordinated anything in our lives. I don't suspect we
19 can start that now.

20 (Thereupon, a recess was taken.)

21 MR. LeMAY: We shall reconvene.

22 Remind the witness he is still under oath.
23 You're through with the witness, Mr. Carr?

24 MR. CARR: Yes, I am.

25 MR. LeMAY: Mr. Padilla, your turn.

CROSS-EXAMINATION

BY MR. PADILLA:

Q. Mr. Ahlen, let's, first of all, turn to your Exhibit No. 2, if you would, please.

A. Yes, sir.

Q. You testified, Mr. Ahlen, of the number of distances. As I understand, you've only testified about the distance horizontally from the Honolulu wellbore to the actual bottom-hole location that was encountered in the second whipstock; is that correct?

A. Yes, sir.

Q. In this Exhibit No. 2, can you tell us what the distance, horizontal distance, between the Honolulu vertical wellbore and the first bottom-hole location?

A. Well, first of all, one has to presume the location of the old Philtex hole. I made the presumption that it dropped vertically from our last survey at approximately 7800 feet.

That's probably in error.

Q. If it would swing, where would it swing, towards the -- toward the fault or away from the fault?

A. It would continue in an east northeasterly direction, as indicated by my map on the lower left of this illustration.

Q. What's your information as to where that

1 actual bottom-hole location on the vertical hole is?

2 A. I have no such information because no one has
3 ever measured the bottom of the Philtex hole.

4 Q. In relation to the property line, do you know
5 what the distance between the property line and the
6 second whipstock is?

7 A. Yes, sir.

8 Q. Which whipstock?

9 A. The first whipstock. One can count it off in
10 squares. That's why I put it on graph paper.

11 The large squares are 100 feet; the small
12 squares are 10 feet. So I will count that for you, if
13 you would like me to.

14 Q. Okay.

15 A. Okay. There's 9 in that first portion going
16 west from the property line, 90 feet. And 190 feet,
17 290 feet, 300 feet.

18 We are approximately 300 feet from the
19 property line in the first sidetrack hole. We were
20 aiming at 330 feet, but we missed it.

21 Q. And on the second whipstock, what is the
22 distance from the property line to the actual
23 bottom-hole location?

24 A. From the bottom of the hole or to the top of
25 formation?

1 Q. From the bottom of the hole.

2 A. From the bottom of the hole, it is 10, 20,
3 30, 40, 50, 60, approximately 65 to 70 feet.

4 Q. How does that vary from the standard location
5 of 660 feet from the property line? What is the
6 percentage of closure that you have with regard to the
7 actual bottom-hole location?

8 A. You mean the percentage of 60 to 660?

9 Q. Yes, sir.

10 A. That is about 10 percent.

11 Q. And the deviation from a standard location is
12 about 90 percent then?

13 A. If that's what you're interested in.

14 Q. What significance in terms of the top of the
15 structure does the bottom-hole location on the second
16 whipstock, the actual well that you have now, in terms
17 of structure?

18 A. I don't understand that question, sir.

19 Q. In terms of the capability of production from
20 the Devonian formation, how is this well able to
21 recover the fair and equitable share of hydrocarbons
22 for Curry and Thornton and Stevens?

23 A. Okay. The Devonian formation that was
24 penetrated as porosity in the upper -- well, throughout
25 the 40 feet of penetration, there is good porosity

1 starting 3 feet from the top to approximately 15 feet
2 from the top of the formation.

3 Then there's another zone of porosity that we
4 did not perforate that's in the lower part of the hole
5 that was penetrated.

6 Q. How far down did you go beyond the actual
7 perforations?

8 A. We drilled 40 feet into the Devonian
9 formation in the hole, and we set casing on bottom.

10 So the bottom of the hole is approximately 25
11 feet deeper than we perforated.

12 Q. You say you have good porosity in this, in
13 the perforations; is that correct?

14 A. Yes, sir.

15 Q. Now, going to your Exhibit No. 4, is this No.
16 4?

17 A. Yes, sir, it's -- no. It's No. 3.

18 Q. How will that bottom-hole perforation of the
19 well enable Stevens to recover oil in what you call the
20 attic or the top of structure of Devonian inside the
21 Santa Fe property line?

22 A. Penetration of the bullets is less than a
23 foot, and so our penetration will go within a foot plus
24 whatever acid treatment. Is that what you're asking?

25 Q. Yes, sir.

1 A. Okay. And that will allow us to produce the
2 oil that's in the vicinity of the wellbore.

3 Q. How far away from the wellbore will you
4 drain? Do you have any idea?

5 A. We could drain the whole reservoir with that
6 one well just as the Holmstrom well could drain the
7 whole reservoir with one well.

8 Q. And you're saying the porosity and
9 permeability is good enough to do that?

10 A. Both wells have that capability.

11 Q. And you're saying that -- well, you could
12 actually run an interference test and have some
13 reaction if you conducted tests between the two wells?

14 A. No. I think Santa Fe attempted to do that
15 and illustrate that in the first hearing, and it was
16 said that no barriers were found within 660 feet --
17 excuse me -- over 1,000 feet.

18 And that was in error because the fault that
19 we have identified is less than that distance.

20 Q. And at that time Santa Fe was projecting the
21 fault to be further to the west; isn't that correct?

22 A. Yes, sir.

23 Q. And you, yourself, projected that well --
24 that fault to be further to the west --

25 A. Yes, sir.

1 Q. -- when you testified before?

2 A. I certainly did before on the basis of
3 seismic information.

4 Q. Have you conducted any further seismic test
5 to corroborate your testimony as to the -- with regard
6 to the imaging data you had that you presented before?

7 A. We conducted a seismic survey that ran
8 east-west across our property, yes, sir, before we
9 drilled the well.

10 Q. And did you present any of that data here
11 today?

12 A. I did not.

13 Q. What did that data show?

14 A. It showed a seismic picture. It showed a
15 structural anomaly between which was occupied by the
16 location of the Holmstrom well, as well as terminating
17 very close to the old Deemar well.

18 And our seismologist interpreted a fault that
19 was located approximately 100 to 200 feet to the east
20 of the old Philtex well.

21 Q. Was that seismic data used to drill the first
22 whipstock?

23 A. Yes, sir.

24 Q. And that seismic data was inaccurate?

25 A. That is what I am saying, yes, sir.

1 Q. You really didn't know the location of the
2 fault that you actually drilled?

3 A. That is absolutely correct.

4 Q. When you were drilling the second whipstock,
5 you testified that you asked permission from the Oil
6 Conservation Division to go through that fault?

7 A. Yes, sir.

8 Q. Who did you ask?

9 A. The Commission.

10 Q. Mr. LeMay?

11 A. Yes, sir. I did not personally; the operator
12 did.

13 Q. And --

14 A. The Commission was kept informed at all times
15 as to what we were doing and how we were doing it.

16 Q. Now, in terms of the first directional
17 drilling permission that you had, you were going to
18 bottom-hole it approximately 165 feet from the property
19 line, were you not?

20 A. Yes, sir, that was the first hearing. Our
21 surface location, 165 feet straight down, right.

22 Q. But in requesting a directional drilling
23 permission, you actually were basing your request for
24 directional drilling on the basis that you would
25 bottom-hole at 165 feet from the property line?

1 A. We made provision for inaccuracy in the
2 seismic surveys.

3 Q. I said approximate.

4 A. Yes, sir.

5 Q. Now, when you take this imaging information,
6 that only reads what's inside the bullhorn, inside the
7 wellbore; isn't that true?

8 A. That is correct.

9 Q. How far beyond the wellbore, if any, does
10 this imaging information go?

11 A. It's an extrapolation no matter which way you
12 do it, depending upon whether you're talking about bed
13 boundaries for dip or fracture analysis, the dip and
14 azimuth of the fractures.

15 You're only reading the borehole, but it is a
16 good scientific method of extrapolating known data.

17 You project it to your personal limit of what
18 you think is an acceptable extrapolation.

19 Q. Let me see --

20 A. To do otherwise would be rather capricious.

21 Q. Isn't it capricious not to use other
22 wellbores to actually corroborate your well data to
23 actually confirm your picture as you've drawn, say, on
24 your Exhibit No. 4?

25 A. It would be capricious not to use other

1 wellbores, yes, sir.

2 Are you suggesting that I did not?

3 Q. Yes, sir, I am. You only used one wellbore;
4 isn't that correct?

5 A. There is only one wellbore that penetrated
6 the fault.

7 Q. So that increases the judgment call that you
8 had by using only one that you actually made.

9 Your interpretation is not corroborated by
10 any other data other than what you actually found
11 inside that wellbore; isn't that true?

12 A. It's corroborated by an infinite number of
13 data points within the borehole.

14 Q. But it's confined to what is actually inside
15 a single wellbore is what I'm asking you.

16 A. Okay. But it's supplemented by the other
17 holes that are drilled in the vicinity.

18 Q. Which other holes, Mr. --

19 A. The Holmstrom well, the first sidetrack hole,
20 the Philtex well, as well as the Holmstrom No. 2 well.

21 Q. Are you saying --

22 A. All of the data had been integrated utilizing
23 borehole imaging data as a supplement to the wellhead
24 tops.

25 Q. You actually used the -- did you reenter

1 Holmstrom No. 2 to scan, to put this tool down the
2 Holmstrom No. 2 to corroborate what you found in the
3 one well?

4 A. Did you really intend to ask that question,
5 sir?

6 Q. Yes, sir.

7 A. That we reentered the Holmstrom 2?

8 Q. I asked whether you reentered the --

9 A. We had no right to enter the Holmstrom well
10 without seeking permission from the operator.

11 Q. In terms of positioning the fault, how can
12 you actually --

13 A. There's no evidence of fault in the Holmstrom
14 No. 2 well.

15 Q. In terms of the limits of the reservoir, how
16 can you define the reservoir limits by entering one
17 well?

18 A. Utilizing all of the data that's available
19 and my own intuition as to the geometry of reservoirs
20 in this part of Chaves County.

21 Q. What other reservoirs did you take into
22 consideration?

23 A. I have studied all of the reservoirs in
24 Chaves County in the Devonian formation.

25 Q. Are those large reservoirs?

1 A. No, sir, they're small.

2 Q. Now, let me refer you to your Exhibit No. 4
3 and ask you, sir, how you drew those contour lines to
4 the east. What data did you use to draw those lines?

5 A. We have a seismic map, the interpretation of
6 our seismologist that worked our seismic information,
7 as well as our previous exhibits, as well as the
8 exhibits submitted by Santa Fe Imaging -- Exploration.
9 Excuse me.

10 Q. You have no well control to the north, do
11 you?

12 A. No, sir, not for several miles.

13 Q. Is this exhibit drawn to scale, Mr. Ahlen?

14 A. It is intended to be, if it isn't. Yes, sir,
15 it is to scale, except for the wellbores.

16 If the spots on here were to true scale, you
17 couldn't see them.

18 Q. If the spots were to true scale, in fact, you
19 probably have that wellbore very close to the property
20 line, wouldn't you?

21 A. Off 65 feet.

22 Q. But on this particular scale it would be
23 almost superimposed on the property line, wouldn't it?

24 A. Depends on how wide you draw the lines.

25 Q. Well --

1 A. No, sir, this is to scale on this map.

2 Q. I don't want to quibble with you, Mr. Ahlen.
3 I'm just simply asking that if the wellbore is not to
4 scale and given the small distances with the size of
5 this exhibit, it would be shown almost right on the
6 property line, wouldn't it?

7 A. That's where it is.

8 Q. Well, I see it halfway between the fault and
9 the property line more or less.

10 A. All right.

11 Q. Now, going to your Exhibit No. 1, isn't that
12 also true in terms of where the actual proposed
13 bottom-hole location is? In other words --

14 A. This one is not -- is not to scale. It's not
15 meant to be a to-scale drawing that small a distance.

16 Q. And this was submitted at the very first
17 hearing; is that correct?

18 A. Yes, sir.

19 Q. This exhibit hasn't been changed from the
20 first hearing?

21 A. That is correct.

22 Q. Now, in terms of your oil-water contact line,
23 Mr. Ahlen, you've used some averages on your Exhibit
24 No. 2. I'd like for you to explain how you arrived at
25 those averages. I'm not sure that I completely

1 understood how you arrived at those averages.

2 A. I just -- eyeballing.

3 Q. Eyeballing what, Mr. Ahlen?

4 A. The dimensions on here, the number at the
5 grid squares.

6 Q. And where is the information taken from?

7 A. This cross-section. That is the intersection
8 at this cross-section.

9 Q. And how do you know in terms of your well
10 where the oil-water contact line is?

11 A. The oil-water contact is placed, on my best
12 estimate, to the location of the oil-water contact
13 based on water being produced in the Holmstrom No. 1
14 well, water being drill stem tested in the Holmstrom
15 No. 2, no show of oil whatsoever, and good abundant
16 porosity in our first sidetrack hole at a datum of
17 minus 6,080, and the drill-stem test of water in the
18 Philtex well at a datum of minus 61 -- whatever it was
19 -- 6105.

20 Q. You really don't know looking at Exhibit No.
21 2 and looking at where you have a line drawn with an
22 arrow down here that shows the number 150 feet average
23 -- you really don't know where that well water contact
24 is in relation to the actual -- to that particular area
25 or formation?

1 A. We did not penetrate water in our well on
2 purpose. We did not want to do any coning or have any
3 excuse for water coning into our wells.

4 So we did not on purpose drill our well to
5 intersect the oil-water contact.

6 Q. So, therefore, you don't have an actual --
7 you don't have -- you can only guess as to where that
8 oil-water contact is?

9 A. I think I have testified to that.

10 Q. Now, let me ask you about your Exhibit No.
11 6. That just simply is an advertisement, as you
12 indicated, as to what that was?

13 A. Yes, sir, that is correct. It's an
14 advertisement, as well as a reprint from The Technical
15 Review, a trade magazine.

16 Q. You don't have any independent knowledge as
17 to whether the information in here is correct or not?

18 A. My experience consists of running what was
19 recommended in this pamphlet in our well, and I was
20 extremely impressed by the quality of the data.

21 Q. And you simply accepted the data as being
22 true, but you have no independent knowledge as to
23 whether that data is actually true; you think that it's
24 reliable?

25 A. In my professional opinion, I consider this

1 much more reliable than a conventional Dipmeter survey.

2 Q. But, again, you didn't run the test; you
3 didn't actually do any of this?

4 A. I was present while it was running, while it
5 was being run. I saw the configuration of the pads,
6 and the system was explained to me as on the location
7 while the two were being run.

8 And I observed the logs while they were being
9 run, the monitor logs.

10 Q. And you believe this information contained in
11 here will give you a very accurate picture as to what's
12 inside a particular wellbore?

13 A. Yes, I do believe that.

14 Q. In terms of the actual bottom-hole location,
15 did this information or this scanner help to determine
16 that?

17 A. Not -- the Eastman Christensen data was
18 utilized to determine the bottom-hole location.

19 Q. Okay. So the Eastman survey actually
20 determined where the bottom-hole location and how far
21 away you were from the lease line and that sort of
22 thing.

23 This determined -- what did this data show
24 then?

25 A. This data was utilized to show bed dip and

1 fault, strike, and dip.

2 Q. And this information you say defined the
3 limits of the reservoir?

4 A. It helps to define the limits of the
5 reservoir. The defining of the limits is my
6 professional opinion as to the limits based on all of
7 the data available.

8 Q. In terms of dip or in terms of the faulting
9 and all that, what did you actually map as being the
10 limits of the reservoir?

11 A. The reservoir limits is limited on the west
12 by the primary fault that has 140-degree cut out of
13 section.

14 It strikes north approximately 10 degrees
15 west of straight north, the strike of the fault.

16 The bed, the top of the reservoir, is defined
17 by the top of the Devonian formation.

18 It dips off to the east at approximately 105
19 degrees azimuth at a rate of about 6 degrees dip, and
20 that is corroborated by the datum of the Devonian
21 formation in the No. 1 Holmstrom well.

22 Q. Isn't it true that the entire effect of
23 showing where the fault is now is that it actually
24 moved the fault further east and therefore --

25 A. I don't understand your question.

1 Q. Doesn't all this information, this much
2 better information you say you have now, doesn't that
3 really just push the fault further east?

4 A. Yes. It places the fault farther east than
5 we had originally mapped it on the basis of the seismic
6 alone.

7 Q. And so doesn't that, in effect, even reduce
8 your productive acreage or data showing that you have a
9 smaller reservoir or smaller share of the reservoir?

10 A. The geometry of the reservoir is defined by
11 the parameters that I have presented here.

12 The basic fabric and framework of the
13 reservoirs defined by the formation tops in the wells,
14 as well as the well information, which is the Formation
15 MicroScanner, the electrical logs, the logs that show
16 the cut of the fault in the reservoir, the additional
17 section that one can see in the first sidetrack hole
18 versus the second sidetrack hole, all of those things
19 help to define the reservoir geometry.

20 Q. Now, when you talk about reservoir geometry,
21 are you talking about volume, or what are you talking
22 about?

23 A. I'm talking about the physical outline, like
24 the geometric figure. Say you took an apple and you
25 cut it in half, the geometry is half of a sphere.

1 Q. And you're saying that all of that, all of
2 what you defined is reservoir is productive?

3 A. Yes, sir. That part of the reservoir east of
4 the fault and above the oil-water contact at its
5 intersection with the top of the Devonian formation.

6 Q. And you would recommend drilling the well
7 anywhere in here where you've defined the limits of the
8 reservoir?

9 A. Yes, sir. Well, no, within certain limits.
10 One needs to stay within a reasonable location that has
11 a sufficient column of oil to be productive.

12 I would not recommend a location at east of
13 the Holmstrom No. 1, for instance. The thickness of
14 the reservoir diminishes rapidly to the east.

15 Q. What limits a reservoir to the east?

16 A. The intersection of the oil-water contact
17 with the top of Devonian formation.

18 Q. And you base that upon dip of the formation;
19 is that what you're saying?

20 A. Yes, sir.

21 Q. And you're saying that you have a thicker
22 part of the formation, or what are you saying?

23 A. We obviously have a thicker part of the
24 reservoir on our lease.

25 We have approximately 150 feet average at the

1 location of this cross-section; whereas, the Holmstrom
2 No. 1 well has only approximately 800 feet.

3 As you move eastward, the thickness of the
4 reservoir diminishes to zero before you get to the east
5 line of Section 9.

6 Q. But you don't have any well control over
7 there, do you?

8 A. I'm projecting the data is available that is
9 -- and this is just normal procedure for a geologist.
10 Similar experience in this particular field would quite
11 likely show the same configuration.

12 Q. And you're doing that out of one wellbore?

13 A. No, sir. I'm doing it out of five wellbores.

14 Q. You're basing your information on seismic
15 information?

16 A. As well as seismic information, as well as
17 experience in the area with other similar fields
18 producing from the same formation.

19 Q. In terms of the share of the reservoir, Mr.
20 Ahlen, when you take that little sliver up here that is
21 marked by Mr. Carr's yellow or red line, I just failed
22 to understand how even on a surface basis or, as you
23 say, on an eyeball basis that you have a greater share
24 of the reservoir when you don't have most of that long
25 formation unit as being on the west side of the fault?

1 A. Our engineering witness will testify to
2 planimetering the geometry of the reservoir and the
3 results of that data.

4 MR. PADILLA: Well, I think I'll give Mr.
5 Kellahin a turn at this and have him --

6 MR. LeMAY: Mr. Kellahin.

7 CROSS-EXAMINATION

8 BY MR. KELLAHIN:

9 Q. Mr. Ahlen, when you testified back in March
10 of 1989 concerning the location and orientation of the
11 primary fault in the west half of the section, am I
12 correct in recalling that that interpretation of the
13 location of the fault was based upon having the
14 following data available interpreting:

15 First, that there was an east-west seismic
16 line running through the location of the Philtex well,
17 and that represented the farthest northeast-west
18 cross-section seismic line that was available for
19 either you or anyone else to examine; is that true?

20 A. Yes, sir.

21 Q. That in addition there was a north-south
22 seismic line that approximately bisected the section in
23 halves vertically, and we had available that seismic
24 line to interpret; is that correct?

25 A. I think it was running north-south through

1 the proposed location of the Holmstrom well, yes, sir.

2 Q. That there was a third seismic line that ran
3 generally northwest to southeast approximately through
4 the section that was also used to help interpret what I
5 will identify as the secondary faulting through the
6 section; you have a secondary line in one of your
7 displays?

8 A. I do not recall that northwesterly one other
9 than I did not have it available to me for
10 interpretation, nor did I have available to me the
11 north-south seismic line.

12 Q. You had available to you then in locating the
13 fault the east-west line --

14 A. Yes, sir.

15 Q. -- that ran through the Philtex well. And
16 that's the only east-west line we had through the
17 section; is that not true?

18 A. Correct.

19 Q. In addition you had the geologic data, the
20 logs available from the Santa Fe Holmstrom well, did
21 you not?

22 A. Both Holmstrom wells.

23 Q. Holmstrom wells. And we had what was
24 available from the Philtex well?

25 A. Yes, sir.

1 Q. Based upon that interpretation then --

2 A. Also had available the data that was public
3 information from the hearing setting the allowables and
4 the pool roots.

5 Q. I see. That subsequent to that
6 interpretation, then, the only additional data we had
7 available to work with is the data derived from the two
8 sidetracks of the reentry of the Philtex well?

9 A. That's the additional information available,
10 yes, sir.

11 Q. And one of the pieces of information is the
12 wellbore imagery generated from the wellbore in the
13 second reentry of the Philtex well that you've talked
14 at length about this morning?

15 A. Yes, sir.

16 Q. When we examined your interpretation of the
17 location of the primary fault back in March of 1989, am
18 I correct in remembering that you had that fault
19 located west of where you now locate the primary fault?

20 A. Oh, yes.

21 Q. Can you tell us how far west it is from the
22 current interpretation of the primary fault?

23 A. Probably 200 to 300 feet.

24 Q. The objective or goal that you had in
25 developing the reserves within the 160-acre nonstandard

1 proration unit was to the east of the fault?

2 A. Yes.

3 Q. When we now see the current status with
4 regards to the reservoir as you have interpreted it,
5 the best location to produce your spacing unit would be
6 farther north than the current wellbore, would it not?

7 A. Yes, probably.

8 Q. And back in March of 1989, that was still
9 true, was it not, that the best place to produce your
10 share of the reserves and your spacing unit was farther
11 north than the Philtex well?

12 A. That was an interpretation of data at the
13 time based on one cut of the fault.

14 Q. You do not have available to you, sir, any
15 further seismic runs going east and west through the
16 northern portion of the section, do you?

17 A. That is correct.

18 Q. And we don't have any more wellbore imagery
19 to examine for any log of a well north of the reentry
20 of the Philtex well, do we?

21 A. That is correct.

22 Q. So what you have done is taken the data
23 available from the Philtex reentry and interpreted and
24 extrapolated the orientation of the primary fault as it
25 moves to the north?

1 A. Not -- the fault did not ever intersect the
2 Philtex well. It did not intersect our first sidetrack
3 hole either.

4 It intersected only the second sidetrack
5 hole.

6 Q. The second sidetrack hole information at the
7 location where it's derived is the view of the
8 formation in about less than 8 inches?

9 A. Seven and seven-eighths inches.

10 Q. That's what we're looking at the reservoir?

11 A. That is correct.

12 Q. From that perspective at that location in the
13 section, then, you have determined the orientation and
14 the location of the fault as it moves to the north of
15 that point?

16 A. That is correct.

17 Q. What parameters did you provide to the
18 engineers to determine the reservoir limits for the
19 Devonian reservoir that's defined on your Exhibit No.
20 4?

21 A. I provided Exhibit No. 4.

22 Q. Did you provide any isopachs?

23 A. Yes, sir, I did.

24 Q. Were those isopachs utilized by the
25 engineers, to the best of your knowledge, in

1 determining the net productive acres?

2 A. Yes, sir.

3 Q. Did you help them and assist them in
4 developing a net productive acreage map?

5 A. I left that to them solely.

6 Q. And that net pay productive acreage map is
7 generated out of the isopachs you provided?

8 A. Primarily out of a structure map I provided
9 and the location of the oil-water contact.

10 Q. So to what way does the isopach of the
11 Devonian change the information that's presented in
12 terms of the structure on Exhibit No. 4?

13 A. No change.

14 Q. The interpretation of the structure
15 particularly in the eastern portion of the section is
16 predicated on an examination of the available data from
17 the Holmstrom well that Santa Fe operates, is it not?

18 A. Yes, sir, as well as the seismic information
19 that we have available from our own survey.

20 Q. What have you used as the surface location of
21 the Santa Fe well by which then to draw the structure?

22 A. I have used the official documents that have
23 been submitted to the Commission.

24 Q. When I examined the distance where you have
25 placed the Santa Fe Holmstrom well from the common

1 spacing unit boundary with Mr. Stevens' spacing unit,
2 what is that distance that you've used?

3 A. 660 feet.

4 Q. When we look at the bottom-hole location of
5 the second reentry on the Philtex well --

6 A. Yes, sir.

7 Q. -- am I correct in understanding that that
8 well is 78 feet from the common spacing unit boundary
9 with the Santa Fe spacing unit?

10 A. Yes, sir.

11 Q. Let me show you, Mr. Ahlen, a copy of
12 Division Order R-8917-A, and I want to direct your
13 attention on page 2 to what is paragraph No. 4.

14 Now, this is the order entered in May of 89
15 by the Division for the Stevens Operating Corporation
16 that provided the downhole target for the reentry of
17 the Philtex well, did it not?

18 A. Excuse me.

19 Q. All right, sir.

20 A. Will you allow me to finish reading the
21 paragraph?

22 Q. I'm sorry. Please.

23 A. That's a very complicated sentence.

24 Q. I know.

25 A. I'm having extreme difficulty understanding

1 it.

2 Q. Let's go to the last few lines of the
3 paragraph, and let me get you there by suggesting
4 that --

5 A. Okay. I think what we had drawn on that
6 particular map was a line at 165 feet to the west of
7 the common boundary, and then we inscribed a circle
8 with 500 feet diameter.

9 Q. Exactly right.

10 A. Okay.

11 Q. And this paragraph No. 4 then gives you the
12 bottom-hole target or window to be a distance of at
13 least 165 feet from the common spacing unit with the
14 Santa Fe property?

15 A. That is correct.

16 Q. And inscribed a semicircle then that had a
17 radius of 500 feet as we went to the west?

18 A. Yes, sir.

19 Q. That was your target?

20 A. Yes, sir. And we succeeded in the first
21 sidetrack hole including exactly that.

22 Q. When we look at page 3 of the same order --

23 A. Yes, sir.

24 Q. -- if you look at the last paragraph of page
25 3, it says, "Provided, however, that prior to

1 commencing directional drilling operations into said
2 wellbore, the applicant shall establish the location of
3 the kickoff point by means of a directional survey
4 acceptable to the Division."

5 Was that done, Mr. Ahlen?

6 A. To the best of my knowledge, that was done,
7 yes, sir.

8 Q. And what was the kickoff point established
9 then by which you would hit the bottom-hole target?

10 A. We kicked off at approximately 7850 feet.

11 Q. You drilled the first reentry and stayed
12 within the drilling window provided by the order, did
13 you not?

14 A. Yes, sir.

15 Q. The second reentry is the one now that takes
16 us to outside that drilling window at a location 78
17 feet from the common line?

18 A. Yes, sir.

19 Q. I understand from your questions from Mr.
20 Carr that either you or the operator obtained some type
21 of verbal approval for the Division to exceed the
22 limits of the drilling window; did I understand that
23 testimony correctly?

24 A. Yes, sir, you did.

25 Q. Did the Division tell you that you were doing

1 so at the operator's risk?

2 A. Yes, sir, as well as subject to this hearing.

3 Q. But you continued to have to abide by the
4 Division rules and orders that apply to this particular
5 case?

6 A. And we have to this point.

7 Q. Okay. So the operator recognized the risk of
8 leaving the window allowed in the prior order?

9 A. Yes, sir.

10 Q. Now, the prior order establishes a penalty
11 factor based upon a location of a fault that is some
12 200 feet farther to the west than you now interpret it?

13 A. Yes, sir.

14 Q. If the location of the Santa Fe Holmstrom
15 well in the southeast quarter of the section is not as
16 you have depicted it, will that make your
17 interpretation of the structure wrong?

18 A. Not much.

19 Q. Will it change the location of the water well
20 contact?

21 A. No, sir.

22 Q. Will it change the way you have mapped the
23 structure in the northeast quarter of the section?

24 A. I don't think so.

25 Q. We've had a discussion in past hearings about

1 the location of the oil-water contact within the
2 section, have we not, Mr. Ahlen?

3 A. Yes, sir.

4 Q. Have you changed in any material way the
5 approximation of that oil-water contact from past
6 hearings to what you've testified your interpretation
7 of that point is for today?

8 A. Oh, yes, sir, I certainly have.

9 Q. And that's moved approximately --

10 A. Twenty feet up-hole.

11 Q. All right, sir.

12 A. My previous testimony was 6,075. I am
13 testifying today as to 6,055.

14 MR. KELLAHIN: Thank you, Gentlemen.

15 MR. LeMAY: Thank you, Mr. Kellahin.

16 Additional questions of the witness?

17 Mr. Ahlen, I just have a couple quick
18 questions.

19 EXAMINATION

20 BY MR. LeMAY:

21 Q. Were you on the well doing well site geology
22 when the second sidetrack penetrated the faults?

23 A. Yes, sir.

24 Q. Was the bed jumping, the bed torque and bite
25 that you see in some fractured situations?

1 A. I was not on the derrick itself. I was in
2 the immediate vicinity. I did not notice that there
3 was any bouncing and torquing that had been induced by
4 the fracture.

5 As a matter of fact, I deduced the fracture
6 on the basis of the sample examination in which I could
7 see specific grains of the sample that had been cut by
8 a fracture and healed.

9 Calcium carbonate healing material was
10 between two rocks of similar types. And I saw perhaps
11 five or six fragments of that in the sample immediately
12 below the zone that I had suspected the faulting in.

13 Q. Did you see any evidence in the geolograph
14 that followed?

15 A. I did not.

16 Q. Were you also on the location when they
17 penetrated the Devonian?

18 A. I was sleeping at that time. It came
19 unexpectedly soon that morning. I went immediately to
20 the well when they record a drilling break.

21 Q. Is it your interpretation that the Devonian
22 is also fractured in this area?

23 A. No, not in our well. We see very little
24 evidence of fracturing in the Formation MicroScanner
25 log. It appears to be primarily vuggy porosity.

1 Q. And your evidence for the oil-water contact,
2 as you testified, was an extrapolation between known
3 points of oil and known points of water.

4 Beyond that you don't have any indication on
5 how to fine-tune that any better?

6 A. No, sir, I do not.

7 Q. Your Exhibit No. 4, I just had one or two
8 questions on that. You've testified that you have
9 looked at Devonian structures in Chaves County, and I
10 think it was your testimony that they are small
11 structures.

12 Just comparing your two maps, the ones
13 submitted at the previous hearing and the one submitted
14 here, it looks like you're wrapping the contours around
15 a little more into that fault as compared to leaving
16 them pretty much open into the fault on your most
17 recent interpretation.

18 Is there any reason for that?

19 A. Yes, sir, a significant difference.
20 Primarily on the basis of the data in the wellbore.

21 The Formation MicroScanner does not show any
22 turnover or rollover into the fault. Therefore, I show
23 no rollover into the fault in the southern part of that
24 reservoir.

25 My experience still tells me, though, that in

1 most instances I should expect some. So that's why I
2 show it in the north half.

3 Q. So if this was a typical Devonian field, you
4 would expect some rollover into the fault or at least
5 some additional --

6 A. At least a suggestion of it, yes, sir.

7 MR. LeMAY: That's all the questions I have.
8 Additional direct?

9 MR. CARR: No additional direct.

10 MR. LeMAY: Additional questions?

11 You may be excused, Mr. Ahlen.

12 Try another witness. We'll take a late
13 lunch. Let's get on with it and try one more.

14 MR. CARR: At this time I call Mr. Hickman.

15 MR. LeMAY: You may proceed, Mr. Carr.

16 T. SCOTT HICKMAN,
17 having been previously duly sworn, testified upon his
18 oath as follows:

19 DIRECT EXAMINATION

20 BY MR. CARR:

21 Q. Will you state your full name for the record,
22 please.

23 A. Troy Scott Hickman.

24 Q. Mr. Hickman, where do you reside?

25 A. Midland, Texas.

1 Q. What do you do for a living?

2 A. Consulting petroleum engineer.

3 Q. Have you been employed by Curry and Thornton
4 and Stevens Operating Corporation as a consulting
5 engineer in this matter?

6 A. Yes, I have.

7 Q. What basically have you been asked to do?

8 A. To form a reservoir study of the reservoir in
9 question and furnish technical information and support
10 in preparation of this presentation.

11 Q. Would you briefly review for the Commission
12 your educational background and summarize your work
13 experience.

14 A. I have a BS degree in petroleum engineering
15 from Texas Tech University. I have an MS degree in
16 petroleum engineering from Louisiana Tech.

17 Upon graduation from Texas Tech in 57, I went
18 to work for Texaco as a petroleum engineer.

19 I worked for Texaco for 11 and-a-half years
20 in various locations and various engineering positions,
21 primarily as a reservoir engineer.

22 I moved to Midland, Texas, in late 1968 with
23 a consulting firm as a reservoir engineer.

24 In 1973 I established my own practice and
25 practiced in Midland as a consulting reservoir

1 engineer.

2 Q. Are you a Registered Petroleum Engineer?

3 A. I'm registered in the states of Texas and
4 Louisiana.

5 Q. Are you a member of any professional
6 associations?

7 A. I'm a member of the Society of Petroleum
8 Engineers, Society of Petroleum Evaluation Engineers,
9 Society of Independent Petroleum Earth Sciences. I
10 think that covers them.

11 Q. Are you familiar with the applications filed
12 in these consolidated cases?

13 A. Yes, sir.

14 Q. Are you familiar with the wells that are
15 currently drilled into the North King Camp Devonian
16 Pool?

17 A. Yes.

18 Q. Do you own an interest in any of these
19 properties?

20 A. I do not.

21 Q. Are you familiar with the Devonian formation
22 in southeastern New Mexico?

23 A. Yes, sir.

24 Q. In preparation for today's presentation, have
25 you made a study of this pool and prepared certain

1 exhibits for presentation?

2 A. I have.

3 MR. CARR: We tender Mr. Hickman as an expert
4 witness in the field of petroleum engineering.

5 MR. LeMAY: His qualifications are
6 acceptable.

7 Q. (BY MR. CARR) Mr. Hickman, initially I'd
8 like to direct your attention to certain questions that
9 are going to focus, I hope, on reservoir performance.

10 I'd like you first to identify for the
11 Commission what has been marked as Hickman Exhibit No.
12 8; would you identify this, please?

13 A. This is a tabulation of various well tests
14 and pressure data from the North King Camp Devonian
15 Reservoir.

16 (Thereupon, Hickman Exhibit No. 8
17 was identified.)

18 Q. Could you review what this exhibit is
19 designed to show?

20 A. This exhibit is designed to give indication
21 of actual reservoir performance from the standpoint of
22 production capability and pressure.

23 On the top portion, which covers bottom hole
24 pressure data, there's two pressures listed on the
25 Holmstrom well, one being a drill-stem test pressure,

1 at which time there was zero voidage from the
2 reservoir.

3 September 88, a buildup pressure was
4 conducted. The three pressures shown here have all
5 been corrected to the datum of minus 6,000.

6 At that time there was only, I'm estimating,
7 about 4,000 barrels of voidage or production from the
8 reservoir. Pressure was 3963 PSIG.

9 And the third pressure shown was taken
10 recently, in August of this year, on the Stevens well.
11 It was also a bottom hole pressure buildup survey.

12 It was 3955 at that time. There have been
13 approximately 88,000 barrels of oil produced from the
14 reservoir.

15 Q. Now, what does this information tell you
16 about the reservoir or the wells therein?

17 A. Well, this indicates to me the difference
18 between the drill-stem pressure and the first buildup
19 pressure.

20 I can't explain other than it has something
21 to do with the gauges employed because the initial
22 buildup conducted by Santa Fe was at a time when there
23 was nearly zero voidage of the reservoir.

24 So it should be measuring the virgin
25 reservoir pressure.

1 And virtually a year later after fairly
2 significant voidages from the reservoir, we measure
3 again through the bottom-hole pressure buildup, we
4 measure essentially the same pressures.

5 So it would appear we're having pressure
6 maintenance by water encroachment, which would be quite
7 common for the Devonian reservoir in this area.

8 Q. Is that also supported by the pressure from
9 the Deemar Federal No. 1?

10 A. Yes, sir.

11 Q. What does the well test information in the
12 bottom part of this exhibit tell you?

13 A. Again, it verifies that this is a highly
14 permeable reservoir, vuggy, contains fractures, you
15 have high well productivity.

16 The Stevens Deemar Federal well for a
17 four-and-a-half-hour period of time was actually tested
18 at the rate of 955 barrels a day.

19 In conjunction with the bottom-hole pressure
20 survey that was run recently on the Deemar well, the
21 productivity index was calculated to be 2.3 barrels per
22 day PSI. That's from only 11 feet of perforation.

23 So it indicates a high productivity, which is
24 consistent with these types of Devonian reservoirs.
25 They tend to be fairly small, but they're highly

1 productive, and they have effective water drive.

2 And the performance data here would support
3 that conclusion.

4 Q. Could you now go to Hickman Exhibit No. 9.
5 Identify this, please.

6 A. This is a rate time draft of actual
7 production with the fluid production being shown in
8 average barrels per day.

9 The average is derived by taking the monthly
10 production abiding the calendar days of the month.

11 This is a logarithmic scale. This is a
12 vertical scale. It's logarithmic so your eye tends to
13 play tricks on you as to the actual differences we're
14 seeing here.

15 The bottom scale is time and month. See,
16 that the Holmstrom well has produced the rate up as
17 high as 270 barrels a day, averaging somewhere around
18 250 or 240 a day through August.

19 That was the last official production data I
20 had on this well. It's my understanding it has
21 continued to produce at about that rate.

22 Also, they began to report water production
23 in February of this year at a rate of about 10 barrels
24 a day, and that has continued through the last
25 reporting period.

1 The Deemar Federal production is shown by a
2 very short dash line.

3 During August of 89 they had a, I believe, a
4 3600-barrel test allowable, and it was reduced during
5 August of that period.

6 (Thereupon, Hickman Exhibit No. 9
7 was identified.)

8 Q. Now, if we were actually to place the current
9 producing rate on this graph for the Deemar well, where
10 approximately would it be located?

11 A. Well, 34 barrels a day would, of course, be
12 way down a little above the 10-barrel-a-day water
13 that's indicated there.

14 Q. Because of the logarithmic scale that, the
15 water production, is actually only about 1/20 of the
16 oil in terms of actual barrels; isn't that right?

17 A. That is correct, yes, sir.

18 Q. Let's move on to Exhibit No. 10.

19 But before we do that, I would like you to
20 just simply summarize what conclusions you can make in
21 a general way about the characteristics and performance
22 of this reservoir.

23 A. Well, this reservoir is, I would say, typical
24 for a Devonian reservoir on the shale for the -- or the
25 Central Basin platform area.

1 It's small in size, highly productive,
2 underlined by an effective water drive, and has low gas
3 and solution, I'm estimating about 40 cubic feet per
4 barrel.

5 So the primary producing mechanism that comes
6 from the water drive.

7 Q. Now, let's go to focus on the recoverable
8 reserve aspect of this case, and I'd ask you to
9 identify what has been marked as Exhibit No. 10.

10 A. Exhibit 10 is a structure map that has
11 already been introduced by Jack Ahlen. This is his
12 structural interpretation, which he's testified to this
13 morning.

14 I have imposed on that some additional
15 contours and have them labeled. These are primarily
16 are in relation to tops and bottoms of producing
17 intervals and tops and bottoms of zones.

18 These are needed in my methodology of
19 determining reserves and reservoir volumes.

20 (Thereupon, Hickman Exhibit No. 10
21 was identified.)

22 Q. Are these utilized in modeling that you have
23 done subsequently or the results?

24 A. Yes, also utilized for that purpose.

25 Q. Based on your experience as a petroleum

1 engineer, is this a geological interpretation which in
2 your opinion gives you a reasonable basis to establish
3 the relationship to the tracks in the pool?

4 A. Yes, sir, it does.

5 Q. Would you identify what has been marked as
6 Exhibit No. 11.

7 A. Exhibit No. 11 is a gross interval isopach
8 map. And this is an isopach map that I drew.

9 It's not one that was furnished by Mr. Ahlen;
10 however, it is strictly -- being a gross interval map,
11 it's strictly structured control.

12 We started at the estimated oil-water
13 contact; that's a zero-to-zero line. I came up to 69
14 feet, which is the top of the producing interval in the
15 Holmstrom well. I needed a contour at that point for
16 my approach.

17 Structurally that would be -- you would take
18 the minus 6055 oil-water contact, strike 69 feet from
19 it, and this contour would overlay that particular
20 structural contour.

21 So it's strictly a structured control gross
22 interval map. That needs to be understood.

23 (Thereupon, Hickman Exhibit No. 11
24 was identified.)

25 Q. Was this exhibit prepared and the isopach

1 prepared for use in the subsequent work that you were
2 doing on the reservoir?

3 A. Yes, it was. We have taken this exhibit and
4 planimetered the areas between the contours using
5 recognized industry methods.

6 We have done this from the standpoint of
7 three tracts: the southeast corner of the section,
8 which is the proration unit for the -- it's enclosed by
9 the proration unit for the Holmstrom well; the east
10 half of the west half of the section, which is enclosed
11 by the proration unit for the Stevens Deemar well; and
12 then the northeast corner, which is an undrilled
13 tract.

14 And we planimetered each of these separately
15 and did calculations separately on each of these three
16 tracts.

17 Q. Each of these spacing units that you have
18 identified have acreage in them that would not be
19 productive; isn't that correct?

20 A. That is correct.

21 Q. Now, let's go on to the volumetric
22 calculations, which are set forth on Exhibit No. 12.
23 And it may be useful to you to refer to Exhibit No. 3,
24 which is on the easel, to just basically explain what
25 you're going to be talking about when you get into

1 these calculations' factors.

2 A. In arriving at reserves or producible
3 formation and in arriving at calculations of producible
4 formation and recoverable oil, it's necessary to divide
5 the reservoir up, depending upon the structural
6 location of the producing intervals.

7 If I can access this exhibit without
8 destroying it. For example, this represents a
9 cross-section through the Stevens tract through their
10 well going toward the Holmstrom well.

11 And the top of their producing interval is at
12 minus 6004, along about here.

13 Everything from the estimated water contact
14 upward currently is producible reserves, producible
15 reservoir volumes. They can recover from this area.

16 (Thereupon, Hickman Exhibit No. 12
17 was identified.)

18 Q. In that particular well?

19 A. In that particular well.

20 They have a 3-foot interval from the top of
21 the perforation to the top of the zone. It's done
22 behind-pipe.

23 This is oil, assuming effective water drive,
24 that they would not recover without perforating that
25 additional 3 feet. So that would be a behind-pipe

1 situation.

2 Then we have a wedge area. In the Gulf Coast
3 they refer to that as attic oil. That's oil from the
4 top of the zone in the well to the high structural
5 point on the tract.

6 Again, assuming an effective water drive,
7 this is oil that could not be produced by any well now
8 existing on this tract.

9 Similarly, on the Holmstrom tract, from the
10 water contact up to the top of this current producing
11 interval, is an area that is an area that is currently
12 producible to the existing completion.

13 They have a fairly large behind-pipe, a
14 30-foot interval, behind-pipe from the top of their
15 producing interval to the top of the zone that could be
16 -- they could get that by going back in and
17 perforating that up.

18 And they also have an attic situation from
19 the top of the zone in the well to the highest point
20 structurally on their lease.

21 This is oil that they cannot recover from
22 their existing well on that lease.

23 Q. Let's go to Exhibit No. 12, and I'd ask you
24 to simply start with the various factors that you've
25 displayed on this exhibit and review them for the

1 Commission.

2 A. I have listed in tabular method the various
3 classifications of acreage, reservoir volume, oil in
4 place, and reserves.

5 And I have shown that for each of the three
6 tracts which I've determined, and I've totaled those
7 three to give a reservoir total.

8 The first is productive acreage. That's the
9 acreage enclosed by the zero contour, or the water-oil
10 contact contour.

11 On the Santa Fe Holmstrom it's 80.9. On the
12 Deemar it's 38.8. On the undrilled section it's 87.8.

13 So I'm coming up with 207.5 acres productive
14 within the reservoir areas displayed.

15 Gross reservoir volume, Holmstrom is 5270.
16 Deemar is 4524. Undrilled section is 6088, for nearly
17 16,000 total for the reservoir.

18 Q. Mr. Hickman, we've got a large difference
19 between the relative comparison of the each of these
20 tracts when we look at productive acres and at the
21 gross reservoir volume.

22 Could you explain what that is?

23 A. Yes, sir. That has to do with the average
24 thicknesses on these tracts.

25 The Stevens tract is located -- most of it is

1 located at the maximum structural position in the
2 reservoir.

3 These other two tracts taper down to a zero
4 contour. And you can by --

5 Q. Are those figures set out on this exhibit?

6 A. Yes, sir. By dividing the productive acres
7 on tracts through the gross reservoir volume, you can
8 come up with these. This is the average thickness for
9 the tracts.

10 For the Santa Fe -- and these numbers have
11 been put in red in the bottom here -- but the Holmstrom
12 is 65.1 feet; whereas, the Deemar is 116.1, and the
13 undrilled section is 69.3.

14 The reservoir, as a whole, averaged about 76
15 feet.

16 Q. So what you do is you take the productive
17 areas times the average thickness, and that's what
18 accounts for the gross reservoir volume figures?

19 A. That is correct.

20 Q. All right. Let's go on to the current
21 producing reservoir volume.

22 A. The current producing reservoir volume,
23 again, is the volume from the oil-water contact up to
24 the top of the existing producing interval.

25 3974 on the Holmstrom versus 4431 on the

1 Deemar. And, of course, zero on the undrilled tract
2 since there is not a wellbore and producing section in
3 that tract at this time.

4 Producible reservoir volume behind-pipe is
5 that, as I've explained, is the section that could be
6 perforated and produced between the top of the current
7 interval and the top of the zone.

8 That's fairly significant in the Holmstrom
9 well, 864, and these are acre feet numbers, versus only
10 29 in the Deemar.

11 Undeveloped reservoir volume, assuming a
12 regular location -- that would apply only to the
13 undrilled section, that would be about 5700-acre feet
14 that would be producible from the oil-water contact to
15 the top of the zone based on, in a regular location,
16 based on the structural interpretation that was used.

17 Then the total producible reservoir volume
18 would be the summation of these three different
19 categories.

20 And so we have, again, in acre feet 4838 for
21 the Holmstrom; 4460 for the Deemar Federal; and 5706
22 for the undrilled section.

23 And then the attic oil areas, 432 for the
24 Holmstrom; 64 for the Deemar; and 382 for the undrilled
25 section.

1 I then took those reservoir volumes and
2 applied average porosity and water saturation numbers
3 to them and the formation volume factor to come up with
4 original oil in place, the oil that would exist under
5 these tracts prior to any production.

6 Again, these numbers are 2278 for the
7 Holmstrom; 1955 for the Deemar; and 2631 for the
8 undrilled section.

9 I then broke these reserves. I then went to
10 producible reserves.

11 I utilized a recovery factor of 35 percent of
12 the original oil in place, and I broke these down into
13 three categories, which are industry recognized:
14 proved, developed, producing, which are oil reserves
15 which can currently be produced under existing
16 conditions; proved, developed, behind-pipe, which are
17 those that require additional perforation; and then
18 proved, undeveloped.

19 Proved, developed, producing is -- and these
20 are in thousands of barrels -- are 601 for the
21 Holmstrom, 670 for the Deemar Federal, and, of course,
22 none for the undrilled sections. It does not have a
23 well.

24 Behind-pipe, 131,000 barrels for the
25 Holmstrom, only 4,000 for the Deemar, and, again, none

1 for the undrilled section.

2 And the proved, undeveloped reserves then
3 refers only to the undrilled section; that's 863,000
4 barrels.

5 The ultimate total recoverable reserves in
6 the proved category then would be the summation of
7 these three, which is 732,000 for the Holmstrom;
8 674,000 for the Deemar Federal; 863,000 for the
9 undrilled section. Reservoir total of 2,268,000.

10 I've also shown, using the 35 percent
11 recovery factor, the amount of -- I'll call it
12 recoverable oil; if you can't produce it, I don't know
13 it can be recoverable oil, but using the 35 percent
14 factor, what's in these attic areas.

15 I've also shown an estimation of cumulative
16 production as of October 1 of this year: 93,000 for
17 the Holmstrom and -- 93,100 for the Holmstrom and 3,600
18 for the Deemar Federal.

19 Q. Now, Mr. Hickman, on the bottom of this
20 exhibit, you've set forth the basic parameters that you
21 have utilized in making these calculations?

22 A. Yes, sir, I have.

23 Q. Are these all standard figures that are
24 utilized in making calculations of this character?

25 A. Well, the parameters -- not the value of the

1 parameters -- the parameters used are the standard
2 parameters.

3 The values are those values derived from my
4 study of this reservoir.

5 Q. If some of these values, like, say, a
6 recovery factor of 35 percent was changed, what impact
7 would that have on the basic calculations?

8 A. Well, it would -- if you raise the recovery
9 factor, it would raise the reserves. If you lowered,
10 it would lower the reserves.

11 But it would not change the proportionality
12 between a tract's percent of the total.

13 That's true whether you're looking at total
14 producible reservoir volumes, whether you're looking at
15 oil in place in that producible volume, or whether
16 you're looking at reserves.

17 The proportion, so long as these parameters
18 remain the same, the proportion -- well, even if with
19 changing the parameters, since they're applied average
20 across the reservoir, the proportion of each tract's
21 share the total remains unchanged.

22 Q. Let me ask you this. When we talk about the
23 total produced reserves in the Stevens, Curry, and
24 Thornton tract as compared to the Holmstrom tract, when
25 we talk about total produced reserves, are you

1 including just this bottom section that is cut the same
2 as Stevens, or are you also including the section above
3 that?

4 A. No. I'm including the section above that
5 also.

6 Q. You're including the reserves that lie in
7 those two portions?

8 A. Yes, sir.

9 Q. And over here, it would also include just a
10 tiny fraction there?

11 A. 4,000 barrels in that little sliver at the
12 top.

13 Q. Do you have anything else to present from
14 Exhibit No. 12?

15 A. No, sir.

16 Q. Let's move to Exhibit No. 13, and I'd ask you
17 to identify that, please.

18 A. Exhibit 13 is a -- shows in tabular form a
19 calculation of, in what in my opinion is, an equitable
20 distribution of allowables for this reservoir.

21 (Thereupon, Hickman Exhibit No. 13
22 was identified.)

23 Q. Would you review those numbers for the
24 Commission, please.

25 A. Yes, sir. We list the total reserves, which

1 come from the prior exhibit, by the three tracts. Next
2 column shows their percent of the total.

3 The next column is the total standard
4 allowable for 160-acre proration unit for this depth
5 bracket is 515 barrels per day.

6 And then the final column on the right-hand
7 side would be taking the total allowable for the
8 reservoir assuming the three wells, which is 1545, and
9 multiplying by each tract's percent of the total
10 reserves.

11 And so on that basis you get an allowable for
12 the Holmstrom of 499 barrels per day, for the undrilled
13 section of 587 barrels per day, and for the Deemar of
14 459 barrels per day.

15 Q. In your opinion, if these allowables rates
16 were set for wells on each of these units, what would
17 be the bottom line, the end result of that?

18 A. These rates would give each tract, the owner
19 of each tract, the opportunity to recover an amount of
20 oil from the oil reservoir that's in proportion to the
21 original reserves under their tract.

22 Q. Now, Mr. Hickman, if the Holmstrom No. 1
23 isn't producing at the top allowable rate, how does
24 that impact what you've just said?

25 A. Well, they are -- it denies them the

1 opportunity to recover an equitable share of the
2 reserves in proportion to the reserves they have under
3 their tract.

4 It also has a detrimental -- for what portion
5 they are able to recover, it has a detrimental effect
6 economically in that low producing rates you string out
7 your economics, and you get into the present where
8 you've got continued operating costs which do not
9 necessarily go down.

10 You've got much lower revenue and you string
11 it out over a long period of time --

12 Q. Mr. Hickman, my question was what impact
13 would the fact that the Holmstrom well is not producing
14 at top allowable -- what impact would that have on the
15 allocation of allowables that you have recommended?

16 A. The Holmstrom well?

17 Q. Yes, sir.

18 A. I misunderstood your question.

19 Q. Yes, sir.

20 A. The Holmstrom well, the decision not to
21 produce the Holmstrom well at the top -- it currently
22 has an allowable of 515 barrels a day.

23 The decision not to produce at that rate is a
24 company decision.

25 I do not know, without having access to

1 current well tests, if this well can produce at that
2 rate at its current interval.

3 But I am of that opinion that with that 30
4 feet of pay behind-pipes, some of which contains high
5 porosity streaks, they can perforate that and certainly
6 make a water-free 515-barrel-a-day completion, if they
7 so choose.

8 Q. Now, if the producing rates that you've
9 testified to were reduced for the well that is owned by
10 Stevens, Curry, and Thornton, what would be the impact
11 on them on an allowable rate produced below what you
12 have recommended?

13 A. Now, you're referring back to the allowable
14 I'm recommending?

15 Q. Yes, sir.

16 A. If they had not been given that allowable --

17 Q. If the Deemar is restricted below what you
18 have recommended, what would be the impact on the
19 owners of the oil in the west half of this section?

20 A. Well, as I prematurely testified to a few
21 minutes ago, it would deny them, you know, assuming
22 that their well has a capacity to 515 barrels a day,
23 which it does have, a much lower allowable would deny
24 them, first of all, the opportunity to recover a share
25 of oil from the total reservoir that is equivalent or

1 reasonably equivalent to the oil that's under their
2 tract.

3 And, secondly, it would impact economically.
4 The extent of that impact would depend on the allowable
5 we're discussing. But what oil they are allowed to
6 produce would come over a longer period of time.

7 You would have continued operating costs, so
8 you would have less of a profit margin, and you have
9 the present worth of money.

10 It would -- depending on the allowable, it
11 would make the whole transaction economically
12 unattractive.

13 Q. Mr. Hickman, aside from the fact that the
14 unorthodox location or an unorthodox location is
15 necessary to penetrate the reservoir, is any advantage
16 gained on the owners of the east half of this section
17 by virtue of the well location of the No. 1 Deemar?

18 A. Well, first of all, accept the fact that it
19 takes an unorthodox location for the Deemar tract for a
20 wellbore to penetrate the producing reservoir on the
21 Deemar tract.

22 Then there is no advantage gained from this
23 that would not be gained by a well anyplace in the
24 reservoir. And that definition can be elaborated on, I
25 think.

1 With an effective water drive, each barrel of
2 oil that is produced will be replaced from the bottom
3 by a barrel of water.

4 Well, you can actually have an effective
5 water drive with not 100 percent replacement, but if
6 you replace most of it, and this will occur -- this
7 replacement will occur, whether it be a second well in
8 the reservoir is located here, or where it is, or
9 located way up to the north, or located over in that
10 undrilled northeast quarter.

11 With the exception of local coning situation
12 that might arise, the rate of rise of the oil-water
13 contact is a function of cumulative production.

14 And so there is no advantage from that
15 standpoint by this well being located where it is other
16 than it is necessary to get into the reservoir to drill
17 in an unorthodox location.

18 Q. Other than the way the oil-water contact will
19 rise, is there -- would that be damage to -- would that
20 result in damage to the Holmstrom well?

21 A. No, sir. The production from the Deemar well
22 will not damage the productivity of the Holmstrom
23 well.

24 Again, whether the Deemar well is located
25 where it is or whether it's located in the undrilled

1 northeast quarter, it will contribute, by its authority
2 as a reservoir, it will contribute to the rise of the
3 water level.

4 And at some point in the future, the
5 Holmstrom well will water out. But this would happen
6 whether this well was drilled there or whether way up
7 in the north end.

8 Q. In your opinion, does the restricted
9 allowable that is set forth on Exhibit No. 13 for the
10 Deemar No. 1 well represent a penalty on that well's
11 ability to produce?

12 A. Would you state that again, sir?

13 Q. Does the allowable as set forth on Exhibit
14 No. 13 for the Deemar No. 1 actually represent a
15 penalty on that well?

16 A. Yes, sir, it is, since the top allowable for
17 this 160-acre unit is 515, and I'm recommending 459.
18 And this well does have the capacity to water-free at
19 515 barrels a day.

20 Q. Do you recommend this approach to a penalty
21 be employed by the Division in allocating reserves in
22 this pool?

23 A. Yes, sir, I think it's a reasonable approach.

24 Q. If the producing rates on the Deemar
25 restricted below this -- be sure we're clear now --

1 what impact does it have on Stevens, Curry, and
2 Thornton if we go back below the 469?

3 A. What impact it has on Stevens?

4 Q. Yes.

5 A. Well, Deemar well, assuming that -- well,
6 that would depend on where all the allowables in the
7 reservoir were set, but assuming they maintain the 515
8 and the other operators had the opportunity, if they so
9 choose, to produce at 515, then there would be -- they
10 would not have -- Stevens would not have the full
11 opportunity to recover reserves from the reservoir that
12 are equivalent to the reserves under his tract.

13 And it would also degrade the economics of
14 their situation.

15 Q. Do you have an opinion as to whether or not a
16 well at this unorthodox location is necessary because
17 of the structure in this pool?

18 A. Yes, sir. This well, fortunately, is located
19 near the crest of the structure. Without this well,
20 there would be significant recoverable oil that could
21 not be recovered in this pool.

22 In fact, whether it was this well or any
23 other well, you would have to be at an unorthodox
24 location to efficiently drain this pool, whether it be
25 on the Deemar tract or the Holmstrom tract or the

1 undrilled quarter section.

2 It would take a very serious unorthodox
3 location to efficiently drain the reserves that cover
4 oil in this pool.

5 Q. Are you familiar with the penalty formula,
6 that penalty formula that has previously been imposed
7 on the Deemar well by the New Mexico Oil Conservation
8 Division?

9 A. Well, I've seen the calculations that went
10 into it, yes.

11 Q. In your opinion, does basing a penalty only
12 on proximity to the offsetting property line in this
13 reservoir have anything to do with the geometry of the
14 reservoir?

15 A. Would you repeat that? I have a little
16 trouble following.

17 Q. I'll try. You're familiar with this formula
18 generally?

19 A. Yes, sir.

20 Q. You've testified to that. Does basing a
21 formula only on proximity to the offsetting tract in
22 this reservoir make sense?

23 A. In this particular case I do not think it's a
24 logical approach.

25 Q. And why is that?

1 A. Because, as I've testified, it does not give
2 that particular tract the opportunity to recover its
3 share of the oil.

4 Q. I'd like you now to move to what's been
5 marked as Hickman Exhibit No. 14, and I'd ask to you
6 identify that, please.

7 A. This compares as a function of time the
8 cumulative oil from two different allowable rates,
9 being the 34-barrel-a-day, which is now assigned to the
10 Deemar well, and the top allowable for the reservoir of
11 515.

12 Granted, this is a rather simplistic exhibit,
13 but it shows quite graphically after ten years of
14 production if the Deemar well was allowed to produce
15 only 34 barrels a day after ten years of production, it
16 will have produced only a fracture of its reserves.

17 And this would hardly be an economic
18 situation; whereas, a well producing at the top
19 allowable gains tremendous volume of reserves very
20 rapidly.

21 (Thereupon, Hickman Exhibit No. 14
22 was identified.)

23 Q. Mr. Hickman, would you now refer to what's
24 been marked as your Exhibit No. 15 and identify this
25 for the Commission.

1 A. Yes, sir, 15 is a brief description of the
2 numeric simulator that I utilized to do some modeling
3 for a very limited purpose.

4 (Thereupon, Hickman Exhibit No. 15
5 was identified.)

6 Q. What was the specific purpose for which you
7 modeled?

8 A. That was to look at the compensating drainage
9 that would occur in a highly permeable reservoir, both
10 horizontally and vertically, that has an effective
11 water drive.

12 Q. Do you prefer to review the factors set forth
13 on the exhibit with the Commission? Are they --

14 A. I will go through some of them very rapidly.
15 And the Commissioners are certainly capable knowing if
16 they want to hear more from me.

17 This is a three-dimensional black oil model
18 that handles three phases. It's implicit pressure,
19 explicit saturation.

20 It has a capability of simulating oil
21 recovery by several different methods, including water
22 drive and gravity drainage.

23 We dimension the individual grids as
24 330-by-330, which is 2.5 acres. We constructed six
25 layers, the top five of which represent the oil

1 reservoir and is equivalent in vertical thickness to
2 the height from the water level up to the top of the
3 producing interval in the Deemar well. Those
4 thicknesses are shown there.

5 Layer 6 is our aquifer. It was made very
6 thick and contains a very large volume of water so we
7 have sufficient expansion of water to furnish effective
8 water drive.

9 The reservoir properties, you can see, I list
10 them or list the source of them there.

11 The volumetrics of the model are 6.74 million
12 barrels of oil. This agrees -- the volumetric number I
13 came up with was 6.84. This agrees closely.

14 The aquifer volume is 1.9 billion barrels of
15 water, which is a sufficient aquifer to give us the
16 expansion needed.

17 Q. All right. Mr. Hickman, let's now review
18 Exhibit 16.

19 A. Exhibit 16 is the same structure map that's
20 already been introduced in evidence, and overlaid on
21 that is the grids that were used.

22 The largest-sized grid, the 7-by-16 grid
23 represents -- of course, this is a top view. We're
24 looking down on it now -- represents the dimensions of
25 the layer 6, the aquifer.

1 And then this is built much like a layer
2 cake, each -- as we come up, layer 6, 5, 4, so forth,
3 as we come up, each layer is smaller in its horizontal
4 and width dimensions.

5 And the color codes, the red shows the
6 extreme of layer 5; the gray, layer 4; the blue, layer
7 3; the green, layer 2; and the yellow, layer 1.

8 This is more readily seen by
9 three-dimensional view there.

10 (Thereupon, Hickman Exhibit No. 16
11 was identified.)

12 Q. That's on Exhibit 17?

13 A. 17. You're getting ahead of me, Counselor.

14 Q. All right. Let's take a look at Exhibit 17.

15 A. Three-dimensional view of the reservoir, the
16 horizontal scale is 1/10 of the vertical scale, so it's
17 exaggerated. But it does, I think, help visualize the
18 model in which we're trying to roughly approximate the
19 shape of the reservoir.

20 We have on the flat surfaces that are colored
21 in yellow, we have imposed contour lines off of the
22 structure map to allow you to make that relationship,
23 form that visual image of the situation.

24 You can see at the top of the aquifer, that
25 corresponds to the oil-water contact of sub-C 6055.

1 Layer 5, which is 39 feet, represents the
2 distance from the oil-water contact to the bottom of
3 the producing interval in the Holmstrom well.

4 The 30-foot interval, which is layer 4,
5 represents the distance from the bottom of the
6 producing interval to the top of the producing interval
7 in the Holmstrom.

8 Layer 3, the 30-foot interval, again,
9 represents the behind-pipe interval in the Holmstrom.

10 Layer 2, the 41 feet, represents the distance
11 from the top of the Holmstrom to the bottom of the
12 producing interval in the Deemar well.

13 And in Layer 1, the 11-foot layer, represents
14 the producing interval in the Deemar well.

15 If your eyesight is real good, you can look
16 on there and see a couple of black dots, and these
17 represent where the well locations are in the model.

18 (Thereupon, Hickman Exhibit No. 17
19 was identified.)

20 Q. Mr. Hickman, there are also a couple of red
21 lines on this exhibit, if your eyesight is real good.

22 Could you explain what those actually show?

23 A. Yes, sir. There's one red line that's
24 running primarily over the top of layer 1 that's a
25 little bit diagonal. That is the lease line, the

1 east-most lease line of the Deemar tract.

2 Then there's a line that comes down the
3 stairs running, going out to the west, that's the lease
4 line -- may not be a lease line -- the line between the
5 existing proration unit in the north.

6 In the southeast quarter of the section where
7 the Holmstrom produces and the undrilled section to the
8 northeast.

9 Q. What does this exhibit basically show?

10 A. Well, it allows you to kind of visualize the
11 reservoir and our representation of it.

12 It also shows, I think quite graphically, why
13 with relatively smaller productive acres that the
14 Deemar lease has both reservoir volume and reserves
15 almost equivalent to the Holmstrom and the undrilled
16 tract because you can see the thickness.

17 That particular tract is up against the fault
18 and covers all the thickest part of the reservoir.

19 Q. So what we're looking at is a triangular
20 piece that's sort of at the top of the model, that's
21 the Deemar tract.

22 The portion of it that's forward actually, as
23 you look at the model at the red line, that's the
24 southeast quarter. And above the red line stepping
25 down the model is the northeast; isn't that correct?

1 A. That is correct.

2 Q. Would you identify Exhibit No. 18, please.

3 A. Exhibit 18 is a rate time showing the total
4 producing rate utilized in the model, both for oil and
5 water.

6 And 420 days we have a line marked at the
7 top, history one way and forecast the other. From
8 zero, 420 days we actually duplicated the producing
9 rates and averaging them for that total period that
10 actually existed.

11 The step up at about 320 or 30 days, a short
12 step up there, is when the Deemar went on production.
13 And then you can see at 420 days that's equivalent to,
14 on real time, to November 1, which is a couple of days
15 beyond us here.

16 At that time we assumed that the Holstrom
17 well would be recompleted in the behind-pipe section
18 and increased the rate on both wells to 515 barrels per
19 day.

20 So we've got -- you've got the total
21 reservoir producing at 1,030 barrels per day beyond 420
22 days.

23 (Thereupon, Hickman Exhibit No. 18
24 was identified.)

25 Q. Bottom dash line shows water production?

1 A. Shows water production. Again, this is
2 average. They did not report water production
3 initially, but this is the average over the 420 days.

4 The model actually -- we didn't -- we had it
5 showing 2 or 3 barrels a day. I think the actual water
6 production is more like 10 now.

7 And then when the Holmstrom was recompleted,
8 it went to zero waters. And then later the water
9 production began again.

10 Q. And, again, this is on a logarithmic scale?

11 A. This is on a logarithmic scale, so if you're
12 not used to dealing with those, you have to stop and
13 think a minute.

14 Q. All right. Let's go to Exhibit 19, and I'd
15 ask you to review that.

16 A. Exhibit 19 --

17 Q. Mr. Hickman, first, I think there is a figure
18 we need to correct in the second portion of this. It
19 may already have been corrected on some copies. But
20 it's the fourth line down.

21 It's average behind-pipe, PSI, there's a
22 number there. It was originally printed 3920; that
23 should be 3970?

24 A. DHP is not behind-pipe pressure; that's
25 bottom-hole pressure.

1 Q. That's right.

2 MR. WEISS: What did you change?

3 THE WITNESS: I believe it's probably
4 changed. This is in the second sequence, time, day,
5 420, in the fourth layer, coming over to the average
6 bottom hole pressure.

7 It was misprinted originally as 3920; it
8 should be 3970.

9 Q. (BY MR. CARR) All right. Mr. Hickman, would
10 you review the exhibit, please?

11 A. For four times, discrete time periods, this
12 gives the results of the model.

13 We have schematically shown for each of these
14 periods the layers, their proportion and thickness. We
15 have shown the layer interval from which the two wells
16 are producing from.

17 We've shown the cumulative production by
18 layer and by the reservoir that the model indicates.

19 We're showing the average bottom-hole
20 pressure from that layer, the average water saturation
21 from that layer.

22 At times zero, of course, is cumulative
23 production. The average bottom-hole pressure, you can
24 see there, that will on a weighted average basis come
25 out close to what these bottom-hole pressure surveys

1 are showing us.

2 The average water saturation, although it
3 increases by depth -- this is a function of the model
4 -- it's gravitational adjustments.

5 The weighted average of the water would be 25
6 percent for all the layers.

7 Then at 420 days, which in real time would be
8 just a few days from now, the model has indicated
9 cumulative oil production of 109 barrels, which would
10 be very close to what it's actually going to be.

11 Water, 1,000 barrels -- actually, the water
12 production would be several thousand barrels at that
13 point by actual count.

14 Average bottom-hole pressure is being well
15 maintained at this point, even though we've had fairly
16 significant voidage.

17 Average water saturation is not changing.
18 It's desaturated a little bit in the fourth layer, but
19 the fifth layer is the big layer volumetrically.

20 And you can see there there's been an
21 increase in that water saturation.

22 And then time, day, and at this point -- this
23 is the point in time which we assume after 420 days we
24 change the completion in the Holmstrom from layer 4 to
25 layer 3, which is the behind-pipe, assume layer 4 is

1 shut off.

2 Then at 570 days, the model indicates total
3 production from the reservoir of 260,000 barrels, 2,000
4 barrels of water.

5 And, again, you see that the bottom-hole
6 pressure is being fairly well maintained in each layer
7 and that the water saturation is stabilized except we
8 see the effect of bottom water encroachment in the
9 bottom layer. The saturation is increasing.

10 And then the last time step shown is 750
11 days. At that point we're up to 403,000 barrels and
12 15,000 barrels of water.

13 Again, the bottom-hole pressure is being
14 maintained within a few pounds. Water saturation is
15 about the same, except there's significant influx of
16 water in the bottom layer.

17 (Thereupon, Hickman Exhibit No. 19
18 was identified.)

19 Q. Based on your study what conclusions have you
20 reached about this reservoir?

21 A. Well, this reservoir, to put it in the
22 layman's vernacular, comes about as close as any you'll
23 find in which there's a common drainage that each well
24 is sharing from -- can drain throughout the reservoir.

25 So they're sharing a common pool of oil, so

1 you have compensating drainage. And although they
2 might be and will be a lease boundary, it means nothing
3 to Mother Nature. That's just political boundary
4 installed by man.

5 A reservoir exists because of various
6 physical forces that act in the past, and it has no --
7 political boundaries have no relationship.

8 So there's movement of the oil throughout the
9 reservoir, the prime movement being the upward flow of
10 the oil and the replacement by the bottom water.

11 Q. If the current wells in this pool are
12 produced and restricted as you recommended, in your
13 opinion will any advantage be gained by Curry and
14 Thornton, and Stevens on the properties that are
15 operated by Santa Fe to the east?

16 A. It will afford -- it will afford the owners
17 on Deemar to have the opportunity to recover volume of
18 oil that's equivalent to the oil under their lease at
19 this time.

20 Q. Under these producing rates, will it also
21 afford to the owners of the properties in the east half
22 of this section an opportunity to produce their fair
23 share of the reserves?

24 A. Yes, sir, it would.

25 Q. In your opinion is a nonstandard proration

1 unit necessary for the development of this pool?

2 A. Yes, sir, it is.

3 Q. And why is that?

4 A. Because it's necessary for protecting
5 correlative rights. Without it the Deemar tract could
6 not recover the substantial amount of reserves that are
7 under it.

8 It's important from a waste consideration
9 without a -- abnormal location, they're structurally
10 high, there's a significant amount of oil that could
11 not be recovered in the reservoir.

12 Q. To recover that, would additional wells have
13 to be drilled if the unit was not approved?

14 A. Yes, sir.

15 Q. In your opinion are recoverable reserves an
16 appropriate way based on this information to allocate
17 production in this pool?

18 A. In this pool, with the data that's available
19 at this time, it is an appropriate method.

20 Q. Do you believe there is sufficient data
21 available to make a reasonable call within normal
22 engineering and geological parameters to allocate on
23 this basis?

24 A. Yes, sir.

25 Q. In your opinion, if that is done, will waste

1 be prevented?

2 A. Yes, sir.

3 Q. Will correlative rights be protected?

4 A. Yes, sir.

5 Q. Were Exhibits 8 through 19 prepared by you,
6 Mr. Hickman?

7 A. They were.

8 MR. CARR: At this time I move the admission
9 of Hickman Exhibits 8 through 19.

10 (Thereupon, Hickman Exhibits 8-19
11 were offered into evidence.)

12 MR. LeMAY: Without objection those exhibits
13 will be admitted into the record.

14 (Thereupon, Hickman Exhibit Nos. 8-19
15 were admitted into evidence.)

16 Is that all, Mr. Carr?

17 MR. CARR: Yes, sir.

18 MR. LeMAY: Thank you.

19 We'll take a break and return at 1:30.

20 (Thereupon, the proceedings were
21 recessed for lunch.)

22 MR. LeMAY: I think we were to begin with
23 cross-examination of Mr. Hickman.

24 I'll remind you you're still under oath.

25 Mr. Padilla.

CROSS-EXAMINATION

BY MR. PADILLA:

Q. Mr. Hickman, in your Exhibit No. 11, you took that straight from Mr. Ahlen's maps; isn't that correct?

A. I'll make sure I have this. I can -- Exhibit 11 is the gross interval isopach. Are we on the right group of exhibits?

Q. Yes, sir.

A. I constructed that based on his structural map.

Q. And his structure map is essentially your Exhibit 10?

A. Yes, sir.

Q. If Mr. Ahlen is incorrect in his interpretation of the structure, then your information is also incorrect; is that correct?

A. Well, whether it's any significant variance would depend on the degree of the nature of -- or the change that was required in his work.

Q. But you essentially took his information and changed it very little, and on that basis you then made your models and your computations regarding productive acreages and reserves?

A. Yes, sir. I did not change his structural

1 interpretation at all.

2 Q. You accepted those without changing them?

3 A. That is correct, yes, sir.

4 Q. Let me refer you to the Exhibit No. 12, which
5 is the next one, and you added on that exhibit average
6 net pay thickness. Why was that done?

7 A. I think it helps eliminate the process,
8 better understanding why you go from a productive acre
9 situation.

10 The proportionality between the various
11 production acres changes greatly when you start looking
12 at reservoir volume, reservoir reserve.

13 Of course, it's the matter of thickness, the
14 average thicknesses underneath these various tracts.
15 And this helps illustrate that.

16 Q. Do you know the exact thickness of the
17 structure to the north of the Deemar well or the north
18 Santa Fe well?

19 A. Do I know the exact?

20 Q. Yes, sir.

21 A. What context?

22 Q. In terms of exactness, or you just, as I
23 understand, you're just simply taking an interpretation
24 and giving some value of thickness of that; is that
25 correct?

1 A. No, sir. I'm using -- I'm doing what is
2 always done in industry work in constructing isopach.

3 I'm taking a structural interpretation,
4 utilizing that to construct an isopach. That's the
5 standard procedure.

6 If you mean do I have wellbores all over this
7 area, obviously I do not.

8 Q. In your computations did you use gross or net
9 pay figures?

10 A. I used gross interval as net pay.

11 Q. Are you saying there's no difference between
12 gross and net pay?

13 A. I'm applying a porosity, an average porosity,
14 that is average for the gross interval.

15 Q. Well, I still have a hard time understanding
16 what's the difference between gross pay and net pay as
17 you used it in your exhibits?

18 A. There is no difference as I'm utilizing it.
19 The method I used, there's no difference between gross
20 and net pay.

21 Q. Let's go on now to your Exhibit 14. Let me
22 refer you to the bottom line there, the 10-year line.

23 Assuming the Deemer well is allowed to
24 produce at a rate close to 515 barrels a day, you
25 essentially arrive at a figure of 1880, same as --

1 which is the top allowable line or figure on the last
2 column; isn't that correct?

3 A. A rate -- or a rate of 515 barrels a day
4 everyday for 10 years will give you 1,880,000 barrels.

5 Q. How does that relate to the figure of 670
6 that you have attributed to the Stevens tract?

7 A. There's no relation. This is not tied to
8 reserves or future projections of productivity of a
9 particular well or anything. It's just a computation
10 of years times the rate.

11 Q. You're asking for top allowable in this pool,
12 aren't you? You're recommending a top allowable, or at
13 least --

14 A. No, sir.

15 Q. -- very close to the top allowable?

16 A. I'm not recommending the top allowable. I'm
17 recommending a reduced allowable.

18 Q. What is the reduced allowable you're
19 recommending?

20 A. 459 barrels a day.

21 Q. That 459 barrels, you're going to approximate
22 the 1880 figure to some extent, aren't you, over a
23 10-year period?

24 A. No, sir.

25 Q. If you multiply 459, or whatever it is, on a

1 daily rate over a 10-year period, what do you get?

2 A. 1880.

3 Q. And isn't that what the production from your
4 well or the Stevens well is going to be over a 10-year
5 period?

6 A. No, sir.

7 Q. What will it be?

8 A. I do not know.

9 Q. Assuming, Mr. Hickman, that you produced this
10 well at 459 barrels over a 10-year period on a daily
11 rate of 459, you're going to exceed the 690,000
12 barrels, are you not, or 670,000 barrels?

13 A. If the well produced for ten years at that
14 rate, which it will not, yes, you would see that, and
15 if it went for 20 years, you would double that.

16 Q. In your model did you consider the life of
17 the reserves over the life of the reservoir, or did you
18 consider the production from each well over the life of
19 the reservoir?

20 A. No, sir, I did not run the model that long.

21 Q. Why did you not do that?

22 A. Because I did not have time to do that.

23 Q. Aren't your calculations based on essentially
24 total recoverable reserves and shouldn't you take that
25 into consideration in formulating your model?

1 A. You build your model to represent the
2 original oil in place.

3 And then if the model can be reasonably,
4 accurately constructed to duplicate reservoir
5 mechanism, et cetera, then you can get from that
6 reserves. That's one way to approach reserves.

7 Q. What parameters, then, did you use in making
8 your model?

9 A. Well, parameters are shown on Exhibit --
10 whatever -- Exhibit 15, sir.

11 Q. Do your calculations show anywhere how long
12 this reservoir is going to last at a producing rate at
13 the top allowable?

14 A. For which well producing at top allowable?

15 Q. Well, we have two wells in the reservoir.
16 Now, you're asked, assuming you're allowed to produce
17 the well at which you're recommending and also
18 considering what the Santa Fe well is producing at now
19 or even at the top allowable, did you make any
20 calculations as to the life of the reservoir based on
21 withdrawal rates from both of those wells?

22 A. I ran the model to, as shown on Exhibit 16 --
23 no, not at 16. Exhibit 19. As shown, I ran the model
24 out 750 days.

25 At that point the Deemar was still capable,

1 according to the model, was still capable of 515
2 barrels a day.

3 I also -- we also made a projection, assuming
4 515 barrels a day, and assume -- and just made the
5 assumption that the well would flow and produce at the
6 top rate for half the reserve life, the 670,000 barrels
7 reserve.

8 And at that point, start making water go and
9 pump and flow at the top rate, and I forget the
10 decline, it's a fairly steep decline, to use up the
11 reserves by economic limit.

12 And I cannot recall, sir, the life that this
13 gives me, but I did make that calculation.

14 It was based on assumptions as to how long it
15 would flow and not a calculation.

16 Q. How did you make those assumptions?

17 A. That was just an engineering judgment, just
18 based on very general experience, saying, "Okay, these
19 wells probably get half the reserves out. This well
20 has got a good structural location, might get half the
21 reserves out before you get off your top rate."

22 And from that point on, you'll have to
23 probably start pumping it some and start going down in
24 rate to capacity until you deplete it.

25 Q. How long will it take to reach the half-life

1 of the reservoir?

2 A. Well, 670, half of that is 335,000 barrels
3 divided by 188. 515 barrels a day, you produce 188,000
4 barrels.

5 So it would take you less than two years to
6 reach that half reserve life.

7 Q. Well, on your 750-day model, you're still
8 showing a full rate at 515 barrels?

9 A. That's right.

10 Q. Is the model inflexible as far as being able
11 to attribute actual production figures, or don't you
12 simply have any information as far as that is
13 concerned?

14 A. No. What I said, we made a projection and
15 just made the assumption that it would produce top
16 allowable half reserve life; that was just an
17 assumption we made.

18 The modeling we did, which was not done
19 specifically for that purpose but does serve some
20 insight, showed that, what, 750 days is 2-1/2 years
21 approximately, or a little less, at that point the well
22 was still capable of 515.

23 Q. Did you use any data from other Devonian
24 reservoirs to make your assumption?

25 A. Nothing specific, just general experience

1 with Devonian reservoirs in the Permian Basin.

2 Q. Mr. Hickman, in Exhibit No. 15 you've given
3 the permeability at 1,000 millidarcies, that's
4 vertically and horizontally.

5 Can you tell me how far will this well drain
6 the Deemar -- the Stevens well?

7 A. This well is capable of draining the total
8 reservoir.

9 Q. And yet you say there's no relation to
10 proximity to lease lines or insofar as the spacing
11 rules of well locations are concerned?

12 A. I'm afraid I do not follow your question.

13 Q. Well, you're basing your figures strictly on
14 productive acreage or reserves, isn't that correct,
15 and, therefore, you're saying that, therefore, Stevens
16 ought to be able to produce at the full rate?

17 A. Well, at the recommended rate, 459 barrels a
18 day.

19 Q. And it's your opinion that proximity to lease
20 lines shouldn't have anything to do in this case; isn't
21 that correct?

22 A. Yes, sir, in this particular reservoir, that
23 is true.

24 Q. Have you ever been involved in other
25 situations where proximity to the lease lines are

1 important?

2 A. I, through the years, I've been involved in a
3 number of regulatory hearings that involved well
4 spacing and whatnot.

5 I'm hard-pressed to point out specific
6 instances on the spur of the moment, but I have been
7 involved in those processes before.

8 Q. From a conservation standpoint and for
9 protection of correlative rights, you would agree with
10 me that rules were made for a definite purpose as far
11 as well locations; isn't that correct?

12 A. In some instances they are.

13 Q. Would you agree with me in most instances
14 they are?

15 A. I think in most instances the rules are
16 applied for a reasonable purpose.

17 Q. There is some general scheme to spacing wells
18 in accordance with spacing rules from a general
19 standpoint?

20 A. From a very broad standpoint, yes.

21 Q. I think I have one further question.

22 With regard to your permeability figure,
23 that's very good permeability in an oil reservoir,
24 isn't that?

25 A. Yes, sir.

1 MR. PADILLA: I believe that's all I have.

2 MR. LeMAY: Thank you, Mr. Padilla.

3 Mr. Kellahin.

4 CROSS-EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Hickman, when were you first retained as
7 a consulting engineer for presentation of this case?

8 A. I believe it was late July of the year.

9 Q. In your preparation did you review any of the
10 prior transcripts or exhibits that were presented by
11 either parties in any of the prior cases that are now
12 integrated into this case?

13 A. I had.

14 Q. Do you know our reservoir engineering expert,
15 Mr. Buddy Sipes?

16 A. Yes, sir, I do.

17 Q. How do you know him, sir?

18 A. We were schoolmates together. His wife was a
19 dietician at my dormitory.

20 When I left major company employment, I went
21 to work for a firm that he was an associate in. We
22 worked together for several years. We've maintained
23 contact and friendship for a long time.

24 Q. What is your opinion of his professional
25 expertise as a reservoir engineer?

1 A. I think Mr. Sipes is a good reservoir
2 engineer.

3 Q. Let me ask you if the presumption is made
4 that Mr. Ahlen's geology, principally his structure
5 map, is absolutely 100 percent correct, that there is
6 just no range of reason for doubt about his
7 interpretation of that structure, if you make that
8 assumption, what degree of confidence do you have as an
9 engineer that your work based upon that structure map
10 is accurate?

11 A. I would have a high degree of confidence in
12 that reserve work.

13 Q. Let's do it in terms of a percentage, if you
14 will, with me, Mr. Hickman. If we take as our starting
15 point the interpretation of the structure by Mr. Ahlen,
16 then we integrate your work where you have
17 volumetrically estimated the reserves and plus by a
18 computer simulation also come up with some results,
19 within that work that you have performed, you have
20 selected certain parameters and made certain judgments
21 as an engineer, there's a range of choice for you, is
22 there not?

23 A. There is, sir.

24 Q. In terms of a percentage then, with regard to
25 your work, 100 percent being absolutely perfect, what

1 degree of certainty do you have that your performance
2 of your activity is accurate?

3 A. I don't think it can be quantified in that --
4 in quite those terms.

5 There are two wellbore penetrations, partial
6 penetrations of the reservoir. Based on this, we can
7 analyze the logs to get a determination of porosity
8 over that interval to come up with an average porosity
9 of 7.8 percent.

10 That definitely falls within what I consider
11 to be a reasonable range for this type of reservoir.
12 That's a number I'm comfortable with.

13 What degree of actual accuracy that number
14 represents, I cannot say. It's a very reasonable
15 number. I'm more than willing to do reserve work and
16 sign my name to reserve work based on that number.

17 Q. When you calculate the reserves that are to
18 be producible within Mr. Stevens' share of the section
19 for the Devonian, you have calculated based upon these
20 various estimates a total recoverable reserve as
21 670,000 barrels of oil?

22 A. Yes, sir, that's a volumetric reserve
23 calculation under that tract.

24 Q. But it represents an estimate as opposed to
25 an absolute?

1 A. Yes, sir. We can set that on record right
2 now. Until you produce that last barrel of oil,
3 reserves are always estimates.

4 Q. If you'll turn with me to your Exhibit No.
5 10, which is the Devonian structure map that you
6 presented in your direct testimony, when you compare
7 that to Mr. Ahlen's Exhibit No. 4, which is his
8 structure map, am I correct in understanding that you
9 see no material difference between the two?

10 A. We took his structure map and created this
11 one.

12 Q. All right. Let's use yours then. When we
13 look at the structure relationship between the Deemar
14 well and Santa Fe's Holmstrom well --

15 A. Yes, sir.

16 Q. -- the Deemar well has approximately 55 feet
17 of structural advantage over the Holmstrom well, does
18 it not?

19 A. Correct, sir.

20 Q. When you come up with your estimated total
21 ultimate oil recovery out of that block in the Devonian
22 that is west of the midpoint of the section and yet
23 east of the primary fault, the 670,000 barrels of oil,
24 what portion of that is produced above the 5900-foot
25 contour line?

1 A. Above the 5900-foot contour line?

2 Q. Yes, sir.

3 A. None of it, sir.

4 Q. Okay. When we look at the relationship
5 structurally of one well to another, we get the
6 Holmstrom well at a minus 5956?

7 A. Yes, sir.

8 Q. That represents the top of the Devonian?

9 A. Yes, sir.

10 Q. Am I correct in understanding that based upon
11 your study, the Deemar well is going to produce all
12 those Devonian oil reserves that are higher in
13 structural position than that contour line?

14 A. How do you reach that conclusion, sir?

15 Q. Well, because the oil is going to migrate
16 up-structure to the producing Deemar well and is not
17 going to go down-structure to my client's well.

18 A. What assumption you're making as to, what,
19 will be another well drilled and the undrilled --

20 Q. I make no assumptions at all. I'm asking
21 you, sir, as a reservoir engineer, is it not a correct
22 conclusion to say that the Deemar well is going to
23 drain the oil reserves on the east side of the
24 centerline of the section: Yes, no?

25 A. Going to drain the oil reserves? Talking

1 about the total reserves, no, sir.

2 Q. The Deemar well as it produces that oil is
3 going to honor the political section line that
4 separates the east half from the west half?

5 A. No, sir.

6 Q. It's going to follow contour line, isn't it?

7 A. Follow a contour line?

8 Q. Yes, sir.

9 A. I'm not sure I follow your question, sir.

10 Q. The oil that underlies on this structural
11 display that's in place in the southeast quarter that
12 is above the point minus 9556, where is that oil going
13 to go?

14 A. That oil will be produced by any well in the
15 reservoir that is structurally higher than the
16 Holmstrom well.

17 Q. And if there is no other well than the Deemar
18 well, the Deemar well gets it?

19 A. That is correct, sir.

20 Q. What is the volume of oil within that area
21 that is in the southeast quarter that is above the
22 minus 5956 contour lines?

23 A. 65,000 barrels recoverable oil is our
24 estimate of reserves.

25 Q. Do you have that on some display that --

1 A. That is Exhibit 12, sir.

2 Q. Is that the area that's represented in the
3 yellowish-green portion on Exhibit No. 3?

4 A. Yes, sir, that's the wedge-shaped area in the
5 kind of sicky-green color.

6 Q. When we look at the section and divide it
7 into quarter sections, and perhaps the best point of
8 reference is your Exhibit No. 10, Mr. Hickman.

9 A. Okay, sir.

10 Q. When we look at the southwest quarter of that
11 section, what approximate percentage of that southwest
12 quarter lies east of the fault and yet within that
13 portion of the spacing unit?

14 A. I'm sorry. I'm haven't quite followed you,
15 sir.

16 Q. All right. I'm looking at standard size
17 spacing units for the pool. If we take the section and
18 divide it into four standard 160-acre quarter sections,
19 I want to examine with you --

20 A. Are you speaking of standard size or standard
21 shape?

22 Q. Standard shape. Southeast quarter represents
23 a standard shape. If we look at the southwest quarter,
24 that would represent a standard shape by which your
25 client would have the option to dedicate his well.

1 What I'm looking for within the southwest
2 quarter is what portion of the southwest quarter is
3 productive by this well at its location from the
4 Devonian?

5 A. It would be a very small percentage.

6 Q. When we look at the northwest quarter, what
7 portion of the northwest quarter of a standard shaped
8 spacing unit is going to be east of the fault line and
9 potentially contribute production for that quarter
10 section?

11 A. Supposed to be about -- looks to be about 25
12 percent. I'm sorry, sir. Which quarter?

13 Q. Northwest.

14 A. Northwest?

15 Q. Yes, sir.

16 A. Okay. 25 percent.

17 Q. If we're going to attempt to share the
18 Devonian reservoir from the section between only two
19 wells, let's assume a nonstandard size unit as your
20 clients propose for the east half of the west half, but
21 let's also presume that Mr. McAlpine in Santa Fe
22 reconfigured their spacing unit, stack them four 40's
23 on top of each other and dedicate the west half of the
24 east half so now we have the same size and shape
25 competing nonstandard units for the two wells. Okay?

1 A. Okay, sir.

2 Q. What portion of the reservoir in terms of
3 your volume would be assigned to the east half of the
4 west half?

5 A. The east half of the west half, which is the
6 Deemar tract -- forgive me, I'm a little slow. I'm
7 trying to visualize these.

8 From a reservoir, producible reservoir volume
9 and a reserve basis, it would be 29.7 percent.

10 Q. That number remains unchanged on your Exhibit
11 No. 13?

12 A. Correct, sir.

13 Q. When we look now at the west half of the east
14 half now, so that we've established a spacing unit of
15 the same size and shape as Mr. Stevens' spacing unit,
16 what is the total recoverable reserves assigned to a
17 spacing unit of that configuration?

18 A. 70.3 percent.

19 Q. Am I correct in understanding that you as an
20 engineer have concluded that at the rate the wells are
21 produced is not going to make a difference in total
22 ultimate recovery for either well?

23 A. No, sir, I don't think I've stated that
24 position.

25 Q. Let me make sure I understand your conclusion

1 with regards to the rate. You have not proposed a
2 portion of the penalty based upon the proximity of one
3 well to another to the common spacing line; is that
4 true?

5 A. That is correct, sir.

6 Q. Maybe I misunderstood, but I thought in
7 context of your discussions with Mr. Carr, you've
8 indicated that you do not expect any rate relationship
9 to influence the drainage areas between the two wells;
10 do I misunderstand that?

11 A. I believe I stated that producing the Deemar
12 well at the recommended allowable rate would not affect
13 the form or the productivity of the Holmstrom well.

14 Only to the extent that any withdrawal from
15 that reservoir causes a rise in the water level and
16 whether it was the Deemar well producing or well
17 drilled on the undrilled quarter, it would be the same
18 results as far as the rise of the water table.

19 Q. From that statement, then, I may have drawn
20 an incorrect conclusion or inference.

21 I had assumed that by increasing the rate on
22 the Deemar well to the proposed rate that you have
23 suggested of 459 barrels, in order to prevent waste and
24 protect correlative rights and all those wonderful
25 things, that you would thereby not affect the ability

1 of the Holmstrom well to produce its share of the oil?

2 A. That is correct. So long as allowables are
3 assigned, it allows opportunity of each operator to
4 recover from the pool reserves equivalent to the
5 reserves under their tract.

6 Then there is no advantage gained, there's no
7 harm done to the Holmstrom well or its position. It's
8 at a particular structural level right now.

9 With an effective water drive that well will
10 eventually water out at some point in time. It's got
11 producible reserves under its tract.

12 It's controlled by its location. That cannot
13 be changed. That has nothing to do with where the
14 Deemar is or isn't.

15 And so long as you allow the opportunity to
16 produce ratably, then you've protected correlative
17 rights, you've prevented waste, and there's no damage.

18 Q. Ratably. Therein lies my question, Mr.
19 Hickman, is that if you increase the ratable
20 withdrawals or the withdrawals from the Deemar well
21 from 34 barrels to 459 barrels, some 13-1/2 times
22 greater than currently permitted, you're going to cause
23 that oil, that water encroachment down-structure in the
24 southeast portion to move 13-1/2 times faster as it
25 migrates up through the southeast quarter, are you not?

1 A. The water rights, excepting local coning
2 conditions in response to cumulative production, so the
3 faster you draw out the oil, the faster the water rises
4 to replace it.

5 Q. If the Commission in its wisdom then decides
6 to maintain a low producing rate for the Deemar well of
7 34 barrels of oil, it is, therefore, not going to cause
8 your ultimate oil recovery to be diminished?

9 A. Yes, it will.

10 Q. Well, you've told me you're going to get the
11 679,000 barrels regardless of the rate.

12 A. If I told you that, then I misspoke because
13 that was not my intention, sir.

14 I believe I testified earlier today on direct
15 to the contrary of that, sir.

16 Q. In order to protect itself from the migration
17 of the oil out of the east half into the west half of
18 the section, there appears to be no solution for Santa
19 Fe but to drill a replacement well 78 feet from the
20 common line in order to put the two producing wells in
21 balance in this reservoir; is that not true?

22 A. No, sir, that's not necessarily true.

23 Q. Well, you've told us one well at the highest
24 point in the structure is going to drain the whole
25 Devonian reservoir, and that's your client's well?

1 A. No, sir, I did not say that.

2 Q. You've told us one well will deplete the
3 entire Devonian reservoir.

4 A. I said one well structurally high, located
5 structurally high in position, can drain the
6 reservoir. I did not say it was going to drain the
7 reservoir, sir.

8 Q. Which other well in the pool is in a position
9 like the Deemar well?

10 A. At this time there is none.

11 Q. So in order for Santa Fe to protect its
12 correlative rights and keep this oil from migrating out
13 of the east half, they're going to have to drill a well
14 that is structurally comparable to your well?

15 A. No, sir. There's -- my reserves numbers
16 indicate there's 65,000 barrels in that attic.

17 So if they drill right on the lease line to
18 preserve that 65,000 barrels, that will not seem to be
19 an economic decision or a wise decision.

20 Q. We're looking at recovering the remaining
21 reserves in the reservoir in the east half of the
22 section from the total recoverable reserves in Exhibit
23 No. 13 as a combination of 732,000 and the 400 -- the
24 863,000 in the northeast quarter.

25 Would it be a correct statement that the best

1 place to produce those reserves is going to be at the
2 highest structural position in the east half of the
3 section?

4 A. That would be the optimum position to get the
5 maximum barrels, yes, sir.

6 MR. KELLAHIN: Thank you, Mr. Chairman.

7 MR. LeMAY: Thank you, Mr. Kellahin.

8 Additional questions?

9 Yes, sir, Mr. Cooter.

10 MR. COOTER: May I impose upon the Commission
11 and just ask for three minutes, since I'm sitting back
12 here, to talk with them before I ask him a question?

13 MR. LeMAY: Sure.

14 MR. COOTER: I have no questions.

15 MR. LeMAY: Additional questions of the
16 witness?

17 Mr. Weiss. Commissioner Weiss.

18 EXAMINATION

19 BY MR. WEISS:

20 Q. The 1,000 millidarcies permeability, I notice
21 there was some DST's, the way they are interpreted?

22 A. The DST run on the Holmstrom No. 1 was
23 interpreted, I believe that was the Halliburton test.
24 I believe Halliburton interpreted it.

25 I believe the permeability that they

1 calculate from that was 1,875, I believe, millidarcies.

2 Q. Millidarcy feet or millidarcies?

3 A. Millidarcies, I believe.

4 Q. And you know many times people will run a
5 materials balance to try and support their volumetric
6 estimates.

7 It's difficult at this time; did you try it?

8 A. No, sir. With the effective water drive, it
9 would be very difficult.

10 Q. Is it a water drive or water expansion? I've
11 heard two terms.

12 A. Well, it's one in the same actually. It's
13 expansion of the water in the aquifer.

14 Q. That's just impressability?

15 A. That's impressability, yes, sir.

16 Q. You don't see any water pushing down and
17 having higher pressure?

18 A. No, I'm not aware of any kind of hydrostatic
19 type of situation, no, sir.

20 Q. Well, one other comment here. Has anybody
21 estimated a maximum efficient rate to prevent coning?
22 Has that been looked at?

23 A. We have not. In the course of modeling --
24 you know, we observe some things about coning, but we
25 were not modeling for that purpose.

1 We were modeling more or less not much more
2 than just a simple tank model really is what we did.

3 And so we did not specifically explore the
4 coning mechanism.

5 It does occur in the Devonian reservoirs, as
6 you're aware, sir.

7 Q. Now, I understand that the Holmstrom well, I
8 thought someone said, was making 200 barrels of water a
9 day; is that right?

10 A. No, sir. It's being reported about 10
11 barrels a day.

12 Q. Okay.

13 A. Produces on the order of about 200 to 300
14 barrels a month.

15 Q. Well, do you think there were uniqueness
16 problems with your model? Do you think you could have
17 done this in another manner and gotten the same type of
18 performance that you got here, such as on Exhibit --

19 A. Yes, sir. I think you could have plugged in
20 a wide range of factors here in trying to duplicate a
21 highly permeable reservoir with bottom water, and you'd
22 have gotten about the same results as far as showing it
23 encroaches from the bottom, supports the pressure.

24 Q. It's not edge water; it's bottom water?

25 A. It's bottom water, yes, sir.

1 Q. Then the purpose of the model was to support
2 the volumetrics?

3 A. Well, the purpose of the model actually was
4 to show the bottom encroachment of waters that does
5 occur, the increased saturation.

6 The lower level, as you void in the other
7 levels and you maintain your pressure in those levels,
8 it's indicating that there's no -- you've got, as far
9 as those other levels are concerned, you've got --
10 you've got no uncompensated net migration of oil across
11 any kind of boundaries or anything.

12 Q. You have no migration? You don't think the
13 oil migrates across these boundaries?

14 A. There is movement both vertically and
15 horizontally, but the net uncompensated migration is
16 zero.

17 It all washes out because it's being
18 supported from the bottom and the pressure maintains.

19 MR. WEISS: That's the only questions I
20 have.

21 MR. LeMAY: Thank you, Commissioner Weiss.

22 EXAMINATION

23 BY MR. LeMAY:

24 Q. Mr. Hickman, let me ask you something. If
25 you owned the entire field, how would you produce it?

1 A. If I was not worried about -- if I had common
2 royalty interest also and common working interest?

3 Q. You own everything.

4 A. Own everything. I would produce the
5 Holmstrom well at what I consider a maximum rate and
6 then would do some tests, see if it's making some water
7 now, see if I increased the rate, does it pull in
8 water.

9 In fact, I would probably at this point in
10 time, assuming that I can't go up to 515 barrels a day
11 on that well without getting a large volume of water,
12 which well may be the case, I do not know, but assuming
13 it's making 10 now at 250 a day, it may well make a
14 large volume at 515, I would plug back the current
15 zone, open the behind-pipe interval. I would produce
16 both the Holmstrom and the Deemar at, assuming I had
17 the top allowables at 515 barrels a day, to get the
18 maximum rate.

19 Eventually there will be water appear in the
20 Holmstrom first, at which time you'll have to start
21 cutting your rates back.

22 And at some point the Holmstrom will water
23 out and then Deemar will water out.

24 The Deemar's high structural position will
25 allow you to ultimately recover nearly all the reserves

1 within this reservoir.

2 Q. From the Deemar well, is that correct, just
3 the one well itself -- I thought I got from Mr. Ahlen's
4 testimony that one well definitely would drain the
5 reservoir including the Holmstrom well.

6 A. Well, you could, yes, sir. Based on my
7 concept of this reservoir, this high permeability and
8 the effective water drive from the bottom, you could
9 shut in the Holmstrom well and produce only the
10 Deemar. And eventually over a period of time you would
11 pretty well produce the reservoir out.

12 But you would, you know, if I was the
13 operator, I wouldn't want to do that in that matter
14 because economically I would want the biggest volume I
15 could get.

16 And it would not, by producing the Holmstrom,
17 it would not lower the recovery any.

18 Q. Assuming no coning, of course, once you got
19 coning, then you might vary the allowables or vary your
20 production rates --

21 A. Yes, sir.

22 Q. -- according to the coning.

23 Now, this is a real world. We have
24 correlative rights, and we have spacing units here.

25 If you were Santa Fe Energy, in order to

1 protect your correlative rights, assuming that your
2 recommendation was adopted by the Commission, would you
3 drill a well 78 feet from that line?

4 A. I would -- I would go to the -- now, I don't
5 know the ownership situation and whatnot, you know, but
6 assuming that was not a problem, I would go to the
7 undrilled northeast section, and I would move up-dip in
8 that corner as high as I could -- the Commission would
9 let me -- and drill a well.

10 Q. When you say that the correlative rights of
11 Santa Fe would not be protected, however, in the
12 current situation, let's say, did offset that well or
13 something else was done to effectively unitize that
14 field?

15 A. In relation that's one thing that comes to
16 mind in most engineers that aren't broiled up in the
17 economics and ownership problem and whatnot, it would
18 make sense to unitize.

19 You know, they've got that -- Santa Fe has
20 that undrilled quarter section; it's their option to
21 drill.

22 Definitely, if they do not drill it, then the
23 Holmstrom well and the Deemar well will eventually
24 drain the oil out from under that.

25 What share each of them gets really depends

1 on the allowables and the rates that those wells are
2 produced.

3 Q. I guess that's my next question. Is there a
4 straight line relationship between the allowables and
5 recoverable reserves?

6 A. There is a straight line relationship between
7 the proportionality of allowables, not in absolute
8 amounts.

9 If we set a top allowable and then were to
10 proportion that allowable in the method such as I
11 suggest on my Exhibit 14, I believe it is, or 13, then
12 your main thing, you're relatively between the tracts
13 and the recovery would be unchanged.

14 Now, if you were to swing at where the
15 allowable in one well or allowable in the wells were
16 not in some proportion to the reserves under their
17 tracts, well, then, yes, sir, that does affect, very
18 definitely, the ultimate recovery from the various
19 wells.

20 Q. Not even allowables. Let's say productive
21 rates because I think that we visualize this as the
22 reservoir goes on that the down-dip wells -- in this
23 case the Holmstrom well -- will water out or start
24 producing large enough volumes of water so it's
25 operational practice to cut back the flow rates.

1 Maybe that's what's being done now; we'll
2 find that out with later testimony. But 515 barrels a
3 day allowable doesn't do you any good if you bring in
4 more water and prematurely drain this well, does it?

5 A. No, sir, it does not.

6 Of course, at this point in time, the Deemar
7 is capable of 515 without water. And it's been my
8 testimony that they have the option to plug back the
9 Holmstrom and make it water-free and capable of 515.

10 So it's kind of an option with the operator.

11 Q. But ultimately, even though they plugged it
12 back, wouldn't the normal course of producing a well in
13 time start cutting some water and therefore --

14 A. Yes, sir, the water tables continually rise.

15 Q. Comes up?

16 A. And eventually all good things must come to
17 an end.

18 Q. Or does it come to an end slowly? Do they
19 cut back on the productive capability of that well so
20 that they extend the life of it normally?

21 A. Yes, sir, in these vertically fractured
22 reservoirs, which I believe is the case here and has
23 been in prior hearings, there's been some testimony to
24 that effect.

25 Depending on various physical factors, there

1 is a relationship you get within a certain -- the water
2 level gets within a certain distance of the producing
3 interval and coning can take place, which is just a
4 localized rise of water above the common water table.
5 And it's rate sensitive in most instances.

6 And so you can lower that. By lowering your
7 rate, you can lower the volume of water. And in some
8 cases you can lower it to the point where the water
9 quits until the table rises higher.

10 And in other instances, it proves not to be
11 rate sensitive.

12 I think in most instances the fractured
13 Devonian proves to be rate sensitive to the coning
14 effect.

15 MR. LeMAY: Thank you very much.

16 Additional questions of the witness?

17 MR. KELLAHIN: Mr. Chairman.

18 MR. LeMAY: Yes, sir.

19 MR. KELLAHIN: There are clarifying questions
20 I wanted to ask the witness.

21 FURTHER CROSS-EXAMINATION

22 BY MR. KELLAHIN:

23 Q. If you'll go to Exhibit No. 10, Mr. Hickman.

24 A. Yes, sir. I have it, sir.

25 Q. Am I correct in understanding that the way

1 you have approached analysis of the reservoir assumes
2 that this primary fault is truly vertical?

3 A. That is correct. The cross-section that --
4 not this one, but the one in the exhibit -- I forget
5 the number -- actually shows the dip of the fault to
6 the west.

7 So it would actually increase a little bit
8 the productive area under the Deemar tract because it's
9 wider at the bottom than it is at the top.

10 We used the top here, and it's not
11 significant.

12 Q. That was the point of my question. There was
13 dip Mr. Ahlen testified to, and I wanted to know in
14 terms of your estimating the oil reserves if you had
15 taken into consideration the dip?

16 A. No. I'm assuming this represents the trace
17 of the fault in the top of structure, and that's what
18 we used and --

19 Q. And it goes vertical?

20 A. Yes, sir.

21 MR. KELLAHIN: Thank you.

22 MR. LeMAY: Additional questions?

23 If not, the witness may be excused.

24 You may call your next witness.

25 MR. CARR: May it please the Commission, at

1 this time I call Henry J. Gruy.

2 HENRY J. GRUY,

3 having been previously duly sworn, testified upon his
4 oath as follows:

5 DIRECT EXAMINATION

6 BY MR. CARR:

7 Q. Will you state your full name for the record,
8 please.

9 A. My full name is Henry J. Gruy, G-r-u-y.

10 Q. Mr. Gruy, where do you reside?

11 A. I live in Houston, Texas.

12 Q. What do you do for a living?

13 A. I'm a consultant in petroleum and geological
14 engineering.

15 Q. Are you a Registered Petroleum Engineer?

16 A. Yes, sir, I am.

17 Q. In what state?

18 A. Texas.

19 Q. Are you also a Certified Petroleum Geologist?

20 A. I'm a Certified Petroleum Geologist by the
21 American Association of Petroleum Geologists.

22 Q. Where did you go to college, and what degrees
23 did you receive?

24 A. I went to Texas A & M. I received a BS
25 degree in petroleum engineering in 1937. I later

1 received a professional degree based on work done in
2 the industry and submission of a thesis.

3 Q. Could you briefly summarize for the
4 Commission your work experience since graduation?

5 A. I went to work originally for the Standard
6 Oil Company of Texas in West Texas. I worked for them
7 as field engineer.

8 And in the spring of 1938, the chief engineer
9 for the California -- Standard of California came to
10 West Texas and got all the engineers together and said
11 any of us that hadn't gone to Stanford University had
12 no future with the company, so I quit.

13 March 1, 1938, I went to work for Shell Oil
14 Company. I worked for Shell Oil Company at what they
15 called at that time an exploitation engineer -- that's
16 before that was a bad word -- until the fall of 1945
17 when I worked on a number of areas for Shell and was
18 district engineer when I quit.

19 And went to work for the Guardian McNaulton
20 as a consulting petroleum engineer and geologist. I
21 worked for them for five years, worked in most of the
22 oil producing areas in the world.

23 I started my own business in 1950 in Fort
24 Worth. 1956 I moved it to Dallas.

25 In 1960 I opened a Houston office. And 1972

1 I moved to Houston personally. I had two other
2 companies: I had Gruy Petroleum Property Management,
3 which I formed in 1960 to operate wells -- drill and
4 operate and complete wells for other people on a fee
5 basis.

6 I was president and chairman of that until
7 1972, at which time I got a president and remained
8 chairman. And I remained chairman of that until I sold
9 the company in December 31, 1986.

10 In 1972 I formed a company called Gruy
11 Petroleum Technology. That's when DOE had a big
12 budget, and I did a lot of research work for DOE and
13 Gruy Petroleum Technology until last year when I
14 dissolved that company.

15 And I now just have Gruy Engineering
16 Corporation of which I'm now the cochairman.

17 Q. Are you a member of any professional
18 associations?

19 A. Yes. I'm a member of the Society of
20 Petroleum Engineers, which I was president in 1968, the
21 Society of Petroleum Evaluation Engineers, of which I
22 was president in 1964.

23 I belong to the American Association of
24 Petroleum Geologists. I was the Dallas District
25 representative in 1960-something-or-other for two

1 years.

2 And I belong to the IPAA and the API.

3 Q. Are you a member of the National Academy of
4 Engineering?

5 A. I've been elected to the National Academy of
6 Engineering, yes.

7 Q. What other special awards or recognition have
8 you received for your work as an engineer and
9 geologist?

10 A. Well, I'm a distinguished member of the SPE
11 -- an honorary member of both SPE and the AIM, which
12 is the highest award they can give.

13 I got the award for Engineer of the Year in
14 Dallas from the National Society of Professional
15 Engineers in 1964.

16 I got the DeGuille medal from the SPE in
17 1984. I got a medal for Distinguished Engineering
18 Alumnus of Texas A & M University in 1985.

19 Q. Have you in the course of your career been
20 called upon to testify before government bodies on oil
21 and gas matters?

22 A. Yes, I've testified before the Conservation
23 Commissions of most of the states.

24 Q. Have you testified in New Mexico before?

25 A. Yes, sir, I've testified in New Mexico. I've

1 testified before the Atomic Energy Commission, the
2 Federal Power Commission, and the Securities and
3 Exchange Commission.

4 Q. Have you had experience in the course of your
5 professional career in allocating reserves in oil and
6 gas fields?

7 A. I have.

8 Q. Have you been involved in efforts to allocate
9 unitization projects?

10 A. I have.

11 Q. Have you done those in the United States and
12 other places?

13 A. I have.

14 Q. Are you familiar with the principles involved
15 in the allocation of reserves to wells and tracts in
16 reservoirs in the primary producing states in this
17 country?

18 A. Yes, sir.

19 Q. Are you familiar with the applications
20 involved in this case and what's being sought in this
21 hearing?

22 A. Yes, sir.

23 MR. CARR: I tender Mr. Gruy as an expert
24 witness in petroleum engineering and in petroleum
25 geology as well.

1 MR. LeMAY: Mr. Gruy is so qualified.

2 Q. (BY MR. CARR) Mr. Gruy, have you been
3 retained in this case by Stevens Operating and Curry
4 and Thornton Corporation?

5 A. Yes, sir.

6 Q. By Stevens Operating Corporation and by Curry
7 and Thornton?

8 A. I've been retained by Stevens Operating
9 Company. I don't know anything about Curry and
10 Thornton.

11 Q. What were you asked to do when you were
12 retained?

13 A. I was asked to review the work that Mr.
14 Hickman did and to see if it was reasonable.

15 Q. And have you reviewed the data that's
16 available on this pool and been present at this
17 hearing?

18 A. Yes, sir, I have.

19 Q. Do you have an opinion as to whether or not
20 that data is sufficient to calculate the total reserves
21 in the pool?

22 A. Yes, sir, I do.

23 Q. And what is that opinion?

24 A. My opinion is that it's reasonably good data
25 and that you can make a reasonable estimation of the

1 oil in place and recoverable oil.

2 Of course, the recoverable oil by tracts
3 depends upon the relative producing rates that they're
4 allowed.

5 Q. Were you present for Mr. Ahlen's testimony?

6 A. I was.

7 Q. And did you hear his testimony concerning the
8 placement of an oil-water contact in this reservoir?

9 A. Yes, I did.

10 Q. In your experience as a petroleum geologist,
11 are the methods that were employed by Mr. Ahlen
12 consistent with sound engineering practice?

13 A. Well, that's what's usually done when you
14 don't know; you guess in between what you know and what
15 you don't know.

16 Q. In your opinion was this a reasonable
17 selection for an oil-water contact?

18 A. I thought it was reasonable. I think it's
19 possibly higher than that based on the early water
20 production from the wells, but I think it's reasonable.

21 Q. Were you also present for Mr. Hickman's
22 testimony?

23 A. Yes, sir, I was.

24 Q. In your opinion, is there sufficient data
25 available to calculate the recoverable reserves in this

1 pool?

2 A. Yes, sir.

3 Q. Can those calculations also be made on a
4 tract basis in the pool?

5 A. The recoverable reserves that originally
6 underlie the tracts can be estimated.

7 How much they're actually going to recover
8 will again depend on the relative rates they're allowed
9 to produce.

10 Q. In your opinion were the methods employed by
11 Mr. Hickman consistent with standard industry practice?

12 A. Yes, sir.

13 Q. What would be the effect on Mr. Hickman's
14 calculations if certain factors, like, say, the
15 recovery factor were changed?

16 A. The recovery factor doesn't make any
17 difference if you used the same recovery factor for the
18 whole field.

19 What's really important is the gross volume
20 of rock that's under the various tracts and just
21 getting it down to the recoverable oil.

22 If you're wrong on those factors, if the
23 recovery is 60 percent instead of 35, it won't change
24 the relative position of the tracts with regard to the
25 necessary allowable or producing rate to allow them to

1 recover the oil that's originally in place, recoverable
2 under their tract.

3 Q. Were you present for the cross-examination of
4 Mr. Hickman when he was asked if he had exact figures
5 and precise numbers as to the reserves under these
6 tracts?

7 A. Yes, sir.

8 Q. When you use the disciplines or sciences of
9 engineering and geology, do you get exact and precise
10 numbers like that?

11 A. We get exact and precise numbers on very few
12 things. I don't even know how much I weigh. It
13 depends on how long it's been since I had a drink of
14 water.

15 Q. But within general and accepted engineering
16 principles and standards, has the data that has been
17 presented, in your judgment, been sufficient to
18 allocate reserves in this reservoir?

19 A. In my opinion, it is.

20 Q. In your opinion, will approval of a
21 nonstandard proration unit comprised of the east half
22 of the west half of Section 9 prevent waste?

23 A. Yes, because it will prevent the drilling of
24 unnecessary wells.

25 Q. In your opinion, will the No. 1 Deemar drain

1 the reserves that are under that spacing or proration
2 unit?

3 A. If allowed to produce at something that's a
4 reasonable rate, it will. It won't drain it at 23
5 barrels a day.

6 Q. Mr. Gruy, there's been a lot of talk in the
7 proceeding about the allocation or the penalties being
8 imposed on wells because of proximity to the property
9 boundaries, questions Mr. Hickman responded stating
10 that no advantage would be gained by virtue of this
11 location.

12 Do you concur with Mr. Hickman's statement
13 that no advantage will be gained from the Deemar
14 location?

15 A. Yes. If you have two straws in a Coke
16 bottle, how much you get depends on how fast each straw
17 sucks.

18 The position of the bottom of those straws in
19 the Coke bottle doesn't make any difference.

20 Q. If Mr. Stevens' straw is on the edge of the
21 Coke bottle and Santa Fe's is in the center, will that
22 affect the amount that they each can receive?

23 A. No, sir.

24 Q. If Mr. Stevens owns a quarter of the Coke in
25 the bottle, and his straw is on the boundary, and Santa

1 Fe owns three-quarters, and they're in the middle, and
2 he's permitted to suck one-quarter as much or as
3 strong, will that afford him an opportunity to get his
4 share?

5 A. Yes, sir, regardless of where the bottom of
6 the straw is.

7 Q. Will that deny the other guy the opportunity
8 to get his?

9 A. No, sir.

10 Q. In your opinion, should the Deemar No. 1 well
11 be penalized beyond what Mr. Hickman recommended?

12 A. It ought to be penalized only to the amount
13 of reserves is less than the other.

14 Q. Do you agree with the recommended allocation
15 made by Mr. Hickman that the Deemar well will gain an
16 advantage on other acreage in the pool?

17 A. It won't gain any advantage. It's how much
18 oil Deemar well will recover is strictly dependent on
19 its relative rate of productions vis-a-vis other wells
20 in the reservoir.

21 Q. What is the impact? Are you familiar with
22 the restrictions that have been imposed on the
23 producing rate on the Deemar well?

24 A. I understand it was restricted to 23 barrels
25 a day, or something ridiculous like that.

1 Q. In your opinion, if that is maintained, will
2 it give the Deemar well the opportunity to produce the
3 reserves under that tract dedicated to that well?

4 A. In my opinion, it will not.

5 Q. In your opinion, is allocation of reserves in
6 the North King Camp Devonian Pool based on reserves
7 practicable?

8 A. Yes, sir.

9 Q. And on this kind of data, has it been done in
10 your experience and have reserves been allocated in
11 units based on this kind of data?

12 A. Yes, sir, in many places.

13 Q. On data that is no more sufficient than this,
14 have reserves been allocated between tracts in other
15 reservoirs in other jurisdictions?

16 A. Yes, sir.

17 MR. CARR: Thank you. I have nothing
18 further.

19 MR. LeMAY: Thank you.

20 Cross-examination.

21 CROSS-EXAMINATION

22 BY MR. PADILLA:

23 Q. Mr. Gruy, when were you hired by Stevens?

24 A. About two weeks ago.

25 Q. How much time have you spent reviewing the

1 information in this case?

2 A. All of yesterday afternoon and a few hours in
3 my office based on data they sent me.

4 Q. Did you review the prior orders of the
5 Division?

6 A. No, sir.

7 Q. Did you review the letter restricting --
8 applying the penalty on the Deemar well?

9 A. No, sir.

10 Q. Would it surprise you to know that's 34
11 barrels and not 23 barrels?

12 A. No, sir.

13 MR. PADILLA: I think that's all I have.

14 MR. LeMAY: Thank you, Mr. Padilla.

15 Mr. Kellahin.

16 CROSS-EXAMINATION

17 BY MR. KELLAHIN:

18 Q. Mr. Gruy, let me examine your Coke bottle
19 with you.

20 A. Yes, sir.

21 Q. Your response to Mr. Carr presumed the Coke
22 was contained within the bottle and that each straw was
23 of comparable length?

24 A. Yes, sir.

25 Q. And that as applied to this reservoir within

1 the range of reason and the mechanics of the reservoir,
2 Mr. Stevens and Mr. McAlpine can each suck till they're
3 content on their respective straws?

4 A. Yes, sir.

5 Q. Let's take the bottom out of your Coke bottle
6 and introduce a water drive into your Coke bottle.

7 A. Yes, sir.

8 Q. And let's take Mr. Stevens' straw and make it
9 the short straw.

10 A. Yes, sir.

11 Q. And if we introduce a water drive into your
12 Coke bottle, there is going to be a point in time in
13 which Mr. McAlpine is sucking water and not Coke and
14 Mr. Stevens is still getting his Coke?

15 A. That's correct.

16 Q. Based upon your vast experience -- and I'm
17 impressed, and it's not often we have someone before us
18 with your background, sir -- I assume, and perhaps it's
19 a presumption, but I assume in the years of your
20 experience, you have been involved in one side or
21 another of a case or perhaps had to decide a case in
22 which geologic experts, each of whom you knew
23 personally and had tremendous respect, had taken
24 similar data and come to significant, material,
25 substantial differences in their interpretation of that

1 geology?

2 A. That's correct.

3 Q. Mr. Hickman's work as an engineer is
4 predicated on what Mr. Ahlen has determined to be the
5 gross reservoir volume for the Devonian, is it not?

6 A. That's correct.

7 MR. KELLAHIN: No further questions.

8 MR. LeMAY: Thank you, Mr. Kellahin.

9 Additional questions of the witness?

10 MR. CARR: Well, I can't resist the
11 temptation.

12 MR. KELLAHIN: You leave my Coke bottle
13 alone.

14 MR. CARR: I'd like to go back to your Coke
15 bottle. I think it's going to be the one thing we
16 remember two days from today.

17 REDIRECT EXAMINATION

18 BY MR. CARR:

19 Q. Could Mr. McAlpine continue to suck Coke with
20 Mr. Stevens if he put another shorter straw in that
21 bottle?

22 A. If he put a shorter straw in there, he could,
23 yes.

24 Q. Do you know of anything in your knowledge
25 that would preclude that?

1 A. It would depend upon whether he's allowed to
2 put another straw in.

3 Q. But you don't know if he has the opportunity
4 or not?

5 A. I don't know.

6 MR. CARR: That's all.

7 MR. LeMAY: Thank you, Mr. Carr.

8 Commissioner Weiss.

9 EXAMINATION

10 BY MR. WEISS:

11 Q. Do you think that the pressures will remain
12 equal, or is there -- let me put it this way. Is there
13 a rate we can set these two wells at where the pressure
14 will remain equal across the lease line?

15 A. I don't think it makes any difference whether
16 it does or not.

17 Q. Do you think it will flow across the lease?

18 A. It doesn't make any difference if it flows
19 across the lease line. What we're talking about here
20 is net uncompensated drainage.

21 There's going to be some flow across that
22 lease line there, but there's going to be flow the
23 other way across the lease line up at the other end.

24 That is a tank just like that Coke bottle,
25 and it doesn't really make any difference. Some oil is

1 going to flow across that lease line toward --

2 Q. The low pressure side?

3 A. Well, it doesn't make any difference whether
4 the pressure is lower or not; there's going to be some
5 flow across there.

6 But what we're talking about is recovering
7 the fair share based on what was originally under the
8 tract.

9 Everybody -- in my understanding of it,
10 everybody should be given the opportunity to recover
11 the recoverable oil originally underlying their lease.

12 And some of the laws say that which drains
13 there naturally too. But --

14 MR. WEISS: Thank you.

15 MR. LeMAY: Mr. Gruy, I, too, am impressed by
16 your credentials.

17 THE WITNESS: I tell you it's just because
18 I've lived longer than anybody else. Everybody else my
19 age and my experience is retired out on the ranch
20 somewhere, and I'm still working.

21 MR. LeMAY: Well, I promised not to tell any
22 Aggie jokes; that's not something you appreciate.

23 If you owned this entire field, how would you
24 produce it?

25 THE WITNESS: If I owned this entire field, I

1 would produce the two wells that are there until the
2 lower one watered out, and then I would produce the
3 higher one as long as I could, till it watered out.

4 And I think those two wells would effectively
5 drain this reservoir.

6 MR. LeMAY: And you would not drill
7 additional wells?

8 THE WITNESS: I don't think I would unless
9 the price of oil got to where I wanted to increase my
10 income.

11 MR. LeMAY: Thank you very much.

12 Additional questions of the witness?

13 If not, you may be excused.

14 THE WITNESS: Thank you, sir.

15 MR. LeMAY: Thank you, sir.

16 MR. LeMAY: Any more witnesses?

17 MR. CARR: We have nothing further on
18 direct.

19 Let's take a break, 15 minutes. Come back at
20 3:00, and we'll hear the other side.

21 (Thereupon, a recess was taken.)

22 MR. LeMAY: We shall resume.

23 Mr. Padilla.

24 MR. PADILLA: Mr. Chairman, at this time
25 we'll call Chuck Holmstrom.

1 CHARLES HOLMSTROM,
2 having been previously duly sworn, testified upon his
3 oath as follows:

4 DIRECT EXAMINATION

5 BY MR. PADILLA:

6 Q. Mr. Holmstrom, would you state for the record
7 your full name, please.

8 A. Charles Holmstrom.

9 Q. Where are you from, Mr. Holmstrom?

10 A. Midland, Texas.

11 Q. What do you do for a living?

12 A. I'm a consulting geophysicist.

13 Q. Have you testified at the Oil Conservation
14 Division in connection with this hearing before?

15 A. Yes.

16 Q. Can you briefly go through your educational
17 background in your profession?

18 A. I have a bachelor's of science degree in
19 geology from the University of Oklahoma. I worked
20 eight years for seismic contractors.

21 Q. For whom did you work?

22 A. Republic Exploration and GSI. Following my
23 employment with GSI, I worked for Union Texas Petroleum
24 for eight years in Midland, and I was district
25 geophysicist when I left that job.

1 And since that time, I've been consulting.

2 Q. How long have you been consulting?

3 A. Twelve years.

4 Q. Did you consult in the drilling of the Santa
5 Fe well?

6 A. Yes.

7 Q. Tell us about that. What studies did you
8 make in order to consult with regard to that well?

9 A. I made studies of the seismic data we first
10 looked at when they were taking an interest in the
11 well.

12 And then following that Santa Fe Exploration,
13 shot two additional seismic lines, and those were
14 included in the map before the first well was drilled.

15 Q. Mr. Holmstrom, did you recommend the drilling
16 of the initial well?

17 A. Yes.

18 Q. As a result of your studies?

19 A. Yes.

20 Q. Have you prepared certain exhibits for
21 introduction here today?

22 A. Yes.

23 Q. How many?

24 A. One.

25 Q. One.

1 MR. PADILLA: Mr. Chairman, we tender Mr.
2 Holmstrom as an expert witness.

3 MR. LeMAY: His qualifications are
4 acceptable.

5 Q. (BY MR. PADILLA) Mr. Holmstrom, let me hand
6 you --

7 A. I have one. Thank you.

8 Q. -- what we have labeled as Exhibit No. 1.
9 Would you tell the Commission what that exhibit is?

10 A. Exhibit No. 1 is the exact same exhibit that
11 I used last time I talked to you fellows, except I have
12 two new pieces of information, the two sidetrack holes
13 that Mr. Stevens drilled.

14 The change I made on the map, I've spotted
15 his bottom-hole locations on as accurately as I could.
16 I ran the fault through -- between wells, and that's
17 the -- and also I've added a minus 6100-foot contour
18 line between his first sidetrack hole and the Honolulu
19 Federal.

20 (Thereupon, Holmstrom Exhibit No. 1
21 was identified.)

22 Q. Mr. Holmstrom, what was the first item you
23 mentioned that you changed?

24 A. The location of the fault.

25 Q. Well, why did you change the location of the

1 fault?

2 A. Well, they crossed the fault with their
3 second sidetrack hole, and that well is upwards.

4 So between those two wells, we know that
5 location where the fault is.

6 Q. What's the second thing you changed?

7 A. The second thing I changed was adding a
8 contour, a minus 6100-foot contour between the first
9 sidetrack hole and the Honolulu Federal.

10 Q. Now, why did you do that?

11 A. The first sidetrack hole was roughly 25 feet
12 high structurally to the Honolulu well.

13 Q. What's the effect, the net effect, of the
14 changes you have made on this exhibit?

15 A. The net effect is that the part, the
16 up-thrown part of the structure on the west half of the
17 section is smaller.

18 Q. Would that have the effect of reducing
19 productive acreage or reserves on the Stevens tract?

20 A. Yes.

21 Q. In terms of the reservoir limits, does this
22 exhibit help us in determining what those limits are?

23 A. Excuse me?

24 Q. Does this exhibit help us in deciding what
25 the limits of the reservoir are?

1 A. Yes, I would judge it to help.

2 Q. And how would that help?

3 A. It shows the shape of the structure --

4 Q. Let me hand you --

5 A. -- and the limits.

6 Q. -- Mr. Holmstrom, what we have marked, what
7 has been marked as Exhibit 4, and this is the exhibit
8 that Mr. Ahlen used in his testimony.

9 Can you, please, tell the Commission what the
10 difference is between the two, your interpretation of
11 the structure and Mr. Ahlen's interpretation of the
12 structure?

13 A. The primary difference, in my opinion, of
14 these two maps, on the map I constructed for Santa Fe
15 Exploration, we have a seismic line marked SF2.

16 It's marked in the north part of Section 21,
17 the north-south line.

18 That line displays north dip from shot point
19 180 just north of the half line in Section 9 to the
20 north end of the section.

21 And Mr. Ahlen's map tends to open that up,
22 and he's showing mostly east dip in there.

23 And if I were to use his minus 6,055 contour,
24 his estimated oil-water contact, it cuts off about
25 midway up through the north half of the Section 9.

1 And the way he has it drawn, it goes clear to
2 the north end of the section.

3 Q. Now, Mr. Holmstrom, you're relying on the
4 actual shot point on the seismic data?

5 A. I'm relying on the seismic data that we have,
6 and Mr. Ahlen doesn't have any.

7 Q. Is your approach, in your opinion, more
8 prudent, Mr. Holmstrom?

9 A. Well, I think I have -- I think I have
10 information that shows we have north dip.

11 Q. And that shows the limit of the reservoir?

12 A. Yes, it shows the north limit of it.

13 Q. Okay. And what does that do to productive
14 acreage?

15 A. Well, it would make it less.

16 Q. If you did what Mr. Hickman did, you would
17 wind up with less of a reservoir essentially; is that
18 what happens?

19 A. I'm sure you would.

20 Q. Mr. Holmstrom, on an eyeball basis, what is
21 the difference between the two maps in terms of
22 percentages?

23 I don't want to pin you down to any
24 significant percentage or particular percentage, but
25 can you tell us generally what the difference is as far

1 as productive acreage is concerned?

2 A. I don't know. I honestly haven't made that
3 calculation to tell you that. And it's probably 10
4 percent less, anyway.

5 Q. Okay. Do you have anything further
6 concerning your testimony on Exhibit No. 1, Mr.
7 Holmstrom?

8 A. No.

9 MR. PADILLA: I believe that's all I have for
10 this witness, Mr. Chairman.

11 MR. LeMAY: Thank you, Mr. Padilla.
12 Do you want to do the direct?

13 MR. KELLAHIN: Let me ask Mr. Carr.

14 MR. CARR: It's fine if they want to both do
15 direct. We voted on my side, and I'm going to do
16 cross.

17 MR. LeMAY: I assumed that.

18 DIRECT EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Mr. Holmstrom, do you have before you Mr.
21 Ahlen's structural interpretation?

22 A. Yes.

23 Q. And you have also your exhibit before you?

24 A. Yes.

25 Q. When we look at the well water contact that

1 Mr. Ahlen has located on his display, he shows an
2 oil-water contact, which he shows to be at 6,055
3 estimated?

4 A. Yes.

5 Q. Do you and he have a disagreement about the
6 structural position of the oil to the water in the
7 Devonian in this section?

8 A. If we use the same oil-water contact on the
9 map that I've drawn, there would be a difference, yes.

10 Q. I didn't make myself clear. What, in your
11 opinion as a geologist, is the oil-water contact in the
12 section?

13 A. I have no idea what the oil-water contact is.

14 Q. If you take Mr. Ahlen's pick of the oil-water
15 contact and then use your structure map, what is the
16 effect of that oil-water contact using your contour
17 lines as we move into the west half of the section?

18 A. The amount of petroleum reserves becomes
19 less.

20 Q. As compared to what Mr. Ahlen has
21 interpreted?

22 A. Yes, sir.

23 Q. There is a difference then between the two
24 geologists about how you have contoured the contour
25 lines through the northeast quarter of the section and

1 integrated them back into the fault?

2 A. That's right.

3 Q. When we look at Mr. Ahlen's display, we see a
4 particular way of mapping the contour lines, and yet in
5 contrast you have done something different?

6 A. (Witness nodded.)

7 Q. What have you done that's different from Mr.
8 Ahlen?

9 A. I've used seismic data to make the dip, the
10 north dip, that is shown on my map, which I point 180
11 to the north edge of the section.

12 Q. When we look at your display, I see shot
13 point 180; that is the seismic information that you
14 have interpreted to cause you to take those contour
15 lines and wrap them back into the fault?

16 A. Yes.

17 Q. What tells you by looking at that information
18 that's how you should interpret the data?

19 Do you look at something and it shows you as
20 a geologist that's how you ought to contour?

21 A. You look at the seismic data and make a
22 calculation after you get the data.

23 Q. And that is an interpretation and a selection
24 of a way to contour through this portion of the section
25 that you presented at earlier hearings in these cases?

1 A. This has not been changed. This is the same
2 map that I used last time.

3 Q. You have sat through Mr. Ahlen's presentation
4 and looked at his interpretation, have you not, sir?

5 A. Yes.

6 Q. Has anything he has said with regards to how
7 these lines are contoured caused you to change your
8 opinion?

9 A. No.

10 Q. When we look at the fault, what is the
11 available data that you have utilized that causes you
12 to conclude geologically that the fault is more
13 perpendicular north-south and closer to the centerline
14 of the section than Mr. Ahlen obviously has done in his
15 display?

16 A. I base the fault location in a similar -- the
17 technique was the same as I did the last time.

18 There's a fault cut on the line that's shown
19 as GS1282 that runs east-west through the middle of
20 Sections 17, 16, 15, 14.

21 And I interpret that as the same fault as
22 it's shown between the two Stevens wells.

23 And what I've done on this map is drawn a
24 straight line between those two fault cuts.

25 Q. You're familiar with the wellbore imagery

1 that Mr. Ahlen talked about that he utilized in, I
2 believe, the second reentry of the well?

3 A. Yes.

4 Q. You've had an opportunity to look at that
5 information?

6 A. (Witness nodded.)

7 Q. Describe for us what your opinions and
8 conclusions are with regards to that information?

9 A. Well, I'm primarily a geophysicist. And
10 that's a logging technique, and it's a very new
11 technique. I'm sure it's very powerful technology
12 and --

13 Q. Have you had the opportunity to utilize it on
14 any of your wells?

15 A. I had seen it on one well, yes, sir, but I
16 don't consider myself as an expert on the Formation
17 MicroScanner.

18 Q. When we look at the way you have contoured
19 the structure, does it make a difference to you as to
20 what the location is of the Holmstrom well in the
21 southeast quarter?

22 A. I don't --

23 Q. When we look at the Holmstrom well as shown
24 on your display --

25 A. Okay. No. 1 well?

1 Q. Yes, sir, you know, the one that --

2 A. The producing well.

3 Q. The producing well.

4 A. All right.

5 Q. Mr. McAlpine's producing well, that well.

6 What have you used as the location of that well by
7 which then you have contoured your structure lines?

8 Where is that well located physically within
9 the southeast quarter?

10 A. 1980 from the south and east.

11 Q. What is the location of that well to the
12 common boundary between the two properties, meaning the
13 Stevens' spacing unit and Santa Fe Exploration's
14 spacing unit?

15 A. It's the legal location within that lease
16 lot.

17 Q. When we interpret your structure map for the
18 well at that location, do you and Mr. Ahlen have
19 agreement or disagreement about the structural
20 relationship of the top of the Devonian and the Stevens
21 well versus the McAlpine well?

22 A. No, I don't think we have.

23 Q. You both find that the top of the Devonian in
24 the respective wells is approximately 55 feet apart?

25 A. Yes.

1 MR. KELLAHIN: Thank you, sir.

2 MR. LeMAY: Thank you, Mr. Kellahin.

3 Mr. Carr.

4 MR. CARR: Anyone else want to do direct?

5 CROSS-EXAMINATION

6 BY MR. CARR:

7 Q. Mr. Holmstrom, you testified you were
8 involved at the time the original well was drilled, the
9 Holmstrom Federal No. 1; is that correct?

10 A. Yes.

11 Q. At the time that well was drilled, based on
12 the seismic data and other information you had
13 available, you were aware there was a fault in the
14 area; is that not correct?

15 A. Yes.

16 Q. You were aware that fault was on the west
17 half of Section 9; is that correct?

18 A. Yes.

19 Q. You were aware there were reserves over
20 there. Did you have any information concerning the
21 ownership of Section 9 at that time?

22 A. (Witness shook head.)

23 Q. But you did know there was a fault on the
24 west half of the section; is that right?

25 A. That's right.

1 Q. And there were reserves over there at the
2 time you drilled the well?

3 A. (Witness nodded.)

4 Q. Is that right?

5 A. That's right.

6 Q. When you look at the seismic work that you
7 have in this area, do you have a reflection in the
8 seismic on the Devonian -- is that what it's called?
9 Is that how you see the Devonian?

10 A. I interpret it as a reflection on the
11 Devonian, yes.

12 Q. Is it clearly identifiable in the area of the
13 fault?

14 A. No. It's interfering with the noise from the
15 fault.

16 Q. Now, when you --

17 A. How close to the fault are you talking
18 about?

19 Q. Well, I mean with what we have as I look at
20 the three plats that you have presented in the last
21 hearings is that in all cases we have a fault and
22 basically they have moved from hearing to hearing.

23 A. (Witness nodded.)

24 Q. And my question is, how accurate is the
25 seismic in this area?

1 A. Well, in this case I moved the fault 200 feet
2 to the east according to my scale.

3 And I don't feel like 200 feet -- I feel like
4 200 feet is within the limits of what I'm able to do.

5 Q. Could it be that the fault could be 200 feet,
6 say, even with this data to the west of where you
7 placed it right now?

8 A. No. Then the Stevens No. 1 sidetrack would
9 have been up from it.

10 Q. What about in the northern portion of Section
11 9, say, in the northeast of the northwest? Could it be
12 200 feet in that area; would that be within the reason?

13 A. It could be within 200 feet.

14 Q. If it's 200 feet to the west up there,
15 wouldn't you have less of a north dip and more of an
16 east dip in the formation?

17 If you take the fault in the northern portion
18 of Section 9, move it 200 feet to the west, wouldn't
19 that tend to in fact make the dip more easterly and
20 less northerly?

21 A. I don't see how you're changing the dip on
22 the contours by moving the fault if you don't change
23 the contours.

24 Q. But you move the fault and honor that
25 information, wouldn't you also have to adjust the

1 contour?

2 A. I didn't adjust contours on this map.

3 Q. In terms of the seismic data you have
4 available to you at this time, is there anything new
5 that you didn't have available to you a year ago in the
6 pool rule hearings?

7 A. We have the information on these two wells.

8 Q. Do you have additional seismic work?

9 A. No.

10 Q. But basically your interpretation is these
11 two new wells and the preexisting seismic data?

12 A. Yes.

13 Q. And it was based, if we look at the
14 information that you're utilizing to project the dip in
15 the northeast of 9, that's the line that is labeled
16 SF2; isn't that right?

17 A. Yes.

18 Q. Do you also integrate information from line
19 SF1 that runs east-west across the area?

20 A. Yes.

21 Q. Isn't that the very same seismic information
22 that you would have utilized to have previously placed
23 the fault to the west of where you're placing it today?

24 A. It is the exact same data.

25 Q. And so the only new data that you've utilized

1 to move this is in fact the information from the two,
2 the sidetrack wells, that were drilled by Stevens?

3 A. Yes.

4 Q. I believe you stated you had not had access
5 to the information from the Formation MicroScanner;
6 isn't that correct?

7 A. That's correct.

8 Q. And that information provides you with
9 information on the dip and the strike of the fault;
10 isn't that right?

11 A. That's interpretive.

12 Q. But if you had information that you could
13 interpret dip and strike of the fault, wouldn't that be
14 something that you would also be able to utilize in
15 further refining this information?

16 A. Possibly.

17 Q. And that's information you haven't had; isn't
18 that right?

19 A. That's right.

20 Q. Now, if we look at the seismic lines, the SF
21 No. 2 and SF No. 1, that's the only seismic information
22 that could have been utilized to in fact drill the
23 first sidetrack hole drilled by the Stevens and the
24 Deemar earlier this year; isn't that correct?

25 A. Yes.

1 Q. That resulted in a dry hole, didn't it?

2 A. Yes.

3 Q. The fault wasn't where it was projected;
4 isn't that right?

5 A. That's right.

6 Q. It's also the very same seismic information
7 that you utilized in picking the location for your
8 Holmstrom No. 2; isn't that right?

9 A. That's right.

10 Q. That was a dry hole?

11 A. That's correct.

12 MR. CARR: That's all I have. Thank you.

13 MR. LeMAY: Thank you, Mr. Carr.

14 Additional questions of the witness?

15 Yes, sir, Mr. Padilla.

16 REDIRECT EXAMINATION

17 BY MR. PADILLA:

18 Q. Mr. Holmstrom, in reviewing the imaging
19 information that was presented by Stevens this morning,
20 did that have any effect in your interpretation of the
21 fault or the contour lines?

22 A. No.

23 Q. No influence at all?

24 A. No.

25 MR. PADILLA: That's all.

1 MR. LeMAY: Just one here, Mr. Holmstrom.

2 EXAMINATION

3 BY MR. LeMAY:

4 Q. On your map it's -- the scale that we're
5 talking about -- a couple hundred feet isn't much?

6 A. It's about the width of the fault line, yes,
7 sir.

8 Q. That's what it looks like to me. My concern
9 is on your line SF2 and SF1, are those pretty
10 accurately located in relationship to the various
11 footages in there?

12 I mean is it -- it's not just eyeball line,
13 is it?

14 A. No, sir. That's as accurately as I can --
15 the survey in the field was made to this same scale, 1
16 inch to 2,000.

17 And that surveyor's plat was used to locate
18 these shot points on the map.

19 Q. So we can assume that even though the scale
20 is --

21 A. They're as accurately as I can get them on a
22 to-scale map.

23 Q. And the other indication, you show an
24 additional fault where I think Mr. Ahlen shows just one
25 fault.

1 He takes a curve in that fault, and you show
2 two faults separating that dry hole, that No. 2 well.

3 You were able to see on the record down there
4 a fault?

5 A. The second fault is not as clear as the fault
6 on the west side. It's more interpretive than the
7 large fault, the structure-forming fault on the west
8 side.

9 But I feel there is some evidence for fault
10 on the north-south line.

11 MR. LeMAY: Thank you.

12 Additional questions?

13 If not, you may be excused. Thank you, sir.

14 L. D. SIPES, Jr.,
15 having been previously duly sworn, testified upon his
16 oath as follows:

17 DIRECT EXAMINATION

18 BY MR. PADILLA:

19 Q. Mr. Sipes, please state your name.

20 A. L. D. Sipes, Jr.

21 Q. Where do you live, Mr. Sipes?

22 A. I live at 1400 Princeton, Midland, Texas.

23 Q. Are you a petroleum consulting engineer?

24 A. I am a petroleum engineer, yes.

25 Q. And you're a consultant to Santa Fe

1 Exploration in this case?

2 A. Yes, I am.

3 Q. Can you tell us about where you received your
4 education in petroleum engineering?

5 A. I received my bachelor of science degree in
6 petroleum engineering from Texas Tech University in
7 1957.

8 Q. And what have you done since you received
9 that degree, Mr. Sipes?

10 A. Well, for the next ten years, with some time
11 out to go to school and to the Army twice, I worked for
12 four laboratories, mostly in the research lab and in
13 their engineering consulting department.

14 Q. And for how long did you do that?

15 A. Until 1966. And in 1966 I went to work for a
16 local consulting firm in Midland, Texas. In 1969 we
17 purchased that firm, employee's did. And that firm has
18 been in existence since that time.

19 For about 25 years I was in the consulting
20 business.

21 Q. What was the name of that firm?

22 A. Sipes, Williamson & Associates.

23 Q. Are you still a consultant engineer, a
24 consulting engineering?

25 A. I do consulting on occasion, yes, sir.

1 Q. And you're with that firm still, or you're no
2 longer with that firm?

3 A. I'm still associated with that firm, although
4 I'm not an active consultant in that firm.

5 Q. Now, you testified in connection in the first
6 hearing on the matter; isn't that correct?

7 A. Yes, I did.

8 Q. Have you prepared for introduction exhibits
9 for today's hearing?

10 A. Yes, I have.

11 MR. PADILLA: Mr. Chairman, we tender Mr.
12 Sipes as an expert in petroleum engineering.

13 MR. LeMAY: His qualifications are
14 acceptable.

15 Q. (BY MR. PADILLA) Mr. Sipes, let's get into
16 Exhibit No. 2 and have you identify that for the
17 Commission.

18 A. Exhibit No. 2 is a structure map on the top
19 of the Devonian formation in the North King Camp Field,
20 Chaves County, New Mexico.

21 On that I have attempted to honor the well
22 cuts and datum which you see listed there.

23 And then I have also tried to honor the dip,
24 which was established by Mr. Holmstrom on his maps,
25 regarding the north dip and east dip in the portions of

1 the reservoir where we have no well information.

2 (Thereupon, Sipes Exhibit No. 2
3 was identified.)

4 Q. Now, you essentially did the same thing that
5 Mr. Hickman did with regard to Mr. Ahlen's maps; is
6 that essentially what you've done in making Exhibit No.
7 2?

8 A. Essentially, so although you'll notice that
9 the shape of the contour may not be precise because
10 this was not done as an overlay; it was done to honor
11 the dips and the specific distances that I know are
12 there.

13 Q. Why is it important to honor the dips in this
14 case?

15 A. We have to project the top of the Devonian
16 where it intersects the oil-water contact in order to
17 describe the entire area of the reservoir and the
18 volume.

19 Q. Where do you establish the oil-water contact?

20 A. The oil-water contact, we don't have any data
21 on which to establish that contact in this field.

22 We know that the highest known water that's
23 been measured on the east side of the fault has been at
24 a minus 6,107.

25 Q. You're looking now at Exhibit No. 3; is that

1 correct?

2 A. I'm looking at Exhibit No. 3 to get the exact
3 numbers.

4 The lowest known oil in the reservoir at this
5 time is a minus 6,016.

6 Q. How is the oil-water contact important
7 insofar as determining reserves in this case?

8 A. The oil-water contact is extremely important
9 in this field because it determines -- because it is a
10 water drive reservoir, it determines the volume of
11 reserves which you will ultimately recover from this
12 field and also how those reserves will be shared as the
13 cumulative production in the field goes up.

14 Q. As you produce the reservoir, what happens to
15 the water drive mechanism? How does that affect
16 producing rates?

17 A. Well, in a water drive reservoir, what you
18 have is a similar analogy to Mr. Gruy's Coke bottle;
19 only whenever it is expanded to the extent of the
20 additions which Mr. Kellahin gave it, which was the
21 bottom water drive, when you start putting water into
22 it.

23 The amount of reserves that would be produced
24 as the oil-water contact moves up in a water drive
25 reservoir will be shared proportional to the amount of

1 rate or oil that is produced from each well that is
2 capable of producing.

3 Q. Now, you've heard the testimony this morning
4 from Mr. Hickman, and he wants to produce both wells at
5 essentially even rates.

6 What do Exhibits 1 and 2 show in relation to
7 producing rates on the basis of top allowable?

8 A. Well, if you take Exhibit 2, and I took
9 Exhibit 2 and I planimetered the information, the areas
10 and volumes on Exhibit 2, from which I prepared Exhibit
11 3.

12 Exhibit 3 is simply a depiction of the
13 reservoir dip sub-C on the left and then the cumulative
14 reservoir volume at that depth and drew a graph of that
15 information so we would have something graphically that
16 we could look at and understand what's happening in
17 that reservoir.

18 Now, using Exhibit 3 I have shown on here the
19 perforated interval in the Deemar Federal No. 1 and
20 also the open hole section of the Holmstrom Federal No.
21 1.

22 If you look at this, and I would just eyeball
23 this, but at an oil-water contact, which Mr. Ahlen
24 suggested might be at 6,055 feet, then there's probably
25 11,000, 11,500 acre feet of productive reservoir in

1 this structure in my opinion.

2 I agree with Mr. Gruy that probably the
3 oil-water contact is slightly above that because of the
4 performance of the Holmstrom Federal No. 1

5 (Thereupon, Sipes Exhibit No. 3
6 was identified.)

7 Q. In other words, by virtue of cumulative
8 production on that well, the oil-water contact has
9 risen?

10 A. Yes. It will rise in the entire reservoir
11 because of the good permeability within the reservoir.

12 And at -- with each successive level of
13 movement of that oil-water contact, the reserves will
14 be shared by the relative amounts of production that's
15 taken from each well.

16 And there will be drainage across lease lines
17 within this reservoir.

18 Q. Because of the proximity of the Deemar well
19 to the property line, or how -- would you explain your
20 last remark, please?

21 A. Well, the last remark was simply made and it
22 assumes that there would be some, as you had indicated
23 earlier, some parity between the producing rates
24 between the Deemar and the Holmstrom.

25 For example, if the oil-water contact moved

1 up and there was 100,000 barrels of oil produced in
2 this reservoir, with that movement of the oil-water
3 contact, and each well produced at 500 barrels a day
4 during that period of time, then they would share
5 reserves fifty-fifty.

6 Q. Now, let me show you what we have marked as
7 Exhibit No. 4. Please identify that for the record.

8 A. This is a letter from the Oil Conservation
9 Division dated August 28, 1989. It's addressed to
10 Campbell & Black, P.A., Santa Fe, New Mexico, attention
11 Mr. William F. Carr.

12 (Thereupon, Sipes Exhibit No. 4
13 was identified.)

14 Q. What's the bottom line of that letter? I
15 realize the letter speaks for itself, but that letter
16 sets an allowable restriction, doesn't it?

17 A. According to this letter, the application of
18 the penalty, which is written into the Commission
19 order, to the Deemar Federal No. 1 would give an
20 allowable of 34.04 barrels per day.

21 Q. Have you in your exhibits made an independent
22 evaluation of how this figure relates to an appropriate
23 penalty for the Deemar No. 1 well?

24 A. Well, in some of my work, I have taken the
25 amount of reservoir volume, which is west of the lease

1 line or in the west half of Section 9, and compared
2 that to the total reservoir.

3 And at a sub-C depth of 6,055 for the
4 oil-water contact, the proportion of reserves, in my
5 opinion, that lie west of that lease line and on Mr.
6 Stevens' lease is approximately 10 percent.

7 Q. And in applying, how do you apply that 10
8 percent to the top allowable of the pool?

9 A. If you assume that the total withdrawals from
10 the pool are 500 barrels a day, then the Deemar Federal
11 should be allowed to produce 10 percent of that, or 50
12 barrels.

13 Q. Fifty barrels. So your estimate is that
14 based on that 10 percent that you ought to have an
15 increase of 34 barrels, as stated in this Exhibit 4,
16 from 34 to about 50?

17 A. No, sir, not exactly. The Holmstrom Federal
18 No. 1 right now is producing slightly over 200 barrels
19 of oil per day.

20 And if you apply that 10 percent, then it
21 would equate to about 21 barrels a day for their 10
22 percent withdrawal from the reservoir.

23 Q. In effect, so you're saying you should not
24 apply it against the top allowable, but the actual
25 producing rate of Santa Fe well?

1 A. I think that would put it in fairness and
2 would be equitable based on their proportion of the
3 reservoir above the oil-water contact.

4 Q. Mr. Sipes, do you have anything further
5 concerning Exhibits 1, 2, 3, or 4?

6 A. I don't believe so.

7 MR. PADILLA: Pass the witness, Mr.

8 Chairman.

9 MR. LeMAY: Thank you, Mr. Padilla.

10 Mr. Kellahin.

11 DIRECT EXAMINATION

12 BY MR. KELLAHIN:

13 Q. Mr. Sipes, you were present in the hearing
14 room today during the course of Mr. Ahlen's
15 presentation testimony, and you have seen and looked at
16 his exhibits?

17 A. Yes, I have.

18 Q. Were you also present in the hearing room
19 when Mr. Hickman testified and had an opportunity to
20 hear his testimony and review his exhibits with him as
21 he made his presentation?

22 A. Yes.

23 Q. Would you buy and sell reserves within this
24 section based upon Mr. Ahlen's and Mr. Hickman's
25 cumulative study of the estimated oil recovery within

1 the section?

2 A. No, sir.

3 Q. Why not?

4 A. In my opinion the oil-water contact is higher
5 than than they have assumed, that's number one, that
6 would reduce the overall reserves.

7 And, number two, from the information I had,
8 I calculated Mr. Hickman's arrived at about 431 barrels
9 of oil in place per acre foot.

10 And I questioned whether or not we have
11 enough information on which to make that kind of --
12 that kind of judgment, sir.

13 We have not penetrated the entire reservoir,
14 and we do not have logs and other information that
15 would tell us what those properties are below the
16 bottom of the holes which have been drilled.

17 Q. In your opinion, as a reservoir engineer --
18 well, let me ask you this.

19 If available technical data is supplied to
20 you in which you have confidence, are you able in
21 certain areas to determine within a reasonable degree
22 of probability the net productive acres within a
23 particular tract?

24 A. Yes.

25 Q. Do we have, in your opinion as a reservoir

1 engineer, sufficient data within this area to make that
2 determination in this case?

3 A. In my opinion, yes.

4 Q. When we look at the oil-water contact, what
5 information do we have with regards to the oil-water
6 contact?

7 A. Three pieces, three or four pieces of
8 information.

9 On the west side -- on the east side of the
10 fault, which describes the western boundary of this
11 particular reservoir, we know these facts:

12 The Deemar Federal was completed and did not
13 produce any water; therefore, the oil contact is below
14 those perforations.

15 We know that the Holmstrom Federal No. 1 that
16 upon initial completion down to a minus 6,016 that it
17 produced water-free.

18 We know that the Holmstrom Federal No. 2,
19 again on the east side of the fault, tested water at a
20 sub-C depth of minus 6,107 feet.

21 Those are the only facts we have other than
22 the water which had been produced after some period of
23 time from the Holmstrom No. 1.

24 Q. In examining Mr. Hickman's methodology, he
25 made volumetric calculations of recoverable reserves;

1 then he ran a computer simulation to give him
2 additional information.

3 That is not a unique methodology to apply in
4 order to come up with an estimate of ultimate oil
5 recovery in a reservoir, is it?

6 A. No, it isn't. And I might point out that Mr.
7 Hickman, given the configuration of the reservoir in
8 which he was working and the permeability which he used
9 in that reservoir, could have probably done the same
10 thing by constructing a graph such as I did, Exhibit
11 No. 3 here.

12 Q. Is it a correct statement that your work and
13 Mr. Hickman's work is going to be founded and
14 predicated upon the geology?

15 A. Yes, it is.

16 Q. And that if there is a material difference in
17 the information given to you or to Mr. Hickman as an
18 engineer with regards to the size and the shape of that
19 reservoir, then in applying your particular
20 calculations to that information, you can each come up
21 with materially different ultimate oil recoveries?

22 A. Yes, we can.

23 Q. Now, you said awhile ago that you believed --
24 well, first of all, you would not buy and sell
25 properties in this section based upon Mr. Ahlen's and

1 Mr. Hickman's conclusions; that was true?

2 A. Yes.

3 Q. But you've also told me, in your opinion as a
4 reservoir engineer, that you and Mr. Holmstrom had
5 sufficient data by which you could with a reasonable
6 degree of engineering probability come up with
7 estimates of reserves?

8 A. I don't believe I testified that we could
9 come up with reserves. I work strictly with reservoir
10 volumes.

11 And as has been pointed out here earlier
12 today, the factors which you apply to those reservoir
13 volumes, because we don't know anything different, are
14 going to be uniform across the field.

15 So any proportionality that you want to be
16 discussing can be done strictly off of reservoir
17 volumes.

18 And you don't have to put in other uncertain
19 factors to get down to recoverable reserves.

20 Q. Mr. Hickman has given a different reservoir
21 volume than you have?

22 A. Yes, he has.

23 Q. In examining the choices you make as a
24 reservoir engineer and which information to utilize to
25 come up with reservoir volumes, which would you select?

1 A. I would select the one that I used. And the
2 primary difference appears to be the north dip in the
3 east half of Section 9, which is predicated upon
4 seismic information.

5 And Mr. Hickman and Ahlen did not have access
6 to that information, and, therefore, they have moved
7 those contours further north and opened them up and
8 increased the volume of the reservoir.

9 And there's no information up there on which
10 to make those judgments.

11 Q. If the Commission makes the judgment that
12 they are going to adopt some type of volume equity in
13 establishing a producing rate for the Deemar well, how
14 would we accomplish that?

15 A. In my opinion, they should go back and look
16 at the volumes which I've calculated and testified that
17 the west half of the section has approximately 10
18 percent of the productive growth volume of the
19 reservoir.

20 And they should allocate approximately 10
21 percent of the reservoir withdrawals to the Deemar No.
22 1.

23 Q. If we do that, then, how do we peg the
24 producing rate upon which we fix the 10 percent?

25 Is it going to be the productivity or the

1 deliverability of the Deemar well?

2 Will it be the allowable?

3 Will it be the current producing rate of
4 Holmstrom well or the Deemar well?

5 What, in your opinion, should be the
6 mechanics by which that relationship is reduced to a
7 producing rate?

8 A. It should be based primarily upon a 10
9 percent of withdrawals, and that is not necessarily top
10 allowable. Now --

11 Q. You're talking about 10 percent of the
12 withdrawals from the reservoir?

13 A. Yes, I am. Now, Mr. --

14 Q. Explain to me how that would work.

15 A. Mr. Hickman earlier had testified that there
16 are additional reserves behind-pipe, I believe, in
17 Holmstrom No. 1 that have not perforated.

18 Mr. Hickman perhaps did not know that that
19 section of the borehole had been drill-stem tested and
20 was found to be tight.

21 Q. In your opinion, is it necessary to introduce
22 an additional factor into the producing rate
23 calculation for the Deemar well that takes into account
24 the physical location -- we have discussed a factor to
25 bring equity to the various interest owners by

1 establishing a parameter for the producing rate that
2 has a relationship to reservoir volume.

3 I want to discuss with you now whether or
4 not, in your opinion as an engineer, you feel it
5 necessary to recommend to the Commission that they also
6 utilize a factor to consider the relationship of the
7 bottom-hole location of the Deemar well 78 feet from
8 the common line versus the fact that the offsetting
9 Holmstrom well is at least a standard well location?

10 A. I believe that the Commission could use
11 either methodology but not both.

12 Q. Which, in your opinion, is the methodology
13 that gives you the greatest comfort as a reservoir
14 engineer in attempting to establish an equity for
15 uncompensated drainage as the two wells compete for the
16 reserves in the pool?

17 A. In my opinion, the approach that the Division
18 has already taken in their order very adequately
19 compensates and sets the allowables that would be
20 reasonable in this pool.

21 Q. And that current producing rate, in your
22 opinion, can be justified based upon a volumetric
23 parity between the east half of the section and the
24 west half of the section?

25 A. Yes.

1 MR. KELLAHIN: Thank you, Mr. Chairman.

2 MR. LeMAY: Thank you, Mr. Kellahin.

3 Mr. Padilla.

4 MR. PADILLA: Mr. Chairman, let me move the
5 admission of our Exhibits 1 through 4. I don't believe
6 I did that. And we won't be using Exhibit No. 5, which
7 I did distribute to the Commission.

8 (Thereupon, Sipes Exhibits 1-4
9 were offered into evidence.)

10 MR. LeMAY: Thank you.

11 Without objection, Exhibits 1 through 4 will
12 be admitted into the record.

13 (Thereupon, Sipes Exhibits 1-4
14 were admitted into evidence.)

15 Thank you, sir.

16 Mr. Carr.

17 CROSS-EXAMINATION

18 BY MR. CARR:

19 Q. Mr. Sipes, I did not clear my first question
20 with Mr. Hickman, but do you know Mr. Hickman?

21 A. Mr. Hickman I know.

22 Q. Is he a friend of yours?

23 A. Yes.

24 Q. Have you had the opportunity to review his
25 work?

1 A. Yes.

2 Q. Do you consider him to be a competent
3 consulting petroleum engineer?

4 A. Yes.

5 Q. I'm glad your answers were that because I
6 have to go and see Mr. Hickman after the hearing.

7 In your work reviewing the wells in the North
8 King Camp Devonian Pool, have you come across any
9 testing data concerning fluctuations in the rate on the
10 Holmstrom Federal No. 1 to determine what impact that
11 changing the rate may in fact have on water production
12 in that well?

13 A. No.

14 Q. Are you aware of any such tests having been
15 run?

16 A. No, I'm not.

17 Q. I'd like to go to your, I guess, Exhibit No.
18 2. We'll start with that.

19 The contours that you have placed on this
20 exhibit, if I understand them, are based on the seismic
21 work from Mr. Holmstrom; is that correct?

22 A. That's basically correct, yes.

23 Q. As you curve the contours across the
24 northeast quarter of Section 9 and off to the west,
25 this also tends to reduce the reserves that would be

1 under the northeast quarter at the same time it reduces
2 those that are under the west half; isn't that correct?

3 A. That is correct.

4 Q. Now, did I understand your testimony to be
5 that based on your calculations, approximately 10
6 percent of the total reserves is all that is under the
7 west half of this section?

8 A. That's right.

9 Q. Now, if I understood your recommendation,
10 your recommendation was not that -- was that we be
11 entitled to produce 10 percent of something. I'm going
12 to ask you some questions to try and find out what that
13 was.

14 Was it 10 percent of the total pool
15 allowable?

16 A. No, Mr. Carr. I think I was -- I don't think
17 there's a misunderstanding here because I was very
18 plain. I said 10 percent of the reservoir withdrawals.

19 Q. I'm sorry?

20 A. Ten percent of the reservoir withdrawals.

21 Q. Now, that would be 10 percent of whatever the
22 Santa Fe decides to produce?

23 A. Ten percent of whatever is produced from the
24 reservoir whether it's from the two wells that are
25 there or how many ever afterwards.

1 Q. And at the present time there are only two
2 wells?

3 A. There are only two wells.

4 Q. And if Santa Fe shuts down for a month, does
5 that mean we get nothing for a month?

6 A. I would anticipate that would not be the way
7 it works.

8 Q. Well, if Santa Fe comes in and reworks their
9 well and gets the 515, does that mean we get 51 a
10 month?

11 A. Yes.

12 Q. If they go and drill an additional well and
13 get 515 in the northeast, does that mean we then get an
14 additional 10 percent of whatever their well will make?

15 A. Yes.

16 Q. Are you aware of any situation where an
17 allowable is assigned to a well based on what an
18 offsetting well makes?

19 A. Mr. Carr, if you will go back and recall my
20 testimony, I did not recommend that. I said that that
21 was one way of achieving equity.

22 Q. Are you not recommending that?

23 A. I'm not recommending that.

24 If you recall, in my discussion with Mr.
25 Kellahin, that he asked if -- what I would recommend, I

1 said the -- what the Commission has done up to this
2 point I think has adequately taken care of the equity
3 calculations.

4 Q. Now, let me ask you this. In terms of the
5 equity calculation, do you think it would be
6 unequitable to let the owners of 10 percent of the
7 reserves have 10 percent of the pool allowable; isn't
8 that correct?

9 A. Under a water drive situation, even with the
10 -- with a 10 percent of the total pool allowable and
11 with the structural position which you have, ultimately
12 that well is going to produce more than 10 percent of
13 the reserves in that well.

14 Q. And that doesn't have any relationship to
15 whether we produce 10 barrels a day or 515 barrels a
16 day, does it?

17 Ultimately the higher structural well will
18 recover more from the reservoir; isn't that right?

19 A. Yes, sir, that's true, if there's not another
20 well put in there 78 feet off of your line somewhere to
21 compete with you at the top of the reservoir. That is
22 what would happen.

23 Q. And the owners of the offsetting tracts would
24 have an opportunity to come place a well at that
25 location, would they not?

1 A. I really couldn't say. That would be up to
2 this Commission, Mr. Carr.

3 Q. Do you know of anything that would prevent an
4 operator from offsetting at that kind of a location?

5 A. I know they'd have to come before this body.

6 Q. Are you recommending that we not be allowed
7 10 percent of the total pool allowable?

8 Is that a correct statement of what you would
9 recommend?

10 A. Try that again.

11 Q. What I'm trying to do is you said we have 10
12 percent of the pool allowable. My question to you is
13 are you saying we shouldn't have an opportunity to
14 produce at a rate that is equal to 10 percent of the
15 total pool allowable?

16 A. No, I did not say that.

17 Q. And wouldn't it be appropriate, if we're
18 looking at total pool allowable, to include the top
19 allowable for each of the three prorations?

20 A. Not necessarily, no, sir.

21 Q. Why would that not be?

22 A. Because in my opinion that would not
23 represent equity because in my previous discussion I
24 said 10 percent of reservoir withdrawals, not 10
25 percent of the allowables.

1 Q. Mr. Sipes, are you familiar with the
2 definition of correlative rights?

3 A. Yes.

4 Q. Do you understand that to be an opportunity
5 to produce your just and fair share of the reserves?

6 A. That is correct.

7 Q. And the man who drills the well has availed
8 himself of that opportunity; isn't that right?

9 A. That is correct.

10 Q. And the man who doesn't drill a well hasn't
11 availed himself of that opportunity; isn't that right?

12 A. Generally speaking.

13 Q. And the man who doesn't drill a well in the
14 northeast quarter hasn't availed himself of an
15 opportunity to produce those reserves, has he?

16 A. He hasn't at this current time, no.

17 Q. And because he hasn't done that, is that any
18 reason to penalize the man in the west half who has
19 availed himself of the opportunity and drilled a well?

20 A. I don't have an opinion on that.

21 Q. If I understand your testimony concerning
22 Exhibit 2, you're concerned about drainage of
23 production from the east half to the west half because
24 of the location of Deemar well; is that right?

25 A. I don't think I've testified to that, Mr.

1 Carr.

2 Q. That is not a concern?

3 A. That is not a concern if they are limited to
4 10 percent of the reservoir withdrawals.

5 Q. But if they are permitted to produce as Mr.
6 Hickman recommends, is that one of your concerns and
7 the reason you're recommending 10 percent?

8 A. Yes, it is.

9 Q. Now, suppose we restrict the Deemar well to
10 34 barrels a day and we let the Santa Fe well produce a
11 top allowable, 515, and we let that go on, and I'm not
12 going to take it ten years, but we let it go on for,
13 say, three or four, in that situation isn't it possible
14 that there could be some drainage from the northwest
15 across the lease line toward the Santa Fe well?

16 A. With the assumption which you've given, yes.

17 Q. If the drainage in the reservoir east to west
18 is offset or compensated for with drainage from west to
19 east, each owner, even though there is migration across
20 the lease line, does have a share, an opportunity to
21 produce their share; isn't that right?

22 A. If you have the exactly equal offsetting
23 drainage.

24 Q. Now, let's go to your Exhibit No. 3. Where
25 is the top of the Devonian in the Holmstrom Federal No.

1 1 well?

2 A. Top of the Devonian?

3 Q. Yes, sir.

4 A. Minus 5956, I believe. 57.

5 Q. 5957. Now, when you say on this exhibit that
6 you're assuming the reservoir has 200 feet of
7 thickness, what do you mean by 200 feet of thickness?

8 Is that the portion of the reservoir that
9 contains oil, or does that include a portion of it that
10 is water saturated?

11 A. That assumes that is entirely oil saturated
12 down to the assumed oil-water contact and that it is
13 thick enough to where that 150 or so feet would all
14 contain oil.

15 Q. All contain oil. So if we look at the
16 Holmstrom Federal No. 1, that is currently making some
17 water, is it not?

18 A. Yes, it is.

19 Q. I think you stated that you wouldn't buy and
20 sell reserves based on Mr. Hickman's and Mr. Ahlen's
21 data. And if that's a wrong statement, correct me.

22 A. I said it.

23 Q. Didn't you also --

24 A. That is the case right now.

25 Q. Didn't you say that in your opinion the

1 oil-water contact was in fact somewhat higher than what
2 Mr. Ahlen had indicated?

3 A. In my opinion, it is, yes.

4 Q. If the oil-water contact is actually higher,
5 that would tend to reduce the reserves under the Santa
6 Fe Exploration tract, would it not?

7 A. Yes, as well as the Stevens tract.

8 Q. As well as the Stevens tract. But to that
9 extent it would have a more immediate impact on this
10 tract, would it not, off the Santa Fe tract?

11 A. At that depth, Mr. Carr, it's about
12 proportional.

13 Q. If the oil-water contact -- have you picked
14 an oil-water contact here, Mr. Sipes?

15 A. No, I have not.

16 Q. Mr. Ahlen picked one at 6107; does that seem
17 right?

18 A. No.

19 Q. 6055. And you think it's higher than that?

20 A. Yes, I do.

21 Q. I'm having trouble with, if the oil-water
22 contact is above 6055 in the Holmstrom Federal No. 1
23 and the top of the Devonian is at 5957, understanding
24 how you assume the reservoir has 200 feet of thickness
25 at saturated oil?

1 A. I didn't make that assumption. I said that
2 the thickness down to the oil-water contact is
3 saturated with oil. That's all I said.

4 Q. All right.

5 A. And I assume there's a maximum of 200 or more
6 feet so that I can construct the entire portion of this
7 graph, and then I can interpret this graph.

8 Q. And I'm just misreading it then? When you
9 say assuming the reservoir has 200-plus feet of
10 thickness, what does that mean?

11 A. Well, it means that if the oil-water contact
12 went down to minus 6100, that it would have to have 200
13 feet of thickness in order to have only 2,000 acre feet
14 in it.

15 Q. And it's your testimony in your opinion it's
16 substantially above that?

17 A. Yes, it is.

18 Q. Do you have any information as to whether or
19 not it would be possible to complete the Holmstrom
20 Federal No. 1 higher in the section and thereby
21 increase its producing capabilities?

22 A. There is a -- there was a portion of that
23 hole just into the Devonian formation that was
24 drill-stem tested, and it tested very poor.

25 We do not have the same quality of reservoir

1 in that portion of the hole in my opinion.

2 Q. So in your opinion the upper portion of the
3 Holmstrom No. 1 does not have comparable reservoir
4 quality of the lower section?

5 A. It does not appear to be.

6 Q. Now, in the course of your work as a
7 consulting petroleum engineer, you've been called upon
8 to allocate reserves among tracts, have you not?

9 A. Yes, I have.

10 Q. Have you been able to do that in the past
11 with less data than is available in this case?

12 A. I don't think so.

13 MR. CARR: That's all I have.

14 MR. LeMAY: Thank you, Mr. Carr.

15 Additional questions of the witness?

16 Mr. Padilla.

17 REDIRECT EXAMINATION

18 BY MR. PADILLA:

19 Q. Mr. Sipes, Mr. Carr gave you the definition
20 of correlative rights, and he asked you some questions
21 on correlative rights.

22 The question I have for you is if the Stevens
23 well is allowed to produce a top allowable, how does
24 Santa Fe Exploration protect its correlative rights
25 given the proximity of the Stevens well to the lease

1 line?

2 A. The only way, in my opinion, to do so would
3 be to move up directly offsetting that well and drill
4 another well.

5 MR. PADILLA: That's all I have.

6 MR. LeMAY: Thank you.

7 Are you going to have any more witnesses, Mr.
8 Padilla?

9 MR. PADILLA: This is him.

10 MR. LeMAY: Your last witness.

11 MR. PADILLA: This is my last witness.

12 MR. LeMAY: Are you going to call any
13 witnesses, Mr. Kellahin?

14 MR. KELLAHIN: I'm not sure. I need to take
15 a minute.

16 MR. LeMAY: Additional questions of the
17 witness?

18 Commissioner Weiss.

19 EXAMINATION

20 BY MR. WEISS:

21 Q. What do you estimate the KHKV? I believe we
22 heard 1,000 millidarcies earlier. What's your
23 estimate?

24 A. I believe that the Santa Fe well showed that
25 the total reservoir capacity was something over 3,000

1 millidarcy feet.

2 And my calculations, using data that was
3 supplied from the Deemar Federal No. 1, I calculated
4 approximately 4500 millidarcy feet.

5 Q. And what do you think, could a material
6 balance equation application in this situation, would
7 it be helpful?

8 A. No, sir.

9 Q. One other question. How does Texas handle a
10 forced unitization? I'm new to this.

11 A. I had an experience some time ago, Mr. Weiss,
12 in the Brian Woodbine field. And the way the
13 Commission ultimately solved that problem was to reduce
14 everyone's allowable down to the point it hurt so bad
15 they had to get together.

16 Q. I understand that's done in Wyoming also.

17 A. It's done, yes, sir.

18 MR. WEISS: No more questions. Thank you.

19 THE WITNESS: Thank you.

20 MR. LeMAY: Mr. Sipes, can I ask you a couple
21 more?

22 THE WITNESS: I'm sorry.

23 EXAMINATION

24 BY MR. LeMAY:

25 Q. Is that a recommendation of yours, for this

1 Commission to reduce the allowables to the point where
2 the Santa Fe and the Stevens have to get together on
3 some kind of unitization?

4 A. No, sir, I'm not ready for the lynch mob.

5 Q. If you owned the field, would you just
6 produce the one well, the Deemar No. 1 well, or would
7 you produce both wells?

8 A. No, sir. If I owned the entire field, I'd
9 produce, as has been testified here today, I'd produce
10 both wells until the Holmstrom Federal watered out.

11 And then I would produce the Deemar Federal
12 at a maximum efficient rate that would not come to
13 water.

14 Q. I see. You made some testimony as to the
15 fact there's a drill-stem test in the upper interval,
16 and we don't have any data on that.

17 Are you referring to a drill-stem test that's
18 not on Exhibit No. 3 that Mr. Ahlen submitted?

19 A. I believe so, yes.

20 Q. I assume that was a tight well and that was
21 drill-stem tested.

22 We don't have any information on it; isn't
23 that correct?

24 A. It may well be.

25 Q. There was a drill-stem test. We had quite a

1 bit of oil lower down?

2 A. Lower down, that's true, but after they
3 drilled into the top of the Devonian, they did take a
4 top of the drill-stem test.

5 And it showed that portion of the reservoir
6 to be relatively tight.

7 Q. Do you want to -- have you done some work
8 with that, analyzing logs?

9 A. No, I haven't, sir.

10 Q. Could you supply the Commission or ask the
11 operator to supply the Commission with that drill-stem
12 test?

13 A. Of course.

14 Q. I'd like to have that data. It's not in our
15 files.

16 What about the log? Just eyeballing the log,
17 it looks like there's porosity all the way to the top.

18 Is that just an eyeball situation? Is that
19 your impression of that well too?

20 A. Porosity is pretty low up there, although
21 it's not as poor as the drill stem test would
22 indicate.

23 Q. We're having a problem trying to come to
24 grips with some rather wide recommendations from two
25 maps that aren't that much apart.

1 You can swing that fault a little bit. That
2 will affect the Stevens acreage quite a bit. If you
3 close in the contours on the north dip relative to both
4 tracts, you're not going to lose that much proportion.

5 You're all in fairly well agreement on the
6 oil-water contact, if you're going to raise it. When
7 you say a little bit, how much is a little? Five feet,
8 ten feet?

9 A. In my opinion, I just picked the figure of
10 6,040 feet.

11 Q. 6,040?

12 A. Minus 6,040.

13 Q. Okay.

14 A. But I believe that changing those contours
15 has a more marked effect than you might realize.

16 Q. That could be.

17 A. That seems to be the principal difference
18 between the two maps.

19 Q. Well, even given that, we're talking about,
20 what, 10 percent to 30 percent, that's the range we're
21 arguing as far as productive acreage, percentage of
22 relative productive acreage in the field?

23 I thought previous testimony, Mr. Hickman
24 indicated that 29 percent, or something like that, of
25 the productive volume of rock was under the Stevens

1 acreage. That leaves about 70 for Santa Fe Energy.

2 You're saying maybe 10 and 90, and yet you're
3 both recommending such a wide variation of allowables.
4 You want to keep this thing at 34, and I think are Mr.
5 Hickman wanted to go up to something like 450.

6 That doesn't seem to -- and yet you say you
7 agree on pretty much everything else within this range
8 of variation.

9 Can you help the Commission kind of come to
10 grips with why this wide variation in allowable
11 recommendations?

12 A. I think, Mr. LeMay, it's a matter of when you
13 do change those contours on the north end, it makes
14 that kind of difference in volumes of productive
15 reservoir on that west half, number one.

16 Number two is Mr. Hickman is assuming that
17 the Holmstrom Federal No. 1 can be reworked and go to
18 515 barrels allowable, which I'm not sure it can do
19 without coning a lot of water.

20 And that goes to the heart of the maximum
21 efficient rate in my opinion.

22 Q. Do you have a recommendation for a maximum
23 efficient rate for that well?

24 A. We have not done any coning calculations,
25 which I think is what would ultimately be required to

1 come to those numbers, Mr. LeMay.

2 Q. Is there a maximum efficient rate for the
3 Stevens well?

4 A. I think you can produce the Stevens well,
5 given what I know about it at this point, at whatever
6 rate you wanted to, whatever it will physically
7 produce. It will not hurt at this point.

8 But down the road it will cone water and
9 cause waste.

10 Q. So there is some point at which an allowable
11 could be set, especially when you're getting water
12 close to it that is an efficient rate that will
13 maximize the recovery from that well and not cone
14 water; is that kind of what you're saying?

15 A. That is correct.

16 Q. But that rate we don't know?

17 A. We don't know where that level is, and we
18 have not run any test that would optimize that
19 producing rate in the Holmstrom wells.

20 MR. LeMAY: That's all the questions I have.

21 Additional questions of the witness?

22 If not, he may be excused.

23 MR. KELLAHIN: Mr. Chairman, I will tell you
24 what my witness was prepared to discuss, and I'll be
25 happy to put her on.

1 There is, in my opinion, a material
2 difference between the location of the fault line and
3 the two geologic interpretations.

4 I propose to call a geologist that will talk
5 about the MicroScanner images used by Mr. Ahlen and how
6 she believes that his orientation of that fault is not
7 correct.

8 That being the hour, I think I can do that in
9 20 minutes, if you want to hear that testimony. That
10 is -- that's the extent of our presentation.

11 I don't believe Mr. Carr has any other
12 witnesses, and I certainly don't think we do.

13 If you'll indulge me, we'll do that as
14 quickly as possible.

15 MR. LeMAY: Why don't we take a five-minute
16 break so the court reporter can get set up for the end
17 of it.

18 (Thereupon, a recess was taken.)

19 MR. LeMAY: We're going to recall a witness.
20 We have that prerogative.

21 Buddy Sipes, where are you? I really want to
22 ask you a couple more, if you don't mind. We
23 instituted a Commission policy, we can recall witnesses
24 after they're all through so we can ask a few more
25 questions that might become clearer after we hear a lot

1 of testimony.

2 THE WITNESS: May I come up without my coat?

3 MR. LeMAY: You come any way you want.

4 L. D. SIPES,

5 having been previously duly sworn, testified further
6 upon his oath as follows:

7 FURTHER EXAMINATION

8 BY MR. LeMAY:

9 Q. Going back to your Exhibit No. 3 --

10 A. Yes, sir.

11 Q. -- can you take us through that exhibit. And
12 it has cumulative reserve volumes and acre feet at the
13 bottom. And your vertical scale is a sub-C scale.

14 Does that mean in using that map you could
15 take any sub-C number, like minus 6,000 feet?

16 A. Yes.

17 Q. Take that over to -- I don't know how you got
18 this curve here.

19 A. I planimetered those volumes in the reservoir
20 down to that particular contour.

21 Q. So you take 6,000 over here, which would be
22 -- you planimetered -- I'm trying to find out, maybe,
23 5,000 volume?

24 A. 5,000 acre feet.

25 Q. 5,000 acre feet?

1 A. Right.

2 Q. Is this what is under the -- is the amount of
3 volume of rock within the 6 -- minus 6,000 contour
4 line?

5 A. Yes, that's correct.

6 Q. So then after taking all that, this was the
7 line that prevailed after you did the planimeter work;
8 is that right?

9 A. Yes, it is.

10 MR. LeMAY: Mr. Weiss has got a question
11 here.

12 FURTHER EXAMINATION

13 BY MR. WEISS:

14 Q. Can you read there and tell me on Exhibit 12
15 of Mr. Hickman's what he calls gross reservoir
16 volume -- can you pick off your gross, your estimates
17 of gross reservoir volume?

18 A. At a particular sub-C elevation or by
19 location? He's got it by location.

20 Q. He has it by location.

21 A. I do not have it on that map or on that
22 figure there, but I did go in and planimeter that
23 portion of the reservoir that is on the west half of
24 the section.

25 And I did it the same way and thereby was

1 able to construct another curve of reservoir volume
2 versus depth in that west half.

3 Then relating those two at each sub-C
4 elevation, I came to the fact that if the oil-water
5 contact is a certain level, then that east -- that west
6 sliver has a certain portion of the total productive
7 rock volume in the reservoir.

8 Q. As I recall, you said the total productive
9 rock volume might be 11,000 acre feet?

10 A. If the oil-water contact is minus 6,055. I
11 could be more precise.

12 Q. And the west half contains what portion of
13 that 11,000?

14 A. Approximately 10 percent. I could give you
15 better numbers than that by getting my data, sir. Be
16 between 9 and 10.

17 MR. LeMAY: Thank you very much.

18 MR. SIPES: Okay.

19 MR. LeMAY: I'd like to recall, too, Mr.
20 Hickman just for a minute and have his comments on Mr.
21 Sipes.

22 MR. HICKMAN: Do I need to bring my exhibits
23 with me?

24 MR. STOVALL: I can hand you some if you need
25 them.

1 MR. HICKMAN: Thank you, sir.

2 MR. LeMAY: Just Exhibit 3 on Buddy Sipes'
3 presentation, that's all.

4 T. SCOTT HICKMAN,
5 having been previously duly sworn, testified further
6 upon his oath as follows:

7 FURTHER EXAMINATION

8 BY MR. LeMAY:

9 Q. Looking at that, is that also an acceptable
10 way to -- we're assuming that you accept the geologic
11 parameters as shown by the other side?

12 A. Okay, sir.

13 Q. Assuming those parameters, do you agree with
14 this method of calculation of reservoir volume?

15 A. Yes, of reservoir volume only, not of
16 producible reservoir volume.

17 And the 10 percent number Mr. Sipes came up
18 with is a different -- is based on a different approach
19 than the 29.-something percent that I came up with.

20 Q. Maybe it's the approaches I'm trying to come
21 to grips with. How are the approaches different?

22 Aren't we all taking volumes within that
23 reservoir?

24 A. If I understood Mr. Sipes' testimony, and if
25 I haven't, either his lawyer will correct me or when I

1 get back to Midland, Buddy will correct me.

2 He first did, using gross interval, he did
3 this integration approach, which is a good approach to
4 get total gross reservoir volume in any particular
5 sub-C.

6 I've got no argument with that, assuming the
7 geological interpretation is one that I accepted.

8 Then I think he said this -- now, again,
9 trying not to misquote him -- that he then took the
10 west side, the Deemar lease, and constructed virtually
11 the same curve for it by planimetering that lease.

12 And then that that worked out to be, based on
13 that part, came up with that volume was about 10
14 percent of that total volume.

15 That's an entirely different approach than
16 what I used.

17 What I did was to, if I can step down here a
18 moment, I worked with individual tracts. And as I went
19 through earlier, much earlier today, you know, we had
20 the producing, the current producing volume, on this
21 tract is here.

22 What I call behind-pipe volume is here, and
23 the attic is here. Same way on this tract and the same
24 way on the undrilled tract.

25 MR. STOVALL: May I, to make a record, since

1 the Commission is asking the questions, would you
2 identify the exhibit you're referring to now.

3 MR. CARR: This is Ahlen Exhibit 3.

4 THE WITNESS: Ahlen Exhibit 3.

5 And so my comparison, whether you do it on
6 the reservoir volume or reservoir volume, you get the
7 same proportion. That 29.-something percent, comes
8 from totaling the total producible volume on this
9 tract, total producible volume on this tract, and total
10 producible volume, assuming a regular location, on this
11 tract.

12 Q. (BY MR. LeMAY) When you say "this tract,"
13 for the record, we're referring to the three proration
14 units.

15 A. Well, two proration units plus the undrilled
16 tract.

17 And then what's significant here then is if
18 this water level is at minus 6040, rather than at a 55,
19 at what we assumed, if this behind-pipe area is tight,
20 as has been suggested by a drill-stem test I'm not
21 familiar with, then you've greatly reduced the
22 producible, both the producible volume, i.e., the
23 producible reserves on this tract.

24 MR. CARR: Which tract is that?

25 THE WITNESS: I apologize. On the Holmstrom

1 tract and to some degree by the higher water level on
2 all three -- higher water level affects all three
3 tracts.

4 Its effect is greatest for its remaining
5 reserves. Reduction of remaining reserves is greatest
6 on tracts that have the lowest structural position.

7 And so the Stevens tract comes out ahead then
8 by raising the water level.

9 As far as the proportion of remaining
10 reserves, it keeps gaining because it's got that high
11 structural position.

12 Q. (BY MR. LeMAY) I understand. You say that
13 the relative ratios would remain the same with your
14 method and with Mr. Sipes' method, assuming the same
15 geological parameters?

16 A. No, they don't. They're different, again,
17 because he's comparing -- on the Stevens lease the well
18 is located up near the very top. There's just a little
19 bit of attic there. We figure about 4,000 barrels in
20 the attic. I wouldn't argue whether it was 3 or 7 in
21 that order of magnitude.

22 And so the gross interval there is
23 representative of its total producing interval and
24 representative of its reserves.

25 On the other tract, on the Holmstrom tract,

1 where that well is located lower structurally, its
2 gross interval is not representative of its producible
3 reserves or producible reservoir volume, whichever you
4 choose to use.

5 So I would question the 10 percent number if
6 it was refigured just on producible reservoir volume as
7 opposed to gross reservoir volume.

8 I appear to have muddled the water further.

9 Q. Yes. We're trying to get to the bottom of
10 this. If you're looking at volume for volume, if
11 you're going to run a planimeter on this map, this map
12 being Santa Fe's Exhibit No. 2, their structural
13 parameters, their geological parameters, and you're
14 taking the volume under this sliver compared to the
15 volume of rock, taking the oil-water contact, under the
16 Holmstrom, the Santa Fe Energy productive acreage,
17 aren't we going to come up with two different volumes
18 of rock that will be just about the same as was done by
19 your method?

20 A. No, sir. Now, if you refer to my Exhibit 12,
21 which I believe is the tabular -- is the tabulation of
22 data, in the second line, the gross reserve volume, if
23 you worked out that proportion that each of the three
24 tracts have to the total, reservoir total, you would
25 find that that proportion is different than the

1 proportion you get if you drop down to the line about
2 the one, two, three -- about the sixth line entitled,
3 "Total Producidle Reservoir Volume."

4 I don't have my calculator handy or my slide
5 rule, but --

6 Q. Well, now we're getting to the -- why should
7 that be different? I guess that's my question.

8 A. Because they are non -- on the Holmstrom
9 lease, there is a fairly significant nonproducibile
10 volume by that Holmstrom well because it's not located
11 on the highest point of that lease.

12 It's located down-dip with the encroaching
13 water level. There will be oil recovery.

14 And indeed, as Mr. Sipes' testimony -- well,
15 it's accurate, but if his interpretation that
16 behind-pipe zone is tight and the water level is
17 higher, then they have even less producible volume than
18 what I've shown.

19 Q. I guess I'm just not grasping the concept
20 between total producible reservoir volume and gross
21 reservoir volume in acre feet that those relationships
22 should be difference percentage-wise.

23 If we're taking a planimeter of the
24 productive acreage under each contour using the wells
25 only for control, geologic control, then we should have

1 comparable ratios, shouldn't we?

2 A. No, sir. I'm referring again to Ahlen
3 Exhibit 3. And I think this is to scale, is it not,
4 Jack?

5 MR. AHLEN: Roughly. Within the context of
6 the lines.

7 THE WITNESS: What I planimetered as
8 producible reservoir volume, as shown on the Exhibit
9 12, for the Holmstrom lease is this rectangular area
10 from our estimated water level out off the deal to
11 where the contour intersects the water level back --
12 well, back up to here. I included behind-pipe.

13 MR. CARR: Where is "here"?

14 THE WITNESS: Back to the top of the zone in
15 the Holmstrom No. 1 well. And there is a pretty
16 significant wedge area here that because of this well
17 structure location it cannot recover this oil.

18 It cannot really recover this oil, whether my
19 client has a well here or not, it doesn't control it.

20 On this one you can see that this is -- this
21 is the Stevens tract -- it's been a long day, I'll tell
22 you -- and the producible area goes almost all the way
23 up to the top of the lease.

24 There's just a little tiny wedge there. You
25 can see in comparing the gross area, gross total

1 section on the Holmstrom lease to the producible
2 section would give you a different proportion in
3 comparing it on the Stevens lease.

4 Q. (BY MR. LeMAY) Thank you, Mr. Hickman. I'm
5 a little bit dense. It finally occurred to me you're
6 talking about the attic oil that would not be recovered
7 by the Holmstrom well?

8 A. Yes.

9 MR. LeMAY: Thank you, sir, I appreciate it.

10 MR. LeMAY: Mr. Kellahin.

11 MR. KELLAHIN: Mr. Chairman, while Ms.
12 Sullivan is getting to the witness stand, she is a
13 geophysicist and a geologist employed by Exxon Company,
14 and her name is Cynthia Sullivan.

15 CYNTHIA SULLIVAN,
16 having been previously duly sworn, testified upon her
17 oath as follows:

18 DIRECT EXAMINATION,

19 BY MR. KELLAHIN:

20 Q. Ms. Sullivan, would you, please, state your
21 name and occupation.

22 A. My name is Cynthia Black Sullivan. I'm a
23 geophysicist, senior geophysicist with Exxon.

24 Q. Would you give us a brief summary of your
25 educational background and your employment experience

1 as a geologist and as a geophysicist?

2 A. Yes. I got my bachelor's of science at the
3 University of Aberdeen in Scotland.

4 Q. In what year?

5 A. 1980. I then went on to acquire a master of
6 science degree at Texas A & M University. I was
7 awarded that degree in 1983.

8 I began working for Exxon in Midland, Texas,
9 in December of 82, and I've been employed with them
10 since that date.

11 Q. Prior to today's hearing have you examined
12 the seismic information Mr. Holmstrom utilized in
13 constructing his structure map and his location in
14 interpretation of the primary fault that is shown on
15 his Exhibit No. 1?

16 A. Yes, sir.

17 Q. And have you sat through the presentation
18 today and heard Mr. Ahlen's testimony and reviewed his
19 exhibits concerning his location of the primary fault
20 line on his Exhibit No. 4?

21 A. Yes, sir.

22 Q. Do you have both those displays before you?

23 A. Yes, I do.

24 MR. KELLAHIN: At this time, Mr. Chairman, we
25 tender Mrs. Sullivan as an expert geologist and

1 geophysicist.

2 MR. LeMAY: She is so qualified.

3 Q. (BY MR. KELLAHIN) In the sake of time, Mrs.
4 Sullivan, let me ask you to focus, first of all, on the
5 Formation MicroScanner information that Mr. Ahlen had
6 utilized, and I believe that has been introduced as his
7 Exhibit No. 7?

8 A. Yes.

9 Q. I'm sure Mr. Carr will correct me if I
10 misspeak, but my recollection many hours ago of Mr.
11 Ahlen's point with regard to the MicroScanner
12 information that one of the things he was able to
13 utilize that information for was to give him the
14 azimuth or the direction with regards to how he
15 interpreted the primary fault as he moved through the
16 well that that information was taken and got to the
17 northern end of his primary fault?

18 A. That's correct.

19 Q. Now, you have had an opportunity to look at
20 each of the displays stapled together as Exhibit No. 7
21 Mr. Ahlen used?

22 A. Yes, I have.

23 Q. Let's start with page 1.

24 A. Okay.

25 Q. What's going on?

1 A. What's going on here is that they're showing
2 the image of the four pads, and these things are being
3 displayed on a computer screen.

4 The Schlumberger engineer is working --
5 probably working with the geologist in order to assist
6 him in correlating the low and high, relatively low,
7 relatively high, resistive layers within the bed.

8 Q. This is a device that scans the wellbore in
9 something less than an 8-inch diameter, some 9,000 feet
10 below surface?

11 A. The pads are in contact with the inner walls
12 of the borehole which --

13 Q. As it moves up and down through the various
14 formations, it registers various --

15 A. It's recording resistivity.

16 Q. All right. What happens with the first page
17 of Exhibit No. 7?

18 A. It appears in this, if you look at the scale,
19 the depth scale on the left-hand side of this display,
20 you see that it's marked off in 9702, 9704, and so
21 forth, so you're looking at a very fine scale of
22 depth.

23 You're seeing very thin beds. They are
24 apparently very well organized beds because it's easy
25 for the interpreter to correlate across there with his

1 cursor and make these correlations, if you will, from
2 pad-to-pad, image-to-image.

3 Q. When we look at the first page of Exhibit No.
4 7, am I correct in understanding, in your opinion,
5 that's a simple, easy correlation to make for that
6 particular point?

7 A. I would say it is, yes.

8 Q. Let's go on to page 2. In fact, let's look
9 at 7, in terms of the page numbers, and identify for us
10 the pages of Exhibit 7 that in your opinion are
11 critical in terms of a judgment about this fault.

12 A. Okay. So I'm going to go on to the -- start
13 with this second page, or do you want me to go --

14 Q. No, ma'am. Let's go to the keyboards.

15 A. Okay. I considered the key information with
16 respect to the orientation of the fault on Mr. Ahlen's
17 map as being on the second-to-last page.

18 In this particular diagram, again, you see
19 the image of the pads. Along the top you see in
20 degrees the orientation of that pad. And you're to key
21 in on the map view of the borehole over here.

22 You might note that three dips have been
23 processed for this plot, which accounts for the fact
24 that there's very few samples here plotted.

25 If you'll compare the correlations on this

1 particular diagram with the correlations on the first
2 page, I think you can realize that there is quite a bit
3 of latitude for interpretation for correlating these
4 beds.

5 In fact, I tried to do a little correlation
6 of my own, and I came up with something different.

7 Q. Within the range of interpretation, as shown
8 on that portion of the display, can you as a geologist
9 interpret that information and give yourself a
10 conclusion that is significantly different than the
11 conclusion Mr. Ahlen has reached?

12 A. No, sir.

13 Q. Let's go to the next information. What's the
14 next critical portion of that display?

15 A. This display is imaging the secondary fault,
16 which is on Mr. Ahlen's map, and it's critical in the
17 sense, again, he gets the same orientation for the
18 fault, or close to the same orientation that you can
19 see on his Exhibit No. 3.

20 Q. Let's take a moment. In terms of the page
21 numbers, which is that portion of the display that
22 shows the secondary fault?

23 A. They're not numbered, and it's the last page.

24 Q. The last page is the secondary --

25 A. That's right.

1 Q. -- fault information. Which one is the
2 primary fault information?

3 A. It's on the second-to-the-last page.

4 Q. Let's turn to the second-to-the-last page.
5 We've not yet discussed that.

6 A. That was the one I thought I was discussing
7 before.

8 Q. I was on a different page. That's why we
9 needed to number the pages.

10 When we look at that page, that is the one
11 that shows the information for the primary fault?

12 A. That's correct. On the right-hand side is
13 the main fault zone dipping to the west.

14 And the depth on the left-hand side coincides
15 with the depth on the cross-section.

16 Q. Taking that information would you construct
17 the location of the fault as it moves north, the
18 primary fault, north to the end of the northern edge of
19 Section 9?

20 Would you construct that in agreement with
21 what Mr. Ahlen has done, or would you do it as Mr.
22 Holmstrom has done?

23 A. If this were the only piece of information I
24 had, I might have extrapolated as Mr. Ahlen had done.

25 However, I have two, actually I have three

1 seismic lines where I've also determined the fault
2 cut.

3 In addition, I have the subsurface
4 information and now this information. In doing that,
5 by connecting those fault cuts, I have to conclude that
6 the fault is oriented in the north-south orientation
7 rather than a more northwest-southeast orientation.

8 Q. The judgment the Commission must make based
9 upon the location of that fault has considerable impact
10 on all parties because that helps determine the
11 reservoir volume within the west half of the section,
12 does it not?

13 A. That's correct.

14 Q. All right. What degree of confidence that
15 you have as to which of these gentlemen is correct in
16 their interpretation?

17 A. With the data I have available to me, I would
18 say that Mr. Holstrom's interpretation is more
19 correct.

20 MR. KELLAHIN: No further questions. Thank
21 you.

22 MR. LeMAY: Thank you, Mr. Kellahin.
23 Mr. Padilla.

24 MR. PADILLA: I have no questions.

25 MR. LeMAY: Mr. Carr.

CROSS-EXAMINATION

BY MR. CARR:

Q. Mrs. Sullivan, the seismic lines you're talking about are the seismic lines that Mr. Holmstrom was; is that correct?

A. That's correct.

Q. Do you have any information as to the location from the seismic lines, the exact location of the formation as we go across the north line of Section 9?

A. Are you asking me where the Devonian surface is on the seismic line?

Q. Do you have anything that would show the location of the fault of the northern boundary of Section 9?

A. No, I do not.

Q. But what you're doing is taking the information from the Formation MicroScanner and applying that to the seismic information that Mr. Holmstrom had, and then you are concurring with his interpretation?

A. I am using it as a single data point, which is what it is.

Q. The information from the MicroScanner?

A. From the MicroScanner.

1 Q. And that's at the wellbore down here towards
2 the center of Section 9?

3 A. That's correct.

4 Q. And you have nothing that would identify the
5 exact location across the northern point, the northern
6 line of the section?

7 A. That's correct.

8 Q. And you're utilizing just the seismic
9 information, the same seismic information that was
10 available to Mr. Holmstrom?

11 A. That's correct.

12 Q. And the same seismic information that
13 resulted in drilling a dry hole in the center of 9 and
14 a dry hole in the north of 16?

15 A. There was a producing well --

16 Q. Initially a dry hole.

17 A. -- in Section 9.

18 Q. The initial hole was dry, was it not?

19 A. That is correct.

20 MR. CARR: That's all I have.

21 THE WITNESS: That's right. It's the same
22 data.

23 REDIRECT EXAMINATION

24 BY MR. KELLAHIN:

25 Q. Mr. Carr has succeeded in confusing me, and

1 perhaps I'm the only one confused.

2 Am I correct in understanding that the
3 MicroScanner information in using the Exhibit No. 7
4 that you, within the range of the available data, can
5 interpret that data and still find the fault line to be
6 as Mr. Holmstrom has placed it on his exhibit?

7 A. Yes, I can.

8 MR. KELLAHIN: No more questions.

9 MR. LeMAY: Mr. Carr.

10 MR. CARR: I would ask the same questions
11 again on cross, but I'm sure I'll get the same answers,
12 and I won't.

13 MR. LeMAY: Will you give the same answers if
14 I ask the question?

15 THE WITNESS: Depends on how you phrase the
16 question.

17 MR. LeMAY: Additional questions of the
18 witness?

19 Thank you. You may be excused.

20 We'll take closing arguments. And are there
21 any more witnesses on either side?

22 Mr. Cooter, Do you want to make a statement
23 after the closing arguments?

24 MR. COOTER: Yes, sir. I'd like to make a
25 closing statement.

1 MR. LeMAY: All right. Closing arguments.
2 Do you want to reverse the procedure?

3 MR. PADILLA: May it please the Commission,
4 this morning I had a little problem with my opening
5 statement because I felt that to some extent I was
6 making an argument that was going to be my closing
7 argument in terms of what we were going to show and
8 what we were not going to show as far as supporting the
9 previous Division order.

10 I think the case has turned out to be pretty
11 much what I had talked about this morning in terms of
12 the Rule of Capture, in terms of changing the
13 established rules of the Division and of the Commission
14 in placing wells in accordance with spacing rules and
15 well locations.

16 By allowing Stevens to drill this well at 78
17 or -- 78 feet, as the Division has calculated, or
18 between 60 and 70 feet as Mr. Ahlen has calculated,
19 then we have placed ourselves in a situation where any
20 corner shot is going to be a valid shot from now on.

21 With this kind of precedent, I think the
22 Commission is placing itself in a situation where we're
23 going to be arguing this type of case, and it probably
24 is going to be great for lawyers is all I can say.

25 In terms of, for example, we look at this

1 exhibit here, Exhibit No. 3 of Mr. Ahlen, and he has
2 made or categorized oil there that is in the attic.

3 The only one who can recover that oil now is
4 going to be the Stevens well. That forces Santa Fe to
5 drill a well as an offset to the Stevens well.

6 That's the only way that that is going to be
7 able -- or that Santa Fe is going to be able to recover
8 their fair share of the production from there.

9 The same exists with the second tier of oil
10 that's shown by Mr. Ahlen. In that second tier, Santa
11 Fe is going to have to perforate its well. And we
12 don't know now whether or not that can be adequately
13 done given the tightness that Mr. Sipes talked about.

14 In that connection we will give you the
15 drill-stem test to establish that. But overall I think
16 this is a policy case. I don't want to get into the
17 evidence because I think we've hashed over that
18 sufficiently today.

19 The overall policy that we are establishing
20 here is that we can make cases, twist the
21 circumstances, and show recoverable reserves or show
22 volume or show whatever it is that we are able to show
23 to disguise the nature of where this well is placed.

24 Stevens came here to the Division and asked
25 for a directional drilling authority. They said that

1 based upon where the fault is we will cross that, and
2 we will be able to bottom-hole within a certain window
3 down there. And we will be able to establish our
4 production and recover our fair share of production.

5 They whipstock it down there. They decide
6 that they actually drilled a dry hole, so they tried
7 again. "Let's do it again."

8 And this time they yanked it over further to
9 the east, and we wound up where we are now, and we have
10 a nice juicy well.

11 But I don't think that it takes a lot of
12 expertise in this area to show that the drainage is
13 going to come directly from the Santa Fe property.

14 Now, we are told that we will be able to
15 drain all the way from the north line of the section
16 and recover reserves in that manner.

17 But I think we all know that probably the
18 drainage is going to be circular in nature. And with
19 the well bottom hole at 70 feet, or whatever the
20 distance is, it's going to be coming out of Santa Fe
21 property.

22 The alternative, the only alternative that
23 Santa Fe has under this circumstance -- and I don't
24 want -- I can't emphasize that enough, I should say --
25 is that an offset well is going to have to be drilled

1 in order to protect the reserves, if Stevens is allowed
2 to operate their well at 515, top allowable.

3 Already the Santa Fe well is being restricted
4 and has always been restricted because of the nature of
5 the coning or the fear of coning too much water into
6 the wellbore.

7 So you have one operator here who has drilled
8 a well at its own risk, a new full well that they were
9 encroaching on the property line of Santa Fe. They
10 continued going that way. They knew that the Division
11 had already established an allowable restriction, and
12 they, nonetheless, continued.

13 Whether or not you're going to allow the
14 camel in the tent in this case, and at 515 barrels it
15 remains to be seen, but it just seems from a policy
16 standpoint that the Commission should enforce its
17 rules, allow Stevens to operate, and to recover their
18 fair share of production, but not at the rate of 515
19 barrels, especially in view of the 200 that is being
20 produced currently by the Santa Fe well.

21 So I cannot emphasize the importance of those
22 rules, and I can only point to the recent experience
23 here with the Oil Conservation Division, that
24 unorthodox locations are treated much more harshly and
25 they're viewed that way.

1 That policy has been established by the
2 general existing orders. And if you take the distance
3 to the lease line, which I don't necessarily agree
4 with, on that kind of a basis, it's 10 percent; it's 90
5 percent penalty. That's according to Mr. Ahlen's own
6 testimony this morning on cross-examination.

7 If you take Mr. Sipes' figures, you come down
8 with the same approximate amount, 10 percent. And that
9 is what the allowable ought to be set and established
10 in that regard, somewhere in there, in the nature of
11 what the Division has done.

12 And I think that the previous order issued by
13 Mr. Lyon is an adequate order that protects the
14 correlative rights of Santa Fe, and it allows Stevens
15 to produce their fair share of production.

16 It does not restrict Stevens from producing
17 oil and obtaining eventually their fair share of
18 production. What Stevens ignores entirely is that
19 their well is -- that the fault is even further east
20 than what it was estimated to be. That can only reduce
21 the recoverable reserves under their tract.

22 So it seems inconsistent to argue today that
23 somehow despite the fact that the fault is further east
24 than what was originally anticipated, that the reserves
25 are actually increased.

1 I'll stop at this point. I think that the
2 Division, again, should protect the correlative rights
3 of Santa Fe and and do fairness in this case.

4 MR. LeMAY: Thank you, Mr. Padilla.

5 Mr. Kellahin.

6 MR. KELLAHIN: Gentlemen, this series of
7 cases have an interesting history. Began sometime last
8 spring. I would invite you to read through the various
9 findings made by first Examiner Lyon and then
10 subsequently by Mr. Stogner in his order.

11 It's interesting to note that Mr. Lyon, after
12 hearing this very case, found and concluded that there
13 was inadequate data at that time to estimate reserves
14 with sufficient precision upon which a penalty could be
15 assessed.

16 He did that at a time when only two
17 additional things have occurred. Certainly nothing has
18 occurred in the east half of the section to change
19 that.

20 The testimony we presented today is no
21 different than the testimony we gave Mr. Lyon by which
22 he concluded it was too speculative.

23 The things that have changed is that in that
24 original hearing it was thought to be among all the
25 technical people on both sides that the approximate

1 location of that fault was some 200 feet farther west.

2 We had a case where there was pretty good
3 agreement about the orientation and location of that
4 fault.

5 And despite having that information, it was
6 acknowledged by the hearing examiner that there was a
7 great deal of discomfort, speculation about coming up
8 with a penalty formula based upon the geologic
9 interpretations.

10 Since then what we have, what he also found
11 is -- he says that the likely productive interval
12 within the west half of the section is only some 60
13 acres stacked vertically.

14 It's interesting to see what the opposition
15 has attempted to do to maximize their ability to
16 produce what we contend will be a significant portion
17 of the reserves in the east half of the section for
18 which they're not entitled.

19 Look at the shape of the nonstandard unit.
20 That should have been denied, I contend. The standard
21 sized shape is the southeast quarter to which the
22 McAlpine Santa Fe well is located.

23 Admittedly, everyone agrees the fault
24 condemns a significant portion of the west half. And
25 what do they do?

1 Well, rather than dedicate the southwest
2 quarter to this well and recognize that there's going
3 to be a significant penalty for nonproductive acres,
4 they figure out a way to stack these 4-acre tracts, one
5 on top of another, to attempt to mitigate and reduce
6 the potential for that type of penalty.

7 What else has happened? Well, they've,
8 knowing the risk of the penalty order, the mechanics of
9 the order from the Curry and Thornton to the Stevens
10 order is the same, they came back in.

11 Mr. Stevens decides to directionally drill.
12 He knew the deal before he got into it. He knew how
13 the penalty was to be constructed.

14 The evidence at that hearing, he planned to
15 be 165 feet from a common line from our property. And
16 he was given a drilling window with a radius of 500
17 feet to the west. Tried that once and failed.

18 He found the fault was 200 feet farther to
19 the east. He's got a little sliver of the reservoir,
20 and he wants his share. And he's going to end up with
21 his share and our share.

22 We might as well forget the whole process
23 because it looks to me like the only way you protect
24 yourself is to have Mr. McAlpine come in on an
25 equivalent structural position in the east half where

1 we have the same ownership and drill a well 78 feet
2 from the common line.

3 And that's how we're going to have to protect
4 ourselves. We're going to have to come back in here
5 and amend our case and ask for a nonstandard proration
6 unit that consists of the acreage stacked 40 acres on
7 top of each other and dedicate the west half of the
8 east half so we can balance all these numbers that are
9 given to us on reservoir volumes.

10 Look at the reservoir volumes. Everybody has
11 acknowledged on both sides that those numbers are
12 predicated and founded solely and substantially on the
13 geology for which there is a material difference of
14 opinion.

15 And the opinion is different but -- subtle,
16 but very important. Look, first of all, at the
17 orientation of the fault. Mr. Ahlen has it slightly
18 turned to the west. And because of the thickness of
19 the reservoir in the structural position, he has
20 maximized his reservoir volume by a slight adjustment
21 of that fault.

22 We believe that was inappropriate. It
23 doesn't honor the data as we interpret it. But there
24 is a material difference between the technical people
25 upon the orientation of the fault.

1 Look at the other critical thing about the
2 geology. Note how they have contoured the structure.
3 Mr. Holmstrom takes that, and he wraps his contour
4 lines back into the fault.

5 Mr. Ahlen takes it and he's more generalized
6 in how he rolls those contour lines back. You can see
7 when you're calculating reservoir volume that is going
8 to make a significant difference.

9 We think this case is not any different from
10 the kinds of cases Mr. Carr and I used to bring to you
11 on the Shipp-Strawn.

12 He and I have argued about integrating either
13 for or against net productive acreage factors in a
14 penalty formula for years.

15 Last time I was before this Commission on
16 this kind of case, you told us not to do this anymore.
17 It was too speculative. It wasted your time and
18 energy.

19 And you thought it was better and more direct
20 to come up with a penalty factor based upon location of
21 the well to the common line.

22 Isn't it interesting how well that worked for
23 Mr. Lyon's formula because he also rejected the net
24 productive acreage argument. So did Mr. Stogner; he
25 rejected it.

1 Isn't it interesting how well it fits into
2 Mr. Sipes' volumetric calculation of the reservoir. It
3 gets you down to the 10 percent.

4 Sometimes the most direct approach is the
5 best approach. And we don't think that Mr. Stevens or
6 Stevens Operating Company ought to receive a windfall
7 of some 459 barrels of oil a day from this reservoir
8 when we think we can't even produce ours in excess of
9 200. It's absolutely inherently unfair.

10 We think when you sift through all this
11 stuff, you get down to the point where, in all
12 fairness, the basic orders are those that you ought to
13 approve.

14 And if you don't, then we're going to have to
15 come do net productive acreage hearings for you till
16 you change your mind again. And the reason you haven't
17 accepted them before and why you shouldn't now is there
18 too speculative.

19 Any of these competent geologists and
20 engineers can take the existing data and come up with
21 materially different volumes. It's not a good way to
22 run the railroad, and we don't think it's a good way to
23 run this deal.

24 And we would suggest you approve the Examiner
25 orders as you have applied them and to reject the

1 effort now, after the fact, to have Mr. Stevens change
2 the rules of the game after he's played the game.

3 He knew before he went into the first reentry
4 what the penalty calculation and procedure was to be.
5 He knew when the second reentry was going on what he
6 was exposed to. He took the risk; he ought to pay the
7 price.

8 MR. LeMAY: Thank you, Mr. Kellahin.

9 Mr. Carr.

10 MR. CARR: May it please the Commission,
11 we've heard a lot of lawyers practicing engineering
12 today, and I for a minute would like to try and
13 practice law.

14 We are not here before you asking you to do
15 anything that is new or unique. We are here asking you
16 to do what the Oil and Gas Act instructs you to do.

17 The New Mexico Supreme Court in Continental
18 v. Oil Conservation correctly noted that "The Oil
19 Conservation Commission is a creature of statute, and
20 its powers are expressly defined and limited by the Oil
21 and Gas Act."

22 We come before you with a case that falls
23 squarely within the Oil and Gas Act. And we're being
24 accused of a corner shot, running back to the Rule of
25 Capture, and all we're asking you to do is enforce the

1 law.

2 And I think it's important when we start
3 talking about the law to go to it and read it. And I
4 want you to bear with me because I think when we talk
5 about correlative rights, we forget what the law in New
6 Mexico is on those things.

7 The law on waste, the statute defines it as:
8 "The spacing, drilling, producing, among other things,
9 of any well in a matter which tends to reduce the total
10 quality of crude petroleum oil recovered from a pool."

11 And when you take us and restrict us to 34
12 barrels a day, when no matter how you count anybody's
13 calculations in here we've got a heck of a lot more
14 than 6 percent of the reserves, you are not letting us
15 produce this according to the statute because we cannot
16 produce it in a manner that let's us produce the
17 quantity of oil that we could produce if we could get
18 out from regulatory arbitrary restrictions.

19 That's what this shows. But more than that,
20 we have to go to correlative rights because we built a
21 case for you to present today that is based on the
22 definition of correlative rights, and it is this.

23 Correlative rights means: "The opportunity
24 afforded, so far as it is practicable to do so, to the
25 owner of each property in a pool to produce without

1 waste his just and equitable share of oil or gas or
2 both in the pool."

3 And then it defines that as being "An amount
4 so far as can be practicably determined and so far as
5 can be practicably obtained without waste substantially
6 in the proportion that the quality of recoverable oil
7 or gas or both bear under the property bear to the
8 total recoverable oil or gas in the pool."

9 Now, there are key words there, and I want to
10 go through them. Correlative rights in New Mexico
11 means opportunity.

12 When we drill a well into the top of a
13 structure under a tract that is ours, we have availed
14 ourselves of the opportunity.

15 When Mr. McAlpine drills a well into the
16 structure, down here lower on the structure, he has
17 availed himself of the opportunity to produce what he
18 can recover.

19 Recover is a key word in the statute. And
20 the attic isn't something that with this well he can
21 recover.

22 And that's why when Mr. Hickman comes before
23 you, unlike Mr. Sipes, he says I'm talking about
24 recoverable reserves because he is talking about
25 correlative rights as it's defined in the statute and

1 is defined as a matter that you are directed to
2 protect.

3 It talks about the owner under each
4 property. We come before you with a formula that is
5 based on sound engineering and geological principles no
6 matter what everybody else says. You know that.

7 Mr. Gruy doesn't get paid to come in here to
8 say something because he needs the money. It's not
9 because he's old; it's because he knows what he's
10 doing. He hasn't just outlived all of us in this
11 room.

12 He is in here and he has told you the truth.
13 And we have come forward with the formula that will let
14 us get ours and let them get theirs.

15 It's consistent with the definition of
16 correlative rights. It gives the owner of each
17 property the opportunity, if they take care of it.

18 All of the clever attorneys in the room --
19 and I guess I'm not one of them -- wants to torque that
20 and say that it means more than just the opportunity
21 they availed themselves of.

22 Somehow we have to give them more because
23 they're down-structure, because they've got a tight
24 formation, because the water contact is up, or because
25 they cannot possibly produce the attic without another

1 well.

2 The fact of the matter is there's one way to
3 avail yourself of that opportunity, to get that attic,
4 and that is to drill a well.

5 And they somehow think there's something
6 wrong with the fact that we suggest they have to avail
7 themselves of an opportunity before you are supposed to
8 act to protect it.

9 We're talking about a just an equitable
10 share. A just an equitable share for Stevens is what
11 is under this pie-shaped piece, what is under his
12 tract.

13 It doesn't make any difference if it moves
14 from east -- from the east southeast quarter or if it
15 comes straight down as long as what he has an
16 opportunity to get is just what is there.

17 And that's why we propose to you restricting
18 the allowables based, as the statute tells us to, on
19 recoverable reserves.

20 That's what we did. We've come before you
21 not asking for something new, not saying we're going to
22 change the way the world is going to be run.

23 We're coming before you following the
24 statute. Another key word in the definition of
25 correlative rights is the word "practicable."

1 What does that mean? Does that mean, as Mr.
2 Kellahin or Mr. Padilla would suggest, it has to be
3 exact? No. It's defined in Black's Dictionary as
4 "that which may be done," that which may be done.

5 You're to protect correlative rights to the
6 extent that that may be done. Well, take anybody's
7 testimony in the room, and I will tell you right now
8 that on a different record, not like this, Mr. Lyon
9 entered an order that may have been fine then, but as
10 the data has developed, it doesn't protect correlative
11 rights.

12 And now we're asking you to do that which may
13 be done and give us that the opportunity.

14 But there's another interesting thing about
15 the laws and the rules and the way this Commission is
16 structured, and that is they have asked you to be the
17 trier of fact in cases involving oil and gas matters.

18 And that's not an accident. It is
19 technical. And that's why they have an engineer
20 sitting on the Commission, to the listen the
21 engineers.

22 That's why they have a geologist sitting on
23 Commission, to listen to the geologists.

24 And that is why we all know, while we scream
25 about getting to the last barrel, that what we're

1 talking about is the relative values to the -- to be
2 assessed to each of these tracts and to allocate those
3 reasonably and fairly to the extent that that may be
4 reasonably done within your discipline as a geologist
5 and your discipline as petroleum engineer.

6 They're not -- we're not marching back to the
7 Rule of Capture. They're throwing that as a smoke
8 screen while they're asking you to ignore the very
9 field you're experts in.

10 They're asking us to come in here and talk
11 about just the proximity of our wellbore to the
12 adjoining tract. That was known before the Rule of
13 Capture, how close you were to your neighbor when you
14 drilled, I guess, a water well next to his pond or
15 outhouse -- I don't know.

16 But the fact of the matter is they're acting
17 like things stopped at that point. We've come forward
18 with a thorough, detailed engineering presentation. It
19 is sound; it is extensive.

20 And we're bringing it to you and entrusting
21 you with making a decision, based on this record, that
22 is consistent with these statutes.

23 And the most absurd thing that's been
24 advanced today is the fact that somehow Mr. Stevens'
25 rights are contingent upon how Mr. McAlpine is going to

1 produce his well.

2 Everytime he says, "Well, we only produce
3 200," I ask you to remember that they're saying that on
4 the very day they dismissed their case to reduce the
5 allowable in this pool.

6 We think what we've got is a case that was
7 tailored to act, that is sound from a engineering point
8 of view, that is sound from a geological view.

9 And when you take your expertise and apply it
10 to the statutes which control your activity, you will
11 see it may not be easy, but this is a case, unlike the
12 Jalmat case, where you can't hide by the word
13 "practicable."

14 You have the data now before you to make a
15 decision, a reasonable decision, and now do what the
16 statute tells you to do: Protect correlative rights
17 and do it in a fashion that won't require drilling
18 unnecessary wells.

19 And don't let yourself be put into a position
20 where you are somehow supposed to adjust our rights
21 because we have a thick narrow section and they have a
22 long thin one that is being rapidly gobbled up by
23 water.

24 MR. LeMAY: Thank you, Mr. Carr.

25 Additional statements in the case?

1 Yes, sir, Mr. Cooter.

2 MR. COOTER: I'll be very brief. Once again,
3 for the record, my name is Paul Cooter, and I represent
4 Armstrong Energy Corporation.

5 So that there will be no question in anyone's
6 minds, Armstrong Energy Corporation is an interest
7 owner with Santa Fe in its well in the southeast
8 quarter of Section 9.

9 I'm not going to cover what has been so
10 eloquently covered by the other attorneys, but I would
11 like to make four points.

12 The first the Chairman asked about these
13 different percentages being tossed back and forth; that
14 it appeared that Stevens had some 29 percent of
15 reserves but was asking for a larger percentage as its
16 share of the allowable.

17 That's because they used different figures.
18 They've asked for 459-barrel allowable based upon the
19 fact that the 670,000 figure is some 89 percent of the
20 732,000 figure.

21 But by doing that they have completely failed
22 to cover the 863,000 barrels of recoverable reserves in
23 the northeast quarter.

24 Admittedly, that 670 is 89 percent of 515,
25 and that's how they come up with the 459. It is some

1 29 percent of the recoverable reserves, or the proven
2 reserves, in the entire pool.

3 Why do they want that larger figure? Well,
4 that, again, is quite obvious, and this is my second
5 point. The sooner that that production can be obtained
6 from those two wells, the water level will rise, and
7 which well is going to be watered out first?

8 Well, it's the Santa Fe well. So that will
9 leave then the Stevens well as the only well in the
10 field.

11 It's obvious that oil from no further than
12 just the end of the room is going to be sucked into the
13 Stevens well quicker than oil that is some 3,000 feet
14 to the north. So it's just common sense that's going
15 to occur.

16 Well, then they say, "Drill a third well,"
17 but in response to the questions asked by the chairman
18 of all of the experts, even mentioned by Mr. Carr in
19 his closing argument was, "That's economic waste.
20 Produce the two wells."

21 So it depends upon what is said and when it's
22 said as to whether or not Santa Fe could certainly go
23 drill a well in the northeast quarter, but everyone
24 agrees that is economic waste.

25 What will happen when the Santa Fe well is

1 watered out, absent the commission of economic waste,
2 is that Mr. Stevens will recover substantially more
3 than the 670,000 because, one, he'll recover if there's
4 anything behind that tight behind-the-pipe in that
5 tight formation, he will recover it.

6 That little pipe-shaped feature up above the
7 top of the Devonian in that well he will recover. And
8 since there's no other well in the pool, he'll recover
9 the balance of the 863,000 barrels that migrate from
10 the northeast.

11 And everyone's in accord, one well could
12 drain the whole pool. Two wells certainly can. And
13 not a one, anyone here today, recommended the drilling
14 of a third well.

15 With that I close. Thank you very much for
16 your consideration.

17 MR. LeMAY: Thank you, Mr. Cooter.

18 Mr. Dungan, or Ms., I should say. I'm sorry.

19 MS. DUNGAN: That's all right.

20 The New Mexico Oil Corporation has a working
21 interest in the Holmstrom well along with the Santa Fe
22 Exploration Company and wants to again voice its
23 support for the position of the Santa Fe Exploration
24 Company.

25 And we believe theirs is the only position

1 which truly protects our correlative rights and
2 prevents waste.

3 Thank you.

4 MR. LeMAY: Thank you very much.

5 Additional statements in the case?

6 If not, we shall take the case under
7 advisement.

8 Thank you, gentlemen, ladies.

9 (Thereupon, the proceedings were concluded.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Commission of the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL October 29, 1989.


Debbie Vestal
CSR No. 400