

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

EXAMINER HEARING

IN THE MATTER OF:

Application of Santa Fe Energy Case 9797
Operating Partners, L.P., for
compulsory pooling and a non-standard
gas proration unit, Eddy County,
New Mexico.

TRANSCRIPT OF PROCEEDINGS

BEFORE: VICTOR. T. LYON, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

November 1, 1989

CUMBRE COURT REPORTING
(505) 984-2244

ORIGINAL

1 HEARING EXAMINER: Next called case, 9797.

2 MR. STOVALL: Application of Santa Fe
3 Operating Partners, L.P., for compulsory pooling and a
4 non-standard gas proration unit, Eddy County,
5 New Mexico.

6 Applicant requests this case be continued
7 to November 29, 1989.

8 HEARING EXAMINER: Case 9797 is continued
9 to the Examiner Hearing on November 29, 1989.

10
11
12
13
14 I do hereby certify that the foregoing is
15 a complete and true record of the proceedings in
16 the Examiner hearing of Case No. 9797,
17 heard by me on November 19, 1989.
18 W. H. Ryan, Examiner
19 Oil Conservation Division
20
21
22
23
24
25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Diana Abeyta, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that the
8 foregoing transcript of proceedings before the Oil
9 Conservation Division was reported by me; that I
10 caused my notes to be transcribed under my personal
11 supervision; and that the foregoing is a true and
12 accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a relative
14 or employee of any of the parties or attorneys
15 involved in this matter and that I have no personal
16 interest in the final disposition of this matter.
17

18 WITNESS MY HAND AND SEAL January 3, 1990.
19
20

21 
22 DIANA ABEYTA
CSR No. 267

23 My commission expires: May 7, 1993
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

EXAMINER HEARING

IN THE MATTER OF (Consolidated):

Application of Exxon Company, Case 9832
U.S.A., for compulsory pooling,
a nonstandard proration unit,
an unorthodox gas well location,
and an exemption to Special Rules
and Regulations governing the Rock
Tank-Upper and Lower Morrow Gas
Pools, Eddy County, New Mexico.

Application of Santa Fe Energy Case 9797
Operating Partners, L.P., for
compulsory pooling and a nonstandard
gas proration unit, Eddy County,
New Mexico.

TRANSCRIPT OF PROCEEDINGS

BEFORE: MICHAEL E. STOGNER, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

November 30, 1989

ORIGINAL

CUMBRE COURT REPORTING
(505) 984-2244

A P P E A R A N C E S

1

2

3 FOR THE DIVISION:

ROBERT G. STOVALL

Attorney at Law

4

Legal Counsel to the Divison

State Land Office Building

5

Santa Fe, New Mexico

6 FOR THE APPLICANT
EXXON:

KELLAHIN, KELLAHIN & AUBREY

Attorneys at Law

7

117 N. Guadalupe

Santa Fe, New Mexico 87504

8

BY: W. THOMAS KELLAHIN, ESQ.

9 FOR THE APPLIANT
SANTA FE ENERGY
10 OPERATING
PARTNERS, L.P.:

PADILLA & SNYDER

200 W. Marcy, Suite 216

Santa Fe, New Mexico 87504

11

BY: ERNEST L. PADILLA, ESQ.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I N D E X

Appearances Page Number
2 2

WITNESSES FOR APPLICANT EXXON:

1.	BROCKMAN KING	
	Direct Examination by Mr. Kellahin	14
	Cross-Examination by Mr. Padilla	35
	Cross-Examination by Hearing Examiner	43
	Redirect Examination by Mr. Kellahin	46
	Recross Examination by Hearing Examiner	48
2.	WILLIAM L. TATE	
	Direct Examination by Mr. Kellahin	50
	Cross-Examination by Mr. Padilla	91
	Cross-Examination by Hearing Examiner	104
	Redirect Examination by Mr. Kellahin	105
	Recross Examination by Hearing Examiner	108
	Recross Examination by Mr. Padilla	109
3.	JOE HILL	
	Direct Examination by Mr. Kellahin	110
	Cross-Examination by Mr. Padilla	115
	Cross-Examination by Hearing Examiner	120
	Redirect Examination by Mr. Kellahin	122
4.	WILLIAM T. DUNCAN, JR.	
	Direct Examination by Mr. Kellahin	124
	Cross-Examination by Mr. Padilla	133

WITNESSES FOR APPLICANT SANTA FE ENERGY OPERATING PARTNERS:

1.	PATRICK TOWER	
	Direct Examination by Mr. Padilla	141
	Cross-Examination by Mr. Kellahin	159
2.	ROBERT C. SEILER	
	Direct Examination by Mr. Padilla	177
	Cross-Examination by Mr. Kellahin	195
	Certificate of Reporter	231

1

E X H I B I T S

2 FOR APPLICANT EXXON COMPANY, U.S.A.:

3	Exhibit 1	16
	Exhibit 2	19
4	Exhibit 3	56
	Exhibit 4	57
5	Exhibit 5	62
	Exhibit 6	69
6	Exhibit 7	57, 72
	Exhibit 8	58, 72
7	Exhibit 9	80
	Exhibit 10	112
8	Exhibit 11	127
	Exhibit 12	141
9	Exhibit 13	220

10 FOR APPLICANT SANTA FE ENERGY OPERATING PARTNERS,
L.P.:

11

	Exhibit 1	143
12	Exhibit 2	146
	Exhibit 3	156
13	Exhibit 4	156
	Exhibit 5	156
14	Exhibit 6	179
	Exhibit 7	180
15	Exhibit 8	181
	Exhibit 9	190

16

17

18

19

20

21

22

23

24

25

1 HEARING EXAMINER: This hearing will come
2 to order. At the request of the General Counsel for
3 both Exxon and Santa Fe, I'm going to call Case
4 Numbers 9832 and 9797.

5 MR. STOVALL: Case 9832, the application of
6 Exxon Company, U.S.A., for compulsory pooling, a
7 nonstandard gas proration unit, an unorthodox gas well
8 location, and an exemption to Special Rules and
9 Regulations governing the Rock Tank-Upper and Lower
10 Morrow Gas Pool, Eddy County, New Mexico.

11 Case 9797, application of Santa Fe Energy
12 Operation Partners, L.P., for compulsory pooling and a
13 nonstandard gas proration unit, Eddy County, New
14 Mexico.

15 HEARING EXAMINER: At this time I will
16 consolidate these two cases for the purpose of
17 testimony and call for appearances.

18 MR. KELLAHIN: Mr. Examiner, I'm Tom
19 Kellahin of the Santa Fe law firm of Kellahin,
20 Kellahin & Aubrey. I'm appearing today on behalf of
21 Exxon.

22 HEARING EXAMINER: Any other appearances.

23 MR. PADILLA: Mr. Examiner, my name is
24 Ernest L. Padilla for Santa Fe Energy Company.

25 HEARING EXAMINER: Are there any other

1 appearances? There being none, Mr. Kellahin, do you
2 have any witnesses to be sworn today?

3 MR. KELLAHIN: Yes, sir, I have four
4 witnesses to be sworn.

5 HEARING EXAMINER: And, Mr. Padilla?

6 MR. PADILLA: I have two witnesses. And
7 let me correct my entry of appearance. My entry is
8 for Santa Fe Energy Operating Partners, L.P.

9 HEARING EXAMINER: What did you say
10 before?

11 MR. PADILLA: "Company."

12 HEARING EXAMINER: Will the witnesses
13 please stand and be sworn at this time.

14 (Witnesses sworn.)

15 HEARING EXAMINER: Are there any opening
16 statements before we get started, gentlemen?

17 MR. KELLAHIN: Mr. Examiner, if you please,
18 the case before you is masquerading as a compulsory
19 pooling case, if you will, but the issues to decide
20 are really not compulsory pooling issues.

21 The dispute between the parties, Mr.
22 Examiner, is twofold. One, the Section 20 that is in
23 discussion, shown on Exxon's proposed Exhibit No. 3,
24 is in an area adjacent to two different Morrow gas
25 pools.

1 The pool outlined on Exhibit No. 3 to the
2 north and west, it shows an area described in a dashed
3 line is Rock Tank-Upper and Lower Morrow Pool. That
4 Morrow Pool is based on 640-acre spacing. Section 20,
5 the testimony will show you is a short-sized section
6 of just under 600 acres.

7 To the south and to the west of Section 20
8 is the Baldrige Canyon Morrow, which is based on
9 320-acre spacing.

10 One of the fundamental issues for you to
11 resolve and one of the areas of dispute between the
12 parties is a contention as to which of the two pools,
13 if either, Section 20, ought to be initially
14 dedicated. It's Exxon's contention and our geologic
15 proof that Section 20 is separate and distinct from
16 the Rock Tank Morrow, and that we propose that Section
17 20 be developed on 320-acre spacing; that there is
18 further geologic indications to show that there is a
19 potential separation, geologically, from either the
20 Dark Canyon Penn Gas Pool or the Baldrige Canyon
21 Morrow Gas Pool to the south and west. We believe
22 then it's going to be appropriate to space Section 20
23 on statewide Morrow gas spacing.

24 That is the first area of concern and one
25 of the areas which you'll need to resolve for us.

1 Within the context then of the compulsory
2 pooling application, a dispute has arisen between
3 Santa Fe and Exxon over the development of Section 20
4 itself.

5 When you look at Section 20, the land
6 testimony will demonstrate to you the south half of
7 this section is a single federal lease. The lessee is
8 Amoco.

9 When we look at the north half of the
10 section, except for this 37 acres located in the
11 northwest of the northeast, which is controlled by
12 Santa Fe Operating Partners, the balance of the north
13 half of the section consists of another federal lease,
14 the lessee of which is Exxon.

15 Exxon has proposed to Santa Fe and Santa Fe
16 has rejected Exxon's proposal that the orientation of
17 the 320-acre spacing unit be an east-half
18 orientation. So part of the issue to resolve is a
19 determination of how to orient the initial spacing
20 unit in the pool for Section 20.

21 Santa Fe contends it should be a north-half
22 orientation. Our proof and one of the issues for you
23 to resolve then is our contention of an east-half
24 orientation. That's the second issue.

25 You see on Exhibit No. 3 that there are

1 some dots on that display; two of them are red, and
2 one is a dark blue dot. There is a difference of
3 opinion between the companies as to where to locate
4 the initial well for the development of the section.

5 Our application for compulsory pooling
6 doesn't seek to have Exxon named as the operator. We
7 propose that Santa Fe be the operator. There's no
8 dispute on the AFE. Hopefully, there's no dispute on
9 the overhead charges or anything else about compulsory
10 pooling except the orientation and location of that
11 well.

12 In our application for compulsory pooling,
13 we had, based upon geologic analysis, proposed that
14 the well in the east half be at an unorthodox
15 location, 660 out of the north and east lines of
16 Section 20. Subsequent to my filing that application,
17 we had one of our technical people go onto the surface
18 of Section 20 to determine for us whether or not that
19 was going to be an acceptable topographic location,
20 and he determined that it was not.

21 I've advised Mr. Padilla that we are
22 amending our request for the location of what is
23 described on this display as the El well, which is the
24 Exxon well.

25 We propose to move to a more standard

1 location, which is still unorthodox, Mr. Examiner, but
2 that location in the northeast quarter is proposed to
3 be 1,500 feet from the north line and 1,100 feet from
4 the east line. And that's approximately where we have
5 spotted the red dot that shows E1.

6 We've spotted, for purposes of discussion,
7 the approximation of Santa Fe's amended location for
8 what is described as the S1 well. That location is
9 1,980 from the north line and 1,980 from the west
10 line, and that would be consistent with standard well
11 locations for 640-acre gas spacing.

12 Initially, before Santa Fe amended its
13 application and sought, in the alternative -- they
14 initially sought the north half of the section as the
15 spacing unit; they had a well spotted 1,980 from the
16 north line -- I'm sorry -- 990 from the north line,
17 and 1,980 from the east line; they had it spotted on
18 their 37 acres.

19 Then they amended their application, as you
20 can see, and they requested 1,980 from the north,
21 1,980 from the west as the well location for a well
22 now to be dedicated either 640 spacing or, in the
23 alternative, 320 spacing, being the north half.

24 The E2 spot is what our testimony will
25 demonstrate to you is what we believe to be the best

1 location for the second well to be developed in the
2 section, and that would be the E2 well to be developed
3 for the west half spacing unit.

4 Our proposed specific location for that
5 well would be 1,700 feet from the north line and 1,300
6 feet from the west line.

7 In conclusion, then, Mr. Examiner, the
8 difference between the parties at this point is a
9 determination as to what the spacing is for the
10 section, which pool, if any, it ought to be applied
11 to, and then within the section, the orientation of
12 the spacing unit and the location of the well. And in
13 the context of the pooling cases then those are the
14 issues that I think are in contention.

15 HEARING EXAMINER: Mr. Padilla?

16 MR. PADILLA: Mr. Examiner, we believe this
17 case is a strict compulsory pooling case that is
18 dictated by the Upper Tank or Rock Tank-Upper Morrow
19 and the Rock Tank-Lower Morrow Special Pools. They
20 call for 640-acre spacing.

21 Our application requests a nonstandard
22 proration unit only because there are 599 acres in
23 Section 20, not by virtue of 320 or 640 type of
24 dichotomy.

25 The control that we have to go by and that

1 the Santa Fe Energy has been advised by the OCD's
2 Artesia office is that 640-acre spacing applies by
3 virtue of the Rock Tank Special Pool Rules, and that
4 is why the application of Santa Fe Energy was amended
5 from 320 acres to 640 acres.

6 In addition, the testimony that our landman
7 will testify to is that he has, or Santa Fe Energy has
8 sought the advice of the United States Department of
9 Interior, Bureau of Land Management in Roswell, and
10 they have perceived a preliminary indication that an
11 east-half proration unit will not be approved or
12 communitization agreement simply because you're
13 splitting two federal leases in a manner that's
14 unacceptable and against public interest of the United
15 States insofar as the development of the section is
16 concerned.

17 Our geologic testimony will also show that
18 a well in the northeast quarter and a well in the
19 southeast quarter will be better able to develop a
20 section should we go to 320 acres and should the
21 Division approve the exemption of Exxon to grant
22 320-acre spacing.

23 We believe, however, that the control here
24 is going to have to be dictated by the One-Mile Rule
25 that the 640-acre spacing applies because of the

1 proximity to the Rock Tank Field. You have Section 18
2 that has to be completely included in the Rock Tank
3 because that is now spaced on 640 acres, and you're
4 right up against Section 18, or Section 20 is right up
5 against Section 18, and it's adjacent. It's not even
6 a question of whether or not 320 acres is
7 appropriate.

8 The burden of proof is going to have to be
9 on Exxon to show that there's some anomaly or
10 something to separate the Rock Tank from the Section
11 20. In order to do that, they would have to prevail.
12 In order to prevail, they would have to show that kind
13 of anomaly between Section 18 and Section 20.

14 Again, to make my opening argument or
15 statement brief, it's just simply a question that it's
16 a straight compulsory pooling issue based on 640
17 acres.

18 The application of Exxon does not call for
19 creation of special pool rules for a different pool,
20 and neither can there be until a well is actually
21 drilled in Section 20 to decide whether or not
22 drainage on 320 acres or 640 acres is appropriate.

23 HEARING EXAMINER: Thank you, Mr. Padilla.

24 Gentlemen, Exxon appears first on the
25 docket today. Santa Fe has a lower number. By virtue

1 of the way you guys are sitting here today, I assume
2 that Exxon is to lead off in this matter?

3 MR. KELLAHIN: I'm happy to go first, Mr.
4 Examiner.

5 HEARING EXAMINER: Mr. Padilla?

6 MR. PADILLA: That's fine.

7 HEARING EXAMINER: Mr. Kellahin?

8 MR. KELLAHIN: At this time we'd call
9 Exxon's landman, Mr. Brockman King.

10 BROCKMAN KING,
11 the witness herein, after having been first duly sworn
12 upon his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Mr. King, would you please state your name
16 and occupation.

17 A. My name is Brockman King. I'm a senior
18 landman for Exxon Company, U.S.A., in Midland, Texas.

19 Q. Mr. King would you summarize for the
20 examiner your educational background?

21 A. I have a B.B.A. in Management from Texas
22 Tech University that I received in 1975. I have the
23 equivalent of a P.L.M. from the University of Oklahoma
24 that I received in 1983.

25 Q. Subsequent to your graduation, would you

1 describe for us what has been your petroleum
2 experience as a petroleum landman? Would you describe
3 your employment experience as a petroleum landman?

4 A. I have been with Exxon for seven years as a
5 landman.

6 Q. Do you have any knowledge or involvement
7 with regards to land matters in the area in question
8 before the examiner today?

9 A. Yes, sir, I do.

10 Q. Have you made yourself familiar with the
11 interest in Section 20 located on Exhibit No. 3, which
12 is a portion of an area in Eddy County, New Mexico?

13 A. Yes, sir, I have.

14 Q. What specifically is your involvement in
15 this case, Mr. King?

16 A. Basically, I was charged with looking at
17 the application for forced pooling by Santa Fe and for
18 attempting to negotiate a settlement in conjunction
19 with that. And when it became apparent that that
20 negotiation was not going to be complete, then I
21 further did investigation on the case.

22 Q. Have you made yourself familiar with the
23 ownership of the various mineral interests within
24 Section 20?

25 A. Yes, sir, I have.

1 MR. KELLAHIN: At this time, Mr. Examiner,
2 I tender Mr. King as an expert petroleum landman.

3 HEARING EXAMINER: Are there any
4 objections?

5 MR. PADILLA: No, sir.

6 HEARING EXAMINER: Mr. King is so
7 qualified.

8 Q. (BY MR. KELLAHIN) Mr. King, let me have
9 you turn to the package of exhibits that I have passed
10 out. I'd ask you to take what is marked as Exhibit
11 No. 1, which is the plat of this area?

12 A. Yes, sir.

13 Q. And identify that display for us.

14 A. This is a plat in Eddy County, New Mexico,
15 Township 23 South, Range 25 East. I have colored in
16 on this plat Section 20. Exxon's ownership is in
17 yellow, which is 261 acres. 37 acres is colored in
18 blue by Santa Fe. And the remaining acreage in the
19 south half is 299 acres owned by Amoco.

20 Q. Would you describe for us the type of
21 leases that are involved in Section 20?

22 A. Exxon's lease is a federal lease that was
23 bought at the competitive oil and gas sale of August
24 19, 1987. That lease took effect on October 1, 1987,
25 for a five-year term. Amoco has a federal lease in

1 the south half. That lease is HBP. And Santa Fe has
2 a 37-acre fee mineral lease in the northwest quarter
3 of the northeast quarter of Section 20.

4 Q. Are you aware of or familiar with the
5 primary term of the Santa Fe fee lease in the
6 northwest of the northeast?

7 A. I do know that their primary term expires,
8 I believe, in August and September of 1994.

9 Q. And the primary term of your federal lease
10 in the north half of Section 20 expires when, Mr.
11 King?

12 A. That expires on October 1, 1992.

13 Q. Does Exxon have other mineral interests in
14 this immediate area either by ownership or leasehold
15 interest?

16 A. Yes, sir, we do. Exxon at the same sale
17 bought all of Section 17. That primary term expires
18 on 11-1-92. That is a federal lease also. We also
19 have extensive leasehold to the east, which I have not
20 colored in on this map, approximately three miles.

21 Q. When we look at Section 16, which is the
22 diagonal northeast offset to Section 20, what is your
23 understanding of the ownership of that section?

24 A. My understanding of the ownership of
25 Section 16 is that Siete Oil & Gas has a state lease

1 that expires 11-1-93 for all of that section with the
2 exception of the northeast of the northwest quarter
3 which Siete Oil & Gas also has. That primary term
4 expires 8-1-94. They paid \$312 for that small
5 portion. They paid \$200 an acre for the remainder of
6 Section 16.

7 Q. When we look at Section 21, would you
8 describe your understanding of the working interest
9 ownership or the leasehold ownership in 21?

10 A. According to my plat on Section 21, Santa
11 Fe Energy has all of that -- beg your pardon -- they
12 have all of the east half of that section. They also
13 have all of the west half of Section 21, with the
14 exception of the southwest of the southwest quarter of
15 said section.

16 They bought that section at the same lease
17 sale that we did, competitive lease sale. Their
18 primary expiration for the west half of that section
19 is 11-1-92, and they paid \$67 an acre for that half
20 section.

21 Q. You describe in your opening statement, Mr.
22 King, that you have been involved on behalf of Exxon
23 in negotiating or attempting to negotiate on a
24 voluntary basis your participation with Santa Fe and
25 with Amoco for the formation of a spacing unit for the

1 drilling of a Morrow well in Section 20?

2 A. Yes, sir, that's correct.

3 Q. Have you been successful in obtaining a
4 voluntary agreement for participation in a well with
5 the working interest owners in that section?

6 A. No, sir, we have not reached agreement.

7 Q. And why not, sir?

8 A. I think there are basically two reasons
9 that we have not reached agreement. Number one, Santa
10 Fe has proposed that they have come up with a
11 situation where the pooling was changed from a
12 320-acre to a 640-acre situation. Also, we have not
13 come to the agreement as to what the geologic
14 orientation should be should this come to a 320-acre
15 proration situation.

16 Also, I'd say, the third factor involved is
17 that we offered Santa Fe a farmout at their request,
18 and they didn't like our terms.

19 Q. Let me ask you to turn to what is marked as
20 Exhibit No. 2 and tell me what Exhibit No. 2
21 contains.

22 A. Sir, Exhibit No. 2 contains all of my
23 written correspondence with both Siete Oil & Gas and
24 Santa Fe Energy Operating Partners, L.P. It also
25 contains several compulsory hearing applications, both

1 on the part of Santa Fe Operating Partners, L.P., and
2 Exxon Company U.S.A.

3 Q. Within Exhibit 2, you have numbered each of
4 the pages in Exhibit 2, 1 through page 22, I believe?

5 A. Yes, sir, that's correct.

6 Q. Let me ask you to turn with me to page No.
7 10 of Exhibit No. 2.

8 A. Yes, sir.

9 Q. What is this, Mr. King?

10 A. This is a letter from myself to Mr. Patrick
11 Tower, dated October 19, 1989, whereby I have
12 outlined, number one, the fact that Mr. Tower's letter
13 to Exxon proposing a farmout or joint situation
14 provided no terms for a farmout, which I find highly
15 irregular.

16 In this letter, I have a number 1 and a
17 number 2 indented. The number 1 is where Exxon
18 offered a farmout to Santa Fe for the east half of
19 Section 20. In this offer, we offered -- Exxon
20 offered to deliver a 75 percent net revenue interest.
21 We would retain the difference between the royalty and
22 25 percent, and Exxon did not reserve any back-in
23 after payout, which is a very generous and unusual
24 offer.

25 Q. Let me interrupt you for a moment.

1 A. Yes, sir.

2 Q. Within the context of your proposal for a
3 farm-out term on the east half of Section 20 as shown
4 in your paragraph 1, did Mr. Tower on behalf of Santa
5 Fe respond to that proposal?

6 A. Mr. Tower, in correspondence, dated October
7 26, 1989, basically skirted the issue by saying that
8 they had suddenly learned by a telephone call to the
9 OCD that the spacing would now be 640, which would
10 certainly negate this opportunity of having a farmout
11 from Exxon on the east half of Section 20.

12 Q. Let's look at Mr. Tower's letter, which is
13 pages 11 and 12, and let me direct your attention to
14 the last paragraph on the first page, which begins:
15 "Santa Fe will entertain"?

16 A. Yes, sir.

17 Q. If you'll read through that for me, I want
18 to ask you a question. Just read it to yourself, and
19 then go to page 2, and finish the sentence.

20 A. Yes, sir.

21 Q. Is it a correct statement to say that Santa
22 Fe would have accepted what you've characterized as an
23 attractive farm-out agreement provided Exxon would
24 agree to dedicating the entire section in terms of a
25 farmout to them?

1 A. Yes, sir, I think with the exception of the
2 one-third back-in, that is a correct statement.

3 Q. When we look at your letter, Mr. King, on
4 page 10 --

5 A. Yes, sir.

6 Q. -- you have a reference at the top just
7 below the date of October 9, and you refer to a well
8 location. It says 1,980 from the east line and 660
9 from the north line?

10 A. Yes, sir, I do.

11 Q. What's that mean?

12 A. That reference on the dated letter of
13 October 19, 1989, page 10 of Exhibit 2, is a reference
14 to the in re of Santa Fe's initial proposal to us.
15 The Escalante Federal Com "20" #1 is Santa Fe's name
16 for their particular project in this area. The 1,980
17 feet from the east line by 660 feet from the north
18 line was the initial Santa Fe proposed well.

19 I will point that out to you in their
20 exhibit. I have in my hand a letter from Santa Fe.
21 It is Exhibit 2, page 2, dated August 25, 1989, to Mr.
22 Joe Thomas from Patrick Tower, whereby in the in re,
23 he states: "The Escalante Fed Com "20" #1, 1,980 feet
24 from the east line and 660 feet from the north line."

25 So essentially, sir, my in re in my letter

1 is in response to the in re in his correspondence to
2 me.

3 Q. Let me direct your attention now to Mr.
4 Tower's letter. You have sent him a proposal with
5 regards to the orientation of the spacing unit to be
6 an east half, and he's responded to you?

7 A. By that response, sir, are you referring to
8 his letter back to me dated October 26, 1989?

9 Q. Yes, sir.

10 A. Yes, sir, that's correct.

11 Q. By way of that letter then, Santa Fe Energy
12 Operating Partnerships rejected your proposal to
13 orient the spacing unit with an east-half orientation?

14 A. Yes, sir, that's correct.

15 Q. What were the reasons that Mr. Tower told
16 you that Santa Fe was rejecting Exxon's proposal?

17 A. Sir, I essentially at this point would say
18 there are three reasons. And I believe Mr. Tower is
19 wrong. I believe he's very wrong.

20 The three reasons essentially, in my
21 summation of his letter, the first would be that he
22 says that the BLM, and I quote out of paragraph No.
23 3 --

24 Q. It's on page 11?

25 A. Yes, sir, this is on page 11, Exhibit 2.

1 Going down to the third paragraph on the fifth line:
2 "The BLM will not approve a communitization agreement
3 if it can be independently developed and operated in
4 conformity with an established well-spacing program."

5 Sir, I believe that to be an erroneous
6 statement and a presumption on Mr. Tower's part in
7 that I personally called the BLM myself. They said
8 they most assuredly would take that federal lease and
9 examine it, and if Exxon or any other party could
10 produce a geologic situation or reason whereby it
11 could be proved that it would be advantageous, that
12 they most assuredly would communitize and break that
13 lease, and there would be no problem with that.

14 Mr. Ormando Lopez is the one that told me
15 that from the Roswell office.

16 Sir, I believe reason No. 2 is that -- and
17 reason No. 2 for Mr. Tower being incorrect, is that
18 the north half or the east half or the west half, any
19 three of those 320-acre proration units in that
20 section with the exception of the south half and/or
21 including a 640-acre proration unit will have to be
22 unitized, or we will not drill the well. That is the
23 second reason for Mr. Tower being incorrect.

24 And the third reason I bring up that Mr.
25 Tower is incorrect in my estimation, sir, is that

1 there has been no well proposed in the south half
2 whatsoever, and so that is a moot point.

3 Also, if you go down to the third paragraph
4 in Mr. Tower's letter, Exhibit 2, page 11, come to the
5 third paragraph, at the very bottom, it says: "It is
6 our understanding the BLM, and I quote, "will not
7 communitize said tract irregardles of OCD approval of
8 the same."

9 So essentially what Mr. Tower is saying is
10 that whatever Mr. Stogner or this committee or the OCD
11 rules, the BLM is not going to pay any attention to
12 it. Essentially, the BLM will not allow the south
13 half to be communitized regardless of what the OCD
14 says, and I believe that is a very erroneous
15 presumption and statement, sir.

16 Q. Did Mr. Tower, either in his letter or
17 telephone conversations with you, Mr. King, tell you
18 that there were any other reasons for Santa Fe
19 rejecting Exxon's proposed east-half orientation of
20 the spacing unit?

21 A. Sir, I believe the two reasons that Mr.
22 Tower proposed to me that Santa Fe was not accepting
23 the east half, number one, again, is based on the BLM
24 noncommunitization presumption. Number two is that he
25 feels that there is no reason for a location base

1 geologically to do this. And I believe at this point
2 that he is simply saying that topographically they
3 cannot find a reason to drill a well on the east half,
4 and I see no reason -- he has given me no reason
5 geologically whatsoever, simply topographically.

6 And I would refer you, sir, back to a
7 letter, back to, again, the letter we've been talking
8 about. In the second paragraph, it states that Santa
9 Fe has staked approximately four locations, and that
10 the only viable location appears to be 1,980 by 1,980
11 from the west line of the west line of Section 20. I
12 simply -- I'm not sure they know where they want to
13 drill. I think they've gone out there and found out
14 they don't know where to put a rig, and I've had no
15 geologic explanation whatsoever.

16 Q. The word "viable" then in your opinion
17 refers to topographic viability?

18 A. Yes, sir, I would say that's correct.

19 Q. Let me refer you back to Exhibit No. 1, Mr.
20 King.

21 A. Yes, sir.

22 Q. There is in Section 16 on this display in
23 the southwest quarter of that section a well location,
24 if you will.

25 A. Yes, sir.

1 Q. Are you familiar with or do you have
2 knowledge about that well spot?

3 A. Yes, sir, I do.

4 Q. What does that represent, to your
5 understanding?

6 A. Sir, that well spot in the southwest
7 quarter of Section 16 was a permitted and staked well
8 by Siete Oil & Gas. Mr. Tower informed me that they
9 were, in some fashion or another, involved with Siete
10 in the staking of that well and in the possible future
11 drilling of that well.

12 Q. That well is targeted as a Morrow gas well?

13 A. That's my understanding.

14 Q. All right, sir. What happened?

15 A. Upon verbal communication with Mr. Tower,
16 he informed me that, originally, that that well would
17 be drilled by Santa Fe and Siete. As I talked to Mr.
18 Tower, I asked him, "Then how did you suddenly become
19 interested in this 37-acre tract," being the northwest
20 of the northeast in Section 20, "being as you only had
21 37 acres surrounded entirely by Exxon acreage, Santa
22 Fe acreage directly offset to the east, and Siete
23 acreage directly offset to the northeast?"

24 At that time Mr. Tower told me that Siete
25 is indeed a partner in some fashion or another with

1 Santa Fe in this 37 acres in the northwest of the
2 northeast quarter, Section 20, and that originally
3 they had staked that well at the southwest of 16, and
4 then the management -- at what level I do not know; I
5 assume upper at this point -- came to Mr. Tower and
6 his people and told them, "I want a well drilled in
7 the northwest of the northeast of Section 20. This is
8 a top priority. I am not particularly that interested
9 in the well in Section 16."

10 That was my understanding of that
11 conversation at that time, sir, and I would further
12 say that Siete Oil & Gas, on January 26, 1989, had
13 come to Exxon, which is Exhibit 2, page 1, proposing
14 that working interest unit.

15 Q. Let's look at the proposed working interest
16 unit for a minute, Mr. King --

17 A. Yes, sir.

18 Q. -- referring to page 1 of Exhibit No. 2,
19 which is what, sir?

20 A. That is a letter from Siete Oil & Gas
21 Corporation to Exxon Company, U.S.A., dated January
22 26, 1989, with more specifically, Attention: Mr. Joe
23 Thomas, a proposed Escalante working interest unit
24 being in Township 23 South, Range 25 East, Eddy
25 County, New Mexico, containing the following acreage,

1 which is Section 16 all, Section 17 all, Section 20
2 east half only, and Section 21 all, being in Eddy
3 County.

4 Q. What was the purpose of this proposal by
5 Siete to Exxon?

6 A. The purpose of this, sir, was to form a
7 working interest unit of the aforementioned 3-1/2
8 sections or -- correction -- for an 11,000-foot Morrow
9 test to be located in the southwest quarter of Section
10 16, T 23 South, Range 25 East, Eddy County, and if
11 Exxon chose not to join as working interest, sir,
12 Siete proposed at to that time that we would farm
13 out.

14 Again, Siete, as did Santa FE, offered no
15 terms for farmout whatsoever, which is highly
16 irregular to receive a request for a farmout offering
17 no terms.

18 Q. And based upon that then, Exxon rejected
19 both of those offers to farm out at those times?

20 A. Yes, sir. The basic reason that we
21 rejected both of those, number one, at the time that
22 Siete came to Exxon, our lease was only approximately
23 13 months old. We were 13 months into a five-year
24 primary term that I might mention that Exxon bought at
25 a competitive lease sale of good faith and due

1 diligence without plans of developing, and assuming
2 out of this lease both in certainly a written manner
3 that we had a five-year term in which to develop this
4 acreage that we purchased.

5 When Siete came to us, and we rejected
6 them, approximately seven months later, Santa Fe came
7 to us also. We were now 20 months into our primary
8 term of a five-year lease. And at that time Exxon
9 told Santa Fe and Siete both -- well, first of all, it
10 told Siete on March the 7th that they were not
11 interested in joining the unit or farming out at that
12 time because it was preliminary. Also when Santa Fe
13 came to us, Exxon told them that we were currently not
14 interested in joining a farming out. That was on
15 September 26.

16 The basic reason was Exxon geology showed
17 our acreage to be in the most favorable area, and
18 unitization did not currently fit into our company
19 plans of development for that acreage at the present
20 time. We're not even two years into our primary term
21 yet.

22 Q. Did Siete in their initial proposal to you
23 or at any time request all of Exxon's interest in
24 Section 20?

25 A. No, sir, they did not. They requested

1 specifically the east half of Section 20.

2 Q. Did they ever request the north half of
3 Section 20?

4 A. Not to my knowledge.

5 Q. Does Exxon have any objection to Santa Fe
6 being the operator of the proposed well provided it's
7 an east-half orientation, and that a well location
8 itself is one that's suitable and acceptable to Exxon?

9 A. No, sir. In fact, we have, on several
10 occasions, verbally -- I have verbally and personally
11 told Mr. Tower that we welcome Santa Fe to operate;
12 that we feel like that would be a good situation. And
13 certainly in my letter to Mr. Tower, dated on October
14 19, 1989, which is, again, Exhibit 2, page 10,
15 although I do not state that in writing, my letter
16 infers that Santa Fe would operate that.

17 Also, in your application of compulsory
18 pooling, dated November 7, 1989, I refer to page 19 of
19 said letter whereby you say that Santa Fe Energy
20 Operating Partners, L.P., designate as operators for a
21 well to be drilled in the northeast of said section.

22 And, again, you make mention of that on No.
23 2 of that application, page 20. You say, applicant,
24 being Exxon, desires to have Santa Fe Operating
25 Partners, L.P., designate operator for a well to be

1 drilled at an unorthodox location, northeast quarter,
2 Section 20.

3 Q. Let me direct your attention. Mr. King, to
4 pages 2, 3, and 4 of Exhibit No. 2 in which Mr. Tower
5 has transmitted to Exxon a proposed AFE for the
6 drilling of this well in Section 20?

7 A. Yes, sir.

8 Q Does Exxon have any objection to the
9 estimated cost for drilling and completing the well
10 that Santa Fe would operate?

11 A. Santa Fe, sir, offered this -- two copies
12 of this AFE back on August 25, 1989. They gave a dry
13 hole and a producing completed well scenario. We have
14 no objections to this AFE at this time, sir.

15 Q. Again, provided the orientation of the
16 spacing unit and the well location is as Exxon
17 proposes?

18 A. Yes, sir. Obviously, this would be the AFE
19 for an agreed-upon well at an agreed-upon location.

20 Q. Has Santa Fe ever submitted to you a
21 proposed Joint Operating Agreement?

22 A. No, sir, they have not.

23 Q. Do you have a recommendation to the
24 examiner as to the type of Joint Operating Agreement,
25 including the overhead rates for a producing well and

1 a drilling well rate that you would recommend to the
2 examiner?

3 A. Yes, sir, we do. At this time we feel
4 probably that the "standard Joint Operating Agreement,
5 1982 Model Form Operating which is currently in use,
6 would be very sufficient for our needs, and also we
7 would certainly want to follow the Ernst & Whinney
8 overhead rates for said agreement.

9 Q. Can you specifically tell Mr. Stogner the
10 overhead rates that would apply from the Ernst &
11 Whinney tabulation for a well at this depth in this
12 area?

13 A. Approximately \$5,800 or \$5,900 as the
14 average or mean. and approximately the monthly rate of
15 \$614, \$615 a month, something like that, sir.

16 Q. Give me the rates again. The monthly rate
17 for a drilling well?

18 A. \$5,885 and \$614 for the monthly.

19 Q. During the course of your efforts, Mr.
20 King, to consolidate on a voluntary basis the working
21 interest ownership in the east half of Section 20 for
22 participation in the well, have you had an opportunity
23 to contact Amoco who has the interest in the south
24 half of the section?

25 A Yes, sir. indeed I have

1 Q. Have they made a decision on whether to
2 participate in a well at this point?

3 A. Sir, they have made no decision. In fact
4 -- well, yes, they have made a decision not to
5 protest, not to side with Exxon or Santa Fe in a
6 protest or a joinder situation.

7 Q. So despite the agreement, if any, between
8 Santa Fe and Exxon, there will be a need for
9 compulsory pooling order that would include notice and
10 opportunity for Amoco to participate in the well
11 pursuant to the pooling order?

12 A. Yes, sir. I believe that's correct

13 Q. You've identified Exhibit No. 1 as being
14 prepared under your direction and have described that
15 information.

16 Was Exhibit No. 2 documents that you have
17 received or have been taken from Exxon's files that
18 have been generated during the regular course of
19 developing a correspondence file with regards to this
20 particular project?

21 A. Yes, sir. that's correct.

22 MR. KELLAHIN: That concludes my
23 examination of Mr. King, Mr. Stogner.

24 We would move the introduction of his
25 Exhibits 1 and 2.

1 HEARING EXAMINER: Exhibits 1 and 2 will be
2 admitted into evidence, if there's no objection.

3 MR. PADILLA: No objection.

4 HEARING EXAMINER: Thank you.

5 Mr. Padilla, your witness.

6 CROSS-EXAMINATION

7 BY MR. PADILLA:

8 Q Mr. King, you've stated a number of times
9 that you're only in the second year of the primary
10 term of the oil and gas lease that you have of those
11 lands under lease by the BLM to Exxon in the north
12 half of Section 20. In regard to that, does Exxon
13 wait until the fifth year to drill its leases, or does
14 Exxon have a policy of amortizing primary terms on its
15 oil and gas leases in order to decide whether to drill
16 or not to drill wells?

17 A Sir, I would say that we have no stated
18 policy on what point on the primary term that we
19 drill. I simply say that by buying that lease at a
20 competitive sale at which that acreage was certainly
21 open to Santa Fe at that time, we have bought the
22 right to develop that lease whenever we want to.

23 Q And you also recognize that Santa Fe has an
24 interest in the north half of Section 20; isn't that
25 correct?

1 A. Yes, sir. As a matter of fact I recognize
2 that Santa Fe owns 6 percent out of that entire
3 section. Sir. I think we have a situation where the
4 tag is actually wagging the dog here. I feel like
5 that Santa Fe has bought a very small amount of
6 acreage. They own 37 acres out of approximately 599.
7 I see Santa Fe coming in as an intrusion on us at this
8 particular time, under duress or coercion. if you
9 would, sir. to go in and try to force a well which at
10 this time we feel is premature.

11 Q. Can you tell me why you made a decision or
12 why Exxon made a decision not to participate in the
13 working interest unit proposed by Siete?

14 A. Yes, sir. Again, we feel like at this time
15 that it's premature. We have some plans to run some
16 seismic and do further development on this acreage in
17 the future. We feel like right now that it is not
18 time or appropriate if we do not have enough data or
19 enough analysis of the acreage to drill a well or
20 participate in that unit.

21 We feel like essentially Santa Fe is
22 charging in to do something that's entirely premature,
23 and we're not prepared to participate in something
24 that we're not sure is going to be the best situation
25 for Santa Fe or Exxon at this time.

1 Q. Could you also look at that situation as
2 you intended to ride Siete's well down and find out
3 what the results of Siete's well would be under the
4 working interest unit?

5 A. No, sir, I don't think we could look at
6 that.

7 Q. It would be helpful --

8 A. We'd obviously like to see a well drilled.
9 By "ride it down," what's your definition of that?

10 Q. I think --

11 A If we have no working interest in it, I
12 would not say effectively that we're riding a well
13 down.

14 Q. You would like to see a well drilled
15 somewhere in that area before you drilled yours,
16 wouldn't you?

17 A. That would be nice.

18 Q. Mr. King, when did you change your location
19 from 660 out of the northeast corner to your current
20 location?

21 A. Sir, I had first knowledge of that several
22 days ago. I don't know at what point exactly when the
23 geologist determined that.

24 Q. When did you send somebody out to the field
25 to decide whether you had a topographical location?

1 A. To my knowledge, that has been done within
2 the past month. I'm not sure exactly what day that
3 was done on.

4 Q. Well, was that in the last week?

5 A. I honestly cannot tell you. I do not know
6 when that was done.

7 Q. Who's in charge of that?

8 A. I beg your pardon?

9 Q. Who's in charge of that?

10 A. Civil engineering department.

11 Q. Isn't it true that at one of your last
12 meetings with Santa Fe Energy, you were informed that
13 you may not have a location at that 660 from the
14 northeast corner?

15 A. That we may not have a location?

16 Q. Yes, because of topography.

17 A. I was informed that they didn't
18 particularly like that. In fact, I believe the quote
19 was made at that particular meeting, "What are you
20 guys trying to do to us," type situation.

21 Q. Is 660 out of the corner a viable
22 topographic location?

23 MR. KELLAHIN: Mr. Padilla, I'll object to
24 the question simply to inform him that I have brought
25 the expert witness that examined the surface, and he's

1 available, and I propose to call him as a witness
2 later this morning if that will satisfy your point of
3 inquiry. I don't want to interrupt your
4 cross-examination of Mr. King, but I do have the
5 necessary expert that can answer that question.

6 MR. PADILLA: Well, Mr. Examiner, Mr. King
7 testified about changing of locations, and he did
8 testify concerning the changes of well locations. and
9 I think it's fair to ask Mr. King whether he knows or
10 not. If he doesn't know, then --

11 THE WITNESS: Sir. I'll state at this
12 point, I do not know.

13 Q. (BY MR. PADILLA) How many meetings did you
14 have with Santa Fe over the past month?

15 A. Are you talking about conversations or
16 direct meetings?

17 Q. Direct meetings.

18 A. To the point of this hearing?

19 Q. Yes, sir, or drilling a well in Section 20
20 and trying to make a deal.

21 A. Okay. Including two encounters at the
22 hotel last night, which were very brief. not
23 discussion business. one in the hall and two lunches,
24 I'd say we've probably been face-to-face five times.

25 Q. How many telephone conversations have you

1 had?

2 A. Sir, to my recollection, with Santa Fe,
3 three. It's either two or three.

4 Q. When did you decide to file your
5 application for compulsory pooling?

6 A Sir, that decision was made -- on 11-2-89,
7 Exxon received the forced pooling notice of November
8 29 or the forced pooling notice by Santa Fe; excuse
9 me. Exxon decided to force pool and made application
10 for compulsory pooling on 11-7-89.

11 Q. Do you know when Santa Fe actually received
12 notice of your forced pooling application?

13 A. Sir, the first notice that I had that Santa
14 Fe had received such notice was on approximately '1-'14
15 when I had a phone conversation with Mr. Pat Tower,
16 and he notified me that they had received the order or
17 the application.

18 Q. Mr. King, you've stated that it's
19 unorthodox or it's not the practice to have terms on
20 proposals made by the companies. Did you at any time
21 indicate what happens when you receive something like
22 that? Do you remain silent, or would it be
23 appropriate for you to respond and say, "Yes, I'd like
24 to farm out on these terms," or something to that
25 effect?

1 A. Sir, generally, when we receive a request
2 such as this, it goes to our land department, our
3 trades and unitization department. At that point
4 whatever particular landman is assigned to that area
5 -- in this case, it would be Mr. Joe Thomas who
6 handles Exxon trades and units in the State of New
7 Mexico -- will make a pending file. They will assign
8 that trade request a number.

9 At that time the necessary plats off the
10 Exxon land maps are drawn along with our leasehold
11 information. We fill out a basic trade request form.

12 At that time also a letter is sent to a
13 company, simply acknowledging receipt of said request
14 and that request is sent over to the appropriate
15 geologist that handles that area who then will
16 ascertain if we are interested in farming out that
17 acreage and what the terms will be.

18 At that time, if it is approved or
19 disapproved, it is sent back, and then the appropriate
20 landman either writes the trade or sends a standard no
21 interest letter.

22 Q. But from your testimony it appears that
23 you could respond by saying, "We would farm out under
24 these terms"?

25 A. Are you saying that I personally could say

1 that, sir?

2 Q. Well, your trades group could.

3 A. Our trades group could if they had
4 authority from the geologist and only in that case.
5 Sir, our trades group does not respond to an applicant
6 or a person requesting the farmout until they have an
7 authority or a no interest from the appropriate
8 geologist.

9 Q. But in your testimony you've said that
10 having received no terms for farmout --

11 A. Yes, sir.

12 Q. -- that that was somewhat highly
13 unorthodox?

14 A. Yes, sir, it's highly unusual.

15 Q. But you're not precluding from responding
16 with terms is my question?

17 A. Excuse me one moment, sir. I don't believe
18 I said it was unorthodox. I said it was highly
19 irregular.

20 Q. But you could consider even that kind of a
21 proposal and have your trade group respond whether
22 Exxon would be interested in farming out or whatever
23 it desires to do with regard to that request?

24 A. We could possibly look at the acreage and
25 see if we had any desire in that area to farm out

1 acreage. Generally, though, we would go back to the
2 company to see if they were serious about having terms
3 or whatever. It's just a very unusual situation.
4 It's hard to make a business decision without proposed
5 terms.

6 Q. Mr. King, did you ever call the Oil
7 Conservation Division and ascertain what the spacing
8 for this area was?

9 A. Yes, sir, I did call the Oil Conservation
10 Division.

11 Q. What did they tell you?

12 A. They told me that based upon just looking
13 at a map that they felt like it would be in the Rock
14 Canyon at that point. I never saw a written notice of
15 such

16 Q. Rock Canyon or Rock Tank?

17 A. Whatever it is in that -- just a moment
18 now. Rock Tank Morrow Pool. I'm sorry.

19 MR. PADILLA: I don't have any further
20 questions. Mr. Examiner.

21 HEARING EXAMINER: Mr. Kellahin, do you
22 have any redirect?

23 MR. KELLAHIN: No, sir.

24 CROSS-EXAMINATION

25 BY HEARING EXAMINER:

1 Q. Mr. King, I wanted to make sure that I had
2 one of your statements correct here.

3 A. Yes, sir.

4 Q. When you were being cross-examined by Mr.
5 Padilla, you mentioned that Exxon has no desire to
6 develop this area at this time because Exxon felt that
7 there was need for further seismic data or seismic
8 work, and that there wasn't enough information or data
9 available in the area; is that correct?

10 A. Sir, I believe what I said at that point
11 was that the point of -- are you referring to when
12 Siete made application for the working interest unit,
13 the proposal for the working interest unit?

14 Q. I believe that was about the time of the
15 cross-examination, yes I wanted you to verify.

16 A Yes, sir. I believe I did state that Exxon
17 felt at that time that we geologically had the best
18 acreage involved, and that we would want further
19 evaluation of the acreage; that we felt that forming a
20 working interest at that point, especially having the
21 federal lease only 13 months at that time. that
22 forming a working interest unit was premature at that
23 time. and we would want further evaluation.

24 Certainly not to infer, sir. that that
25 would not be evaluated or developed, but we feel like

1 in order to be a prudent participant in a unit or to
2 have a prudent well drilled, which would minimize
3 drainage and certainly be in the best interests of the
4 conservation in developing this acreage, that we need
5 to have a further look to see exactly what would be
6 the optimal location and also the best way to go about
7 it.

8 Q. Referring to the Siete well in Section 16
9 --

10 A. Yes, sir.

11 Q. -- I believe that you stated that this was
12 a permitted and a staked well; is that correct?

13 A. That was my understanding, sir.

14 Q. In the Morrow formation?

15 A. That was my understanding.

16 Q. Have you seen this permit?

17 A. No, sir, I have not.

18 Q. Do you know, by chance, what the dedicated
19 acreage is?

20 A. No, sir, I do not.

21 HEARING EXAMINER: I have no other
22 questions of this witnesses.

23 Are there any other questions of Mr. King?

24 MR. KELLAHIN: A couple questions in
25 response to what you've asked Mr. King. Mr. Stogner,

1 if I might.

2 HEARING EXAMINER: Mr. Kellahin, go ahead.

3 REDIRECT EXAMINATION

4 BY MR. KELLAHIN:

5 Q. Exxon, in fact, proposed terms of a farmout
6 in its letter of October 19, did it not, to Santa Fe?

7 A. Yes, sir, we did, yes, sir.

8 Q. Despite the negotiations between the
9 parties, we simply have not gotten agreement, and it's
10 fundamentally evolved around the orientation of the
11 spacing unit and the question of the spacing in the
12 section; is that not true?

13 A. Yes, sir, that's true. As a matter of
14 fact, pertaining to that, on Item No. 1 of that letter
15 dated October 19, 89, whereby I wrote Mr. Tower, Item
16 No. 1 offered the east half at a 75-25 situation,
17 reserving no back-in, which is very generous.

18 Our second offer was offering the north
19 half, which Santa Fe had requested, at a 75-25, with a
20 one third back-in.

21 Q. You understand, do you not, Mr. King, that
22 Santa Fe, even with a 6 percent interest in the
23 section, as a working interest owner has the right to
24 ask the Division, and the Division certainly has the
25 authority to granted them a compulsory pooling order

1 by which a well will be drilled?

2 A. Yes, sir, I understand that.

3 Q. Exxon would have liked to have seismic
4 information and certainly more data in terms of
5 analyzing the development of this section and other
6 areas in which you have an interest in this immediate
7 vicinity?

8 A. Yes, sir, we do.

9 Q. But based upon the geology that has been
10 interpreted that now exists, and that information
11 that's available to your company, that based upon
12 that, you have communicated to Santa Fe your company's
13 desire that prudent development of the section would
14 dictate an east-half/west-half orientation?

15 A. Yes, sir, we have.

16 Q. When we look at the land plat, Exhibit No.
17 1, does Santa Fe's working interest percentage
18 increase or decrease if the orientation of the spacing
19 unit is changed from a north half to, say an east
20 half?

21 A. Would you state that again?

22 Q. Yes, sir. If we look at Santa Fe's
23 interest in the section --

24 A. Yes, sir.

25 Q. -- their percentage in a north-half

1 oriented spacing unit, is that different from their
2 interest in the orientation of a spacing unit that
3 would be east half? Let me do this again. I've
4 confused you.

5 They would have no interest in a south-half
6 oriented spacing unit, would they?

7 A. No, sir.

8 Q. Would they have any interest in a west-half
9 oriented spacing unit?

10 A. No, sir.

11 Q. In the north half, they have an interest?

12 A. Yes, sir, they do.

13 Q. In the east half, they have an interest?

14 A. Yes, sir, they do.

15 Q. Between the north half and the east half,
16 does that interest change in terms of a percentage?

17 A. No, sir.

18 MR. KELLAHIN: No further questions.

19 HEARING EXAMINER: Mr. King, one more
20 question.

21 RECROSS-EXAMINATION

22 BY HEARING EXAMINER:

23 Q. The overhead charges, \$5,885 for drilling
24 and \$614 for producing, could you elaborate further on
25 these figures? Where did you get them?

1 A. These figures, sir, come from the Ernst &
2 Whinney survey results of 1988 for oil wells and gas
3 wells. What I have in depth and feet is approximately
4 10,000 to 15,000, which is at \$5.885 and \$614

5 Now, if they went down to a shallower well,
6 it would go down from \$5,885 down to \$4.775 and from
7 \$614 down to \$492, depending on the depth of that
8 well, sir.

9 Sir, I do have correspondence indicating,
10 if I might find it here, Santa Fe, under amended
11 application, dated October 30, 1989, proposes a well
12 to a depth sufficient to test the Morrow formation at
13 approximately 11,000 feet, which falls within the
14 range of 10,000 to 15,000, sir.

15 HEARING EXAMINER: I have no other
16 questions of Mr. King. Are there any other questions
17 of this witness?

18 MR. KELLAHIN: No, sir.

19 HEARING EXAMINER: If not, he may be
20 excused.

21 Mr. Kellahin?

22 MR. KELLAHIN: Thank you, Mr. Examiner.
23 I'd like to call Mr. Bill Tate at this time.

24 Mr. Examiner, Mr. Tate's geologic displays
25 are in two sizes. One is a small size that you may

1 use for the case file. We have taken each of those
2 proposed exhibits and enlarged them and proposed to
3 hang them on the wall of the hearing room for
4 discussion during Mr. Tate's presentation.

5 WILLIAM TATE.

6 the witness herein, after having been first duly sworn
7 upon his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. KELLAHIN:

10 Q. Mr. Tate, for the record, would you please
11 state your name and occupation.

12 A. My name is William Tate. I am a senior
13 petroleum geologist with Exxon in Midland, Texas.

14 Q. Mr. Tate, have you on prior occasions
15 testified as a petroleum geologist before this
16 Division?

17 A. Yes, I have.

18 Q. Would you summarize for the record what is
19 your educational experience and when and where you
20 obtained your degree in geology?

21 A. I earned a Bachelor of Science Degree in
22 Geology from Oklahoma State University in 1982. I
23 earned a Master of Science Degree in geology from
24 Oklahoma State University in 1985. During my graduate
25 work, I did extensive studies on depositional

1 environments and sandstones similar to those that are
2 found in the Morrow formation in southeast New Mexico.

3 Q. Would you describe your professional
4 employment experience as a petroleum geologist.
5 conveying to us what, if any, experience you have in
6 southeastern New Mexico, particularly with mapping and
7 analyzing and coming to conclusions, both regionally
8 and specifically about the Morrow?

9 A. I was employed by Exxon in June of 1985;
10 therefore, I have worked for Exxon for 4-1/2 years
11 My main duties during that time have been detailed
12 mapping projects, both on a regional and local scale
13 and prospect generation associated with that mapping.

14 In the last 2-1/2 years, my main duties
15 have been regional and local detailed mapping projects
16 in the Morrow formation of Eddy County, New Mexico.

17 Q. Is it part of your duties as an exploration
18 geologist to review proposals by other companies that
19 would involve Exxon's acreage or proposing
20 Exxon-operated wells to penetrate and produce from the
21 Morrow formation in Eddy County, New Mexico?

22 A. Yes.

23 Q. Have you made a specific extensive study of
24 the available geologic information in the Rock Tank-
25 Upper and Lower Morrow Pools?

1 A. Yes. I've gathered all pertinent
2 information, including all well logs, scout ticket,
3 cumulative production information, pressure
4 information, etc., in order to analyze the issues at
5 hand in this case.

6 Q. Have you made a study of available geologic
7 data and made an analysis of that data for the area
8 involved in Section 20?

9 A. Yes, I have.

10 Q. And has that included an examination of the
11 geology in the Baldridge Canyon Morrow and the Dark
12 Canyon Penn Gas Pools?

13 A. Yes, it has.

14 Q. What were you asked to do by your company,
15 Mr. Tate?

16 A. I was asked to take the proposal brought
17 forward by Santa Fe and address several issues
18 concerning their application or proposal, and also
19 address and answer several issues concerning Exxon's
20 best interests in developing Section 20.

21 Q. Have you completed that geologic study and
22 based upon that study come to certain conclusions
23 about those issues?

24 A. Yes. I are.

25 MR. KELLAHIN: We tender Mr. Tate as an

1 expert petroleum geologist.

2 HEARING EXAMINER: Are there any
3 objections?

4 MR. PADILLA: None.

5 HEARING EXAMINER: Mr. Tate is so
6 qualified.

7 Q. (BY MR. KELLAHIN) Mr. Tate, let me ask
8 you, sir, whether or not you were asked by your
9 company to make an independent geologic study and
10 investigation to determine whether or not in your
11 opinion, the Morrow formation underlying Section 20
12 was geologically part of or could be separated from
13 the Rock Tank-Upper and Lower Morrow Gas Pools that
14 existed to the north and west of Section 20?

15 A. Yes, I have conducted a study.

16 Q. Do you have a conclusion?

17 A. Yes, I do.

18 Q. What is your conclusion?

19 A. My conclusion is that the Section 20, the
20 section of interest, is geologically separated from
21 Rock Tank and, therefore, is not a part of Rock Tank
22 and should not be dedicated to either the Rock Tank
23 Upper or Rock Tank Lower Morrow Fields.

24 Q When you look at the relationship of
25 Section 20 geologically to the Dark Canyon Penn and

1 the Baldridge Canyon Morrow. do you have a geologic
2 opinion as to whether or not Section 20 ought to be
3 placed in either one of those pools?

4 A. Yes, I do.

5 Q. What is that opinion?

6 A. My opinion is that any well in Section 20
7 should be a wildcat location and therefore not
8 included in either the Dark Canyon Penn Field or the
9 Baldridge Canyon Morrow Field.

10 Q. Based upon your geologic studies, do you
11 have a conclusion with regards to what in your opinion
12 is the appropriate spacing to apply to Section 20 for
13 a Morrow gas well?

14 A. Yes. I do.

15 Q. What is that?

16 A. I believe the appropriate spacing to
17 thoroughly develop the interests, the gas associated
18 with Section 20, is 320-acre spacing units.

19 Q. In addition to examining the relationship
20 of Section 20 to the pools in the immediate vicinity,
21 have you made a study of and reached geologic
22 conclusions about the orientation within Section 20 of
23 the 320-acre, approximately, spacing units?

24 A. Yes. I have.

25 Q. What conclusion have you reached?

1 A. My conclusion is that the optimum
2 orientation of spacing units in Section 20 should be
3 stand-up proration units. In other words, the Section
4 20 should be developed with the Morrow well in the
5 east half of Section 20 and the Morrow well dedicated
6 to the west half of Section 20.

7 Q. As part of your geologic study, Mr. Tate,
8 have you come to a geologic conclusion concerning the
9 location of wells within Section 20?

10 A. Yes, I have.

11 Q. What is your recommendation to the examiner
12 as to the location of the initial well in Section 20
13 to test the Morrow formation?

14 A. The initial well in Section 20 should be
15 located at a location of 1,500 feet from the north
16 line and 1,100 feet from the east line in the east
17 half or, more specifically, in the northeast one
18 quarter of Section 20.

19 Q. Based upon the current available geologic
20 information that you have analyzed, do you have a
21 proposal to the examiner with regards to the potential
22 location of the second well in Section 20?

23 A. Yes, I do.

24 Q. What is your recommendation?

25 A. At this time, the recommendation for a

1 second well to thoroughly develop Section 20 would be
2 located at a location of 1,700 feet from the north
3 line and 1,300 feet from the west line in the west
4 half of Section 20.

5 Q. Do you have an opinion, Mr. Tate, as to
6 whether or not Santa Fe's proposed orientation of the
7 north half of Section 20 is the best geologic fit for
8 the full development of Section 20 for Morrow gas
9 wells?

10 A. No it absolutely is not.

11 Q. In your opinion, should Section 20 be
12 developed on 640-acre gas spacing?

13 A. Absolutely not.

14 Q. Let me have you, sir, go to what is marked
15 as Exhibit No. 3, and let me give you a pointer. You
16 have to recognize, Mr. Tate- that the hearing room is
17 not very suitable for doing this kind of presentation,
18 but let's have you speak up so the court reporter can
19 hear you and that we can all understand your
20 position.

21 Let me, first of all ask you before we
22 get into some of the specifics- if you'll simply take
23 a moment and identify for us the first display on the
24 well, which is Exhibit No. 3 What is that?

25 A. Exhibit No. 3 is an exhibit that I

1 prepared. It's a map of cumulative production as of
2 December 1988 for all Morrow-producing wells in the
3 vicinity offsetting Section 20 of Township 23 South,
4 Range 25 East.

5 Q. Am I correct in understanding that each and
6 every one of the geologic displays that you're going
7 to discuss this morning were prepared by you?

8 A. Yes, they were.

9 Q. This is your work product and your
10 analysis, is it not, Mr. Tate?

11 A. Yes, it is.

12 Q. Let's go to Exhibit No. 4. Would you
13 identify that for us?

14 A. Exhibit No. 4 is a structural contour map
15 for the Baldridge Canyon-Rock Tank area. It was
16 constructed on the base of the Middle Morrow shale
17 marker, a consistent, widespread, stratigraphic datum
18 typically used for the construction of structure maps
19 throughout all of southeast New Mexico.

20 Q. Let's go to Exhibit No. 7. Would you
21 identify that one for us?

22 A. Yes. Exhibit No. 7 is a cross sandstone
23 isolith map for the Lower Morrow Sandstone in the
24 Baldridge Canyon-Rock Tank area. The Lower Morrow
25 Sandstone is by far the most prolific, and most of the

1 production in the area can be contributed or dedicated
2 to this particular sand.

3 Q. Let's look at Exhibit No. 8. Would you
4 identify that one for us?

5 A. Exhibit No. 8 is a cross sandstone isolith
6 map of the Upper Morrow Sandstone. It is second most
7 in importance for significant production in this area.

8 Q. Let me have you go back, and let's look now
9 at the issue of the separation, as you've concluded
10 it, of Section 20 from the 640-acre spaced Rock Tank
11 Morrow Gas Pools to the north and west.

12 A. Okay.

13 Q. First of all, identify for us the geologic
14 feature, in your opinion, that represents the western
15 boundary of the Rock Tank Morrow Gas Pools. Can you
16 show us that?

17 A. Yes. Without a doubt, the western boundary
18 of the Rock Tank Pools, both Upper and Lower, is a
19 very significant fault bounding the west side of the
20 feature.

21 Q. Have you shown that fault on your Exhibit
22 No. 4?

23 A. Yes, right here (indicated).

24 Q. Have Morrow gas wells been drilled north
25 and west of the fault line?

1 A. Yes.

2 Q. What has been the result of that drilling?

3 A. The result of that drilling has been that
4 almost every well northwest of this area has
5 encountered significant thicknesses of sands.
6 However, in every case, they were dry holes

7 Q. So you can with certain geologic conviction
8 demonstrate that because the fault boundary is on the
9 west, that represents the western limits of the Rock
10 Tank Morrow formation?

11 A. Yes. I believe that is a very major
12 significant seal on the western boundary.

13 Q. Looking at the structure map now, have you
14 satisfied yourself that the base of the middle Morrow
15 shale is the best geologic marker upon which to
16 develop a structure map such as this?

17 A. Without a doubt, it is.

18 Q. Describe for us what it shows you as a
19 geologist in terms of the structural relationship to
20 the producing gas wells in Rock Tank Morrow and that
21 relationship then to Section 20

22 A. Sure. The production associated with the
23 Rock Tank field as is illustrated on the structure
24 map, is noted with the gas symbols. As is quite
25 obvious, the gas symbols are at a subsea depth 6 356

1 or higher. This is significantly updip of the Section
2 20 acreage which lies or varies from a subsea depth of
3 approximately 6 800 feet in the northwestern one
4 quarter of Section 20. down to 7-100 feet subsea in
5 the southeastern one quarter.

6 Q. That gives you a vertical structural
7 displacement of approximately how many feet between
8 Section 20 and the easternmost producing gas well in
9 the Rock Tank Morrow?

10 A. It gives you a displacement of around 400
11 feet. as an estimate.

12 Q. Describe for us the type of producing gas
13 wells in Rock Tank Morrow in the eastern extremities
14 of the production for that pool.

15 A. Okay. The eastern boundary of the Rock
16 Tank Field is definitely structurally controlled
17 also. Past the low proven gas wells, again at a
18 subsea depth of 6,356 and 6,345, there is one well
19 located at a subsea depth of 6-650, which is within
20 the same fault block and has encountered -- and I'll
21 be going through that in a second on the exhibits to
22 come -- has encountered significant quantities of
23 sand. However, the tests within this well have been
24 nonproductive; in fact, have encountered water.
25 Therefore, a gas-water contact definitely exists

1 between the well at a subsea depth of 6 647 and a low
2 proven gas at 6 356.

3 Q. Describe for us. Mr. Tate, your opinion
4 geologically of what is the lowest structural position
5 at which you will encounter gas in the Rock Tank
6 Morrow Gas Pool?

7 A. Originally, the low proven gas would have
8 to be somewhere close to these wells in here. Exactly
9 where, I'm not sure. It was not encountered in any of
10 the wells in actual gas-water contact based on the
11 data that I had available to me. But it was obviously
12 someplace between these wells and this well here,
13 which is I will note is significantly updip in
14 relation to the acreage in question.

15 Q. When you say significantly updip in
16 relationship to the Morrow well in Section 5 to the
17 Morrow structure in 20, what is significant? How many
18 feet?

19 A It varies. but at least 150 to 200 feet
20 updip.

21 Q. Is that sufficient vertical difference in
22 structure between Section 5 and 20 to, in your
23 opinion, make Section 20 wet in the Morrow if it is in
24 fact part of the Rock Tank Morrow Gas Pool?

25 A. Most definitely, it would have to be wet.

1 It would not make sense for there to be gas downdip of
2 a wet well unless there was some kind of structural or
3 some kind of reservoir boundary, either structural or
4 stratigraphic to provide trapping downdip. Therefore,
5 it cannot be part of our tank.

6 Q. Geologically, have you also confirmed your
7 conclusions by the preparation of certain structural
8 cross-sections through this area?

9 A. Yes, I have, and they clearly illustrate
10 the points I have made so far.

11 MR. KELLAHIN: Mr. Examiner, if we might
12 have a moment, we'll put up Exhibits 5 and 6, which
13 are the structural cross-sections to this area.

14 HEARING EXAMINER: Okay. Let's take about
15 a five-minute break at this time.

16 (Thereupon, a recess was taken.)

17 HEARING EXAMINER: This hearing will come
18 to order. Mr. Kellahin?

19 Q. (BY MR. KELLAHIN) During the break, Mr.
20 Tate, we have put on the wall of the hearing room
21 Exhibit 5 and Exhibit 6. Would you, before we discuss
22 the details of each of the displays, would you
23 identify for us Exhibit 5 and then Exhibit 6?

24 A. Yes, sir.

25 Q. Exhibit No. 5 is a four-well structural

1 cross-section, which is A-A', which begins up in the
2 crestal portions of the Rock Tank Field. down to a key
3 well that I've already discussed and will discuss in
4 more detail, across a major sealing fault, down to a
5 very significant dry hole just downdip of the acreage
6 in question.

7 Exhibit No. 6 is a five-well structural
8 cross-section, B-B', again beginning at the crestal
9 portion of the Rock Tank Field area. crossing the
10 fault, and down to the same well, which is a dry hole
11 in the Morrow just downdip of the acreage in Section
12 20.

13 Q. Let's go back to Exhibit No 5, and
14 starting on the western portion of the display,
15 describe again for us what causes you as a geologist
16 to conclude that the western boundary of Rock Tank
17 Morrow pools are fault-controlled?

18 A. Again, that is best illustrated by this
19 index map which is the same structure map -- well. it
20 was the same structure map as Exhibit No. 4 And.
21 again, it's due to the major bounding northwestern-
22 side fault which separates productive Morrow wells in
23 the Rock Tank Field from nonproductive dry holes.

24 On the extremely downthrown side, which is
25 on the northwestern side of the fault, this particular

1 fault here would lie just to the left of the first
2 well on this cross-section, again with the upthrown
3 side being on the Rock Tank Field area side, and the
4 downthrown side would be just to the northwest.

5 Q. Can you quantify for us the magnitude of
6 displacement between the upthrown and the downthrown
7 side of the western fault?

8 A Yes. Based on the well control, both
9 closely located to the fault on the downthrown side
10 and then the producing wells within Rock Tank, my best
11 estimate as to the amount of throw on this fault is
12 approximately 500 feet, very significant fault on the
13 amount of throw in the area.

14 Q. As we began then with the eastern margin of
15 the cross-section and go easterly through the pool
16 structurally, describe for us what happens as we move
17 from the high point of the structure on the west and
18 move towards the east.

19 A. Okay. The first two wells, again, noted by
20 the gas symbols and also by the annotation at the top
21 of the cross-section, indicate wells that are within
22 the Rock Tank Lower and Rock Tank Upper Morrow
23 Fields. These have been separated by zone.

24 The Upper Morrow sand, which contributes
25 the majority of the production to the Upper Morrow

1 Field or to the Rock Tank Upper Morrow Field is noted
2 here, highlighted in yellow.

3 Both these two wells, the first two wells -
4 the producing wells in Rock Tank on this
5 cross-section, have been completed in the Upper
6 Morrow.

7 The other highlighted zone is the Lower
8 Morrow Sandstone, which I've already made mention to
9 when I introduced Exhibit No. 7 as being the most
10 significant producing sand in the area, both in Rock
11 Tank Field and Baldridge Canyon, which was noted on
12 the production map to the southwest of Section 20.
13 Both these wells were completed in both the Upper and
14 the Lower Morrow Sands.

15 As we come to the third well, the third
16 well, the Monsanto Company Rock Tank Unit No. 3 -
17 located in Section 5 of Township 23 South, Range 25
18 East, is again one of the two key wells which defines
19 the presence of water significantly updip of Section
20 20. This well was one of the wells that was in the
21 initial development of Rock Tank Field.

22 The discovery well of the Rock Tank Unit
23 No. 5 was drilled and completed in January of 1968.

24 Q. Excuse me, Mr. Tate, you said 5, but it's
25 the Rock Tank 1 in Section 7; that's the discovery

1 well?

2 A. Sorry. The discovery well again is the
3 Monsanto Company Rock Tank Unit No. 1. located in
4 Section 7 of 23 South, Range 25 East right there
5 (indicated). The well here was completed in December
6 of 1970, the Rock Tank Unit No. 4 Well in Section 1
7 near the top of the crest or top of the anticlinal
8 feature associated with Rock Tank.

9 Q. Let's look at the Rock Tank No. 3 Well in
10 Section 5 and describe the type of tests that were
11 taken by which you then have concluded that it was wet
12 in both the upper and the lower sand.

13 A Okay. The Rock Tank Unit No. 3 was dry and
14 abandoned in 1969. Prior to its abandonment, it was
15 tested in both the Upper Morrow Sand and in the Lower
16 Morrow Sand, as it encountered significant thicknesses
17 of sand in both. A drill stem test was conducted over
18 both intervals.

19 The drill stem test in the upper sand
20 recovered 580 feet of formation water-cut mud. It
21 also had a minor show of gas associated with it.

22 Q. Are you satisfied as a geologist that the
23 zone in which the drill stem test was taken was taken
24 high enough in that Morrow section to have encountered
25 gas if it had been present?

1 A. Yes.

2 Q. How about the lower test?

3 A. The lower test over the Lower Morrow
4 Sandstone interval recovered a 1,000-foot water
5 blanket, 1,650 feet of formation water, and 375 feet
6 of slightly gas-cut mud.

7 Q. When you look at the Moncrief Horseshoe
8 State #1 Well in Section 29, what does that show you?

9 A. It shows you a couple things. First off,
10 the Horseshoe State #1 is significantly downdip and
11 across a fault from both the wet well and the Rock
12 Tank Field proper. It encountered the Upper Morrow
13 Sand; however, it did not encounter the Lower Morrow
14 Sand. So my interpretation has the Lower Morrow Sand
15 pinching out just to the north of the Horseshoe State
16 #1 Well.

17 Q. This is the well drilled in the section
18 immediately to the south of Section 20?

19 A. Right.

20 Q. What do you conclude about the Moncrief
21 Well in the Upper Morrow Sand? Was that productive?

22 A. A drill stem test was attempted across the
23 Upper Morrow Sand in the Moncrief Horseshoe State #1.
24 The results of that DST were that it recovered 120
25 feet of fluid. That was the only report given. No

1 gas. It doesn't indicate whether or not it was
2 formation water.

3 Q. When you examined the geologic relationship
4 between the well in Section 5 and the well in Section
5 29, what is it about that examination that tells you
6 that you're not simply seeing what represents the
7 northeastern edge of the structure in Rock Tank? In
8 other words, why isn't Section 29 part of Rock Tank?

9 A Because based on the control in the area, I
10 have interpreted a fault to exist between the Rock
11 Tank Unit No. 3 Well and the Horseshoe State #1 Well.
12 This fault is imperative for there to be entrapment of
13 hydrocarbons across Section 20.

14 Q. Let's look at the second fault that you
15 have on your display. It's the next one going east,
16 and it's the one you've just described.

17 Describe for us the data that has caused
18 you to place that fault as you've projected it on the
19 display.

20 A. A considerable amount of data has gone into
21 the interpretation of this fault.

22 First off, in this localized area
23 offsetting or surrounding the Rock Tank Baldrige
24 Canyon, and the Section 20 acreage, a considerable
25 amount of data in Baldrige Canyon indicates the

1 presence of a fault with approximately 75 to 100 feet
2 of throw in this area right through here, with a
3 well-defined orientation to that fault, somewhat
4 parallel to this major fault which has already been
5 discussed.

6 Q. Is that geologically consistent with what
7 you would expect to find in this area?

8 A. Yes, it is.

9 In addition to the localized area, I also
10 have done a considerable amount of regional work in
11 the area which indicates the presence of this fault
12 continued to the north off the localized mapped area.

13 Q. Let's go to Exhibit No. 6 now, Mr. Tate,
14 and describe for us the structural relationship
15 demonstrated on that structural cross-section as you
16 pick up other wells moving from east to west through
17 this area.

18 A. Okay. The first two wells on the eastern
19 portion of this cross-section again represent wells
20 which have been completed in both the Upper and in the
21 Lower Morrow reservoirs of Rock Tank. The fourth
22 well, being represented by a gas symbol, the Atlantic
23 Richfield Company, WG Federal Comm #1 Well, located in
24 Section 13 of Township 23 South, Range 24 East, is the
25 well which was noted earlier as being the low proven

1 gas well within the Rock Tank Field at a subsea depth
2 of minus 6,356.

3 This exhibit clearly illustrates a very
4 significant point, and that is the third well on the
5 cross-section, which is just updip of the low proving
6 gas well, the Mewbourne Oil Company Federal "K" No. 1
7 Well, also located in Section 13 here on the index
8 map, just slightly updip at a subsea depth of a minus
9 6,279, was drilled in 1985 and abandoned in January of
10 1986.

11 What's significant about this well is that
12 it encountered a very thick section of the Lower
13 Morrow Sandstone Reservoir. However, a drill stem
14 test in 1986 within this sand had the following
15 results: It recovered 370 feet of heavily gas-cut
16 mud. However, it had also encountered 630 feet of
17 gas-cut water. Therefore, this well indicates the
18 potential for the encroachment of water from gas-water
19 contact just downdip of the low proving gas well.

20 Basically, what I'm saying is that the
21 current gas-water contact as defined by the Mewbourne
22 oil well is somewhere in the vicinity of the Mewbourne
23 oil structural subsea depth of 6-279, which, again, is
24 significantly updip of Section 20 acreage which is the
25 issue of this case.

1 Q. Let me ask you, Mr. Tate, in terms of
2 analyzing the structure whether or not there's any
3 reasonable geologic probability that you can take this
4 information and map the structure for the Rock Tank
5 Morrow Pools such that you nose the structure in a way
6 that the well in Section 5 then represents the
7 northeastern limits of the structure, and you create a
8 nosing effect that would project then Rock Tank Morrow
9 down in to include Section 20 and yet be consistent
10 with the data that you discovered in Section 13, as
11 well as Section 5?

12 In summary, can you construct a structure
13 map, in your opinion, that would put a structural nose
14 feature in the Rock Tank Morrow that would be bounded
15 on the south by 13 and on the north by Section 5?

16 A. An interpretation such as that across
17 Section 20 would be very unrealistic. The points that
18 help make me come to that conclusion are, first, the
19 significant dry hole in Section 29 due south of
20 Section 20, which had a subsea depth of minus 7,033.
21 It wouldn't be geologically feasible to shove that
22 many contours in and be able to still keep it, in
23 order to keep the crest of the Rock Tank Field
24 trending across Section 20, and yet still honor that
25 data point.

1 In addition, it would still make you
2 question the point that I made on Exhibit No. 6 here
3 concerning the current gas-water contact, as clearly
4 defined by the Mewbourne oil well.

5 Q. Let's go to the isoliths now and talk
6 specifically about mapping the reservoir thickness,
7 and if I could get somebody to help me take down those
8 cross-sections, we'll go to your Exhibits 7 and 8, Mr.
9 Tate.

10 HEARING EXAMINER: We'll go off the record
11 at this point.

12 (Thereupon, a discussion was held
13 off the record.)

14 HEARING EXAMINER: Let's go back on the
15 record. Mr. Kellahin?

16 MR. KELLAHIN: Thank you, Mr. Examiner.

17 Q. Let me have you go to Exhibit No. 7 now
18 Mr. Tate, and identify that display for us again.

19 A. Okay. Exhibit No. 7 again is a gross
20 sandstone isolith map for the Lower Morrow Sandstone.

21 Q. Exhibit No. 8 is?

22 A. A gross sandstone isolith for the Upper
23 Morrow Sandstone.

24 Q. When we're looking at potential Morrow
25 zones or formations within this specific area, are

1 there any other prospective sands that we ought to be
2 interested in?

3 A. There are other prospective sands but very
4 marginally so. The production associated with these
5 two sands accounts for 85 percent of the production in
6 this area, truly, the significant sands to define the
7 risks and the potential for Morrow gas opportunities
8 in this area.

9 Q. When we look then at the two primary Morrow
10 sands in this immediate area, give us some sense of
11 the relationship in terms of potential between the
12 Lower Morrow Sandstone and the Upper Morrow
13 Sandstone.

14 A. Of significance?

15 Q. Sure. Which is going to have the greatest
16 potential?

17 A. Oh, by far, the Lower Morrow Sandstone has
18 the greatest potential. It accounts alone for 75
19 percent of the cumulative production in this area.

20 Q. Let's go then to Exhibit No. 7 and have you
21 describe for us how you have mapped and interpreted
22 the Lower Morrow Sandstone in this area generally, and
23 then more specifically to Section 20.

24 A. Okay. I've interpreted the Lower Morrow
25 Sandstone as a northwest-southeast, dip-oriented,

1 channel-fill system. This is based on several lines
2 of evidence.

3 First off, in the localized area, the wells
4 that have encountered the sandstone exhibit
5 characteristics which strongly are indicative of a
6 channel environment. The sands which have produced
7 this well in the Lower Morrow have relatively sharp
8 basal and upper contacts with the overlying and
9 underlying shale units. In addition, the log
10 signatures on the wells in the Lower Morrow Sand have
11 a slightly fine upward characteristic log signature
12 which is indicative also of a channel-fill
13 environment.

14 In addition, in map view of this localized
15 area, the Lower Morrow is present both to the
16 northwest, across the Rock Tank area, to the downdip
17 areas of both Baldrige Canyon, and continues off this
18 map in a significant downdip direction. Sands which
19 are present both updip and downdip in map view
20 obviously indicate dip-oriented channel-fill systems.

21 Q. So for purposes of simply convenience in
22 showing the display of the immediate area, you've
23 eliminated the mapping of the Morrow as it goes to the
24 north and west across the major fault?

25 A. Yes, I have.

1 Q. You could have, and you have, in fact,
2 mapped beyond that area?

3 A. I have mapped beyond that area, but because
4 this is a major geologic barrier to production and
5 defines the Rock Tank Field. which is one of the
6 important issues here, I have stopped the
7 interpretation for this exhibit at this point.

8 Q. And, similarly, to the western boundary
9 then, this channeling orientation that you see for
10 mapping this Morrow sand continues as you have
11 indicated on the display itself?

12 A. Most definitely.

13 Q. And you simply chose for convenience in
14 order to generate the display as you have to stop the
15 interpretation at that point?

16 A. Yes, I have.

17 Q. When we look then as to your geologic
18 evidence as to orientation, you said you had a channel
19 deposition for the Morrow?

20 A. Yes.

21 Q. And you said you had a northwest-southeast
22 orientation to that channel?

23 A. Yes.

24 Q. Why isn't it north-south orientation or
25 some other orientation?

1 A. That's based on the fact that channel
2 environments typically run in a downdip direction.

3 Q. You mean typically in Eddy County. New
4 Mexico, for the Morrow production, you see a
5 northwest-southeast orientation?

6 A. Yes. And that's not only based on this
7 localized area, but regional mapping which has
8 included the majority of Eddy County.

9 Q. Do you see any site-specific geology for
10 this particular area that would cause you to adjust
11 this channel to a more north-south orientation than
12 you have displayed?

13 A. Definitely not.

14 Q. Describe for us now the relative importance
15 of the thickness in the Morrow sandstone as you've
16 mapped it. What does that tell you as a geologist in
17 terms of picking an orientation, as well as a well
18 location in Section 20?

19 A. It tells me everything. There is no doubt
20 that in picking a Morrow location, you must maximize
21 sand thickness. Sand thickness or stratigraphic risk
22 is always the highest risk in drilling for the Morrow
23 formation. You don't hit the sands if you don't have
24 a reservoir. If you've got it, go for the maximum
25 amount of sand that you possibly can get.

1 Q. Let's examine now. having made the maps and
2 reached your interpretation -- let's examine your
3 conclusion about the best-fit development of Section
4 20 itself. What is the geologic criteria that you use
5 to make a judgment about the orientation of the
6 spacing units in Section 20?

7 A. Those criteria again include most
8 significantly sandstone thickness.

9 Q. That's the first criteria? What else?

10 A. A second criteria would be relative
11 structural position within the area, and that is, of
12 course, relative to other wells.

13 Q. When we look at Section 20 on the structure
14 Map No. 4, am I correct in understanding that we gain
15 structural position by moving to the northwest corner,
16 and we lose structural position by going to the
17 southeast corner?

18 A. Yes.

19 Q. So based upon that criteria, there is some
20 advantage gained by going to the northwest
21 structurally?

22 A. Yes, there is.

23 Q. When we look at your isolith, Exhibit 7.
24 you have just the opposite orientation in that the
25 greatest thickness is in the northeast?

1 A. Yes, that is.

2 Q. With the area of the least thickness being
3 in the southwest?

4 A. Right.

5 Q. You, as a geologist, have a conflict to
6 resolve in picking out the best orientation; right?

7 A. That's true.

8 Q. What did you do?

9 A. Went right for the sand thickness every
10 time.

11 Q. Why?

12 A. Again, it goes back to maximizing sand
13 thickness. That is very risky prospect. In fact, the
14 closest well to the prospect in the north half of
15 Section 29 encountered no sand whatsoever. Obviously,
16 any way of getting as far away from a zero control
17 point is obviously the choice, and, again, coming up
18 as close as you can to a 30-foot contour interval is
19 the appropriate choice for a first well.

20 Q. Do you as an exploration geologist see any
21 alternative, acceptable way to map the current data to
22 show thickness on this isolith other than as you have
23 displayed it?

24 A. No, I do not. This is the best
25 interpretation, I believe.

1 Q. What, in your opinion, is the best
2 orientation then of the spacing units for Section 20
3 that maximizes the potential for success of drilling
4 the first well?

5 A. The optimum orientation of a spacing unit
6 in order to maximize the success for the first well is
7 definitely a well located in the northeast one quarter
8 in which the east half or stand-up proration unit is
9 dedicated to that well.

10 Q. What do you accomplish in terms of the full
11 development of Section 20 if you dedicate an east-half
12 orientation with the first well in the northeast
13 quarter? What does that give you an opportunity to do
14 there?

15 A. That give you an opportunity to fully
16 develop the section in the way the Morrow is
17 conventionally developed throughout all southeast New
18 Mexico. That's on 320-acre spacing.

19 Q. Have you, as an exploration geologist
20 taken Section 20 and divided it into quarter sections
21 so that we have a northeast-northwest, southeast-
22 southwest, and have you valued then in your geologic
23 terms what the relative merit is of each of those
24 quarter sections?

25 A. Yes, I have.

1 Q. How have you done that?

2 A. I've done that by, again, dividing up
3 Section 20 into the northeast, northwest, southwest.
4 and southeast quadrants and then planimetering the
5 acre feet of total sandstone rock volume within each
6 of the quarter sections, not only for the Lower Morrow
7 Sand but also for the Upper Morrow Sand.

8 Q. Why did you want to do that, Mr. Tate?

9 A. I wanted to do that to quantify the
10 potential that existed in the section and in order to
11 come up with what would be the optimum orientation of
12 the spacing units, and from there go to the optimum
13 viable locations within those spacing units to again
14 maximize drainage of the section.

15 Q. Let's look now, sir, at Exhibit No. 9. You
16 have that in your hand, do you?

17 A. Yes, I do.

18 Q. Is that an exhibit that you prepared?

19 It should be included in the package of
20 exhibits, Mr. Examiner.

21 HEARING EXAMINER: Very well.

22 Q. (BY MR. KELLAHIN) This represents your
23 work product?

24 A. Yes, it does.

25 Q. Again, describe what you did in order to

1 get these values.

2 A. I planimetered the sand maps, both the
3 Lower and the Upper Morrow Sand maps, in order to come
4 up with an acre foot value representing the gross
5 sandstone volume associated with each of the quarter
6 sections within Section 20.

7 Q. Let's take a moment now when you talk about
8 gross sandstone volume and have you identify for us
9 the difference then between this isolith that you've
10 taken those volumes from and a conventional isopach.

11 A. A conventional isopach basically is just a
12 thickness map. It represents a thickness from one
13 point, from one stratigraphic point to another,
14 regardless of the lithology.

15 Q. What is the isolith then?

16 A. An isolith map, obviously, "lithology." it
17 means that we're going for sandstone. Obviously,
18 sandstone is the reservoir here. I'm eliminating any
19 shale that might be interbedded within the sands
20 because they do not contribute to production; so this
21 represents the potential reservoir volume, on a gross
22 sense.

23 Q. Based upon your analysis then of the gross
24 sand volume in each of the quarter sections, what did
25 you find in examining that volume for the northeast

1 quarter?

2 A. I found that the northeast one quarter far
3 exceeded those of any other -- or the acre foot value
4 far exceeded that of any of the other quarter
5 sections. The total Morrow gross sandstone volume in
6 acre feet for the northeast one-quarter is 5,896 acre
7 feet.

8 Q. And for the northwest quarter?

9 A. It calculated to be 3,497 acre feet.

10 Q. And then the southwest?

11 A. The southwest, the lowest of the four, came
12 out to 1,557 acre feet.

13 Q. Having valued then the various quarter
14 sections, using the gross sandstone volumes in each
15 quarter section, how did you integrate then the
16 structure in order to make a choice about the
17 orientation of the spacing unit that would let you
18 take the maximum advantage of the reservoir thickness
19 and yet not compromise yourself on the structure?
20 What did you do?

21 A. First, I selected the most optimum first
22 location.

23 Q. And that would be the northeast quarter?

24 A. That's right.

25 Q. Describe for us where that puts you

1 structurally.

2 A. That puts you structurally at subsea depth
3 of approximately 6,950.

4 Q. Where does that put you in terms of
5 thickness on the reservoir thickness map?

6 A. In the Lower Morrow Sandstone, it puts you
7 at a thickness of around 29, close to 30 feet of
8 sand. In the Upper Morrow, it clearly represents the
9 thickest portion of the Upper Morrow channel and would
10 be in the order of 12-to-15 feet of sand, I believe.

11 Q. When you look at the S1 dot on your
12 displays, what is that, Mr. Tate?

13 A. The S1 dot is the proposed location of
14 Santa Fe.

15 Q. When we compare the Santa Fe proposed
16 location to the Exxon proposed location -- look at the
17 structure map -- is there a significance to you in the
18 structural relationship, one to the other?

19 A. No, there is not. They are somewhat
20 comparable with the Santa Fe location, possibly 20
21 feet higher, maybe 30 feet higher than the Exxon
22 location.

23 Q. What is the relationship of the two well
24 locations on the thickness map, Exhibit 7?

25 A. That's where it's very significant. The

1 Santa Fe location will encounter between 10 and 15
2 feet of sand. while the Exxon location will encounter
3 close to 30 feet of sand.

4 That's very critical when you compare that
5 to the producing wells in the Rock Tank Field area,
6 especially because, as you can see. there are no
7 producing wells in thinner sands than 20 feet in this
8 portion of the area.

9 Q. Is there any doubt in your mind as a
10 geologist that you're willing to give up a few feet of
11 structure in order to gain reservoir thickness?

12 A. On the first well, it's critical; it's
13 critical.

14 Q. To gain thickness over structure?

15 A. To gain thickness over structure.

16 Q. When we look then at the second well for
17 the development of the section, your E2 location?

18 A. Yes.

19 Q. Describe for us the relative merits of that
20 location in terms of structure and thickness.

21 A. Structurally, the Exxon location is
22 slightly higher than the Santa Fe location, which, as
23 a second well, possibly could be significant.
24 However, we don't have the data to tell that,
25 obviously, right now, on any kind of gas-water

1 content.

2 Stratigraphically, we're looking at a
3 comparable thickness in both the Lower Morrow at
4 approximately 12 feet of sand, maybe 15 feet of sand,
5 and in the Upper Morrow. Expected to encounter around
6 10 feet of sand in both locations.

7 Q. When we look at your thickness summary.
8 Exhibit No. ^, you look at the southeast quarter,
9 that's got 3,754 feet of value in the total Morrow?

10 A. That's true.

11 Q. Where is that on your structure map?

12 A. That's at the structurally lowest point
13 within the section.

14 Q. Why would you not place the orientation of
15 the spacing units so that you would have a north
16 half-south half and put your wells in the northeast
17 and then in the southeast quarter?

18 A. Clearly because of the advantage that
19 structure will give you for a northwest one-quarter
20 versus a southeast one-quarter. It's significantly
21 downdip, on the order of 100, maybe up to 200 feet.
22 At this time again, we don't know how significant that
23 is, but that obviously presents another risk of the
24 prospect.

25 Q. Am I correct in understanding then by the

1 time you've moved down to the southeast quarter of the
2 section, that structural displacement between the
3 northwest is critical enough then that you have to
4 give up some of the thickness in order to have any
5 potential for the second gas well?

6 A. I believe it could be, and I believe that
7 what we need to consider here is a plan that not only
8 develops an east half but a west half and optimizes
9 the drainage and reduces the risk in order to come up
10 with successful wells.

11 Q. In your opinion as a geologist, Mr. Tate,
12 if the Division Examiner approves Santa Fe's request
13 for a north-half orientation and accepts their well
14 location, what would happen to the south half of the
15 section?

16 A. I don't believe the well would ever be
17 drilled. I believe Santa Fe's location would result
18 in limiting the developments in Section 20 to only a
19 single well.

20 Q. Do you find sufficient reservoir volume
21 within the section that it should geologically support
22 two wells?

23 A. Yes, I do.

24 Q. Do you find that the productive limits
25 within the Morrow are broad enough to include all of

1 Section 20?

2 A. At this time, I do.

3 Q. You don't see any evidence to exclude any
4 portion of Section 20 as potentially nonproductive or
5 noncontributive?

6 A. At this time, I don't.

7 Q. In picking the optimum location within the
8 east half of Section 20, let's talk about your
9 location. You have a requested location that you
10 initially had asked was 660 out of the corner, the
11 north and east corner of Section 20?

12 A. That's true.

13 Q. Based upon geology, what did you find at
14 that location?

15 A. A location of 660 feet from the north line,
16 660 feet from the east line within Section 20 did one
17 thing -- well, it was a geologically favorable
18 position. It was the best geological position for the
19 first drilled well as it would encounter greater than
20 30 feet of sand in the Lower Morrow and again be
21 within the thicker portions of the Upper Morrow
22 channel. Therefore, that was the optimum geologic
23 location, initially.

24 Q. When you look at the amended location,
25 which is 1,500 feet from the north line and 1,100 feet

1 from the east line, what does that tell you in terms
2 of locating the well?

3 Let me explain myself. A standard location
4 would be 1,980 from the "N" line, from the north line
5 and no closer than 660 to the side lines?

6 A. Right.

7 Q. That would be the closest standard
8 location?

9 A. Yes.

10 Q. Your location is still unorthodox, isn't
11 it?

12 A. Yes, it is.

13 Q. What is the difference to you in having an
14 unorthodox location approved over the closest standard
15 location in the east half?

16 A. There's no difference.

17 Q. The structural position then of a well at a
18 standard location is comparable to your requested
19 location?

20 A. Would you repeat the question?

21 Q. Yes, sir. When we look at the closest
22 standard location in the east half, it's going to be
23 480 feet farther south?

24 A. Right.

25 Q. You're going to lose a little bit of

1 structure, perhaps?

2 A. And sand thickness. Therefore- yes, a
3 standard location in the east half of Section 20 would
4 be least favorable geologically, obviously not the
5 optimum location for a drill well.

6 Q. And that's because you've lost thickness
7 and some structure?

8 A. Exactly.

9 Q. When we look at your proposed E1 and E2,
10 the relationship of that well to well, what kind of
11 well spacing does that give you in terms of potential
12 development of the section?

13 A. The relationship of E1 and E2?

14 Q. Yes, sir.

15 A. I believe gives you optimum distance for
16 the development of Section 20. The distance between
17 E1 and E2 is approximately 2,600 feet. I believe that
18 provides for adequate difference or separation between
19 the wells in order to, hopefully, not result in a
20 competitive kind of situation.

21 Q. "Competitive," meaning you've got two wells
22 too close to each other?

23 A. That are basically draining each other.
24 pressure depleting each other. not the most sufficient
25 alignment of the wells to optimize drainage of the

1 section. I believe the locations here will clearly
2 optimize the drainage within the section.

3 Q. Does Exxon have any objection as the
4 working interest owner in Section 17 to a well located
5 at the unorthodox well location?

6 A. No, they do not.

7 Q. Have you received any objection, to your
8 knowledge, from any of the other offsetting operators
9 to a well location at an unorthodox location in the
10 east half?

11 A. No, I have not.

12 Q. In fact, no one has objected. to your
13 knowledge. to the extreme request of 660 out of the
14 corner, did they?

15 A. No.

16 Q. When we look at the north half of Section
17 20, if that is deemed by the examiner to be the
18 appropriate spacing unit, would you still recommend
19 that the well be located as you have proposed?

20 A. Yes, I would.

21 Q. Why?

22 A. Because it's the geologically best place to
23 drill a well.

24 Q. The difficulty with that, though- is that
25 it precludes the second well from being at the

1 geologically best location in the section?

2 A. Exactly. In fact, it makes the likelihood
3 of a second well in the south half very unlikely.

4 MR. KELLAHIN: That includes my examination
5 of Mr. Tate, Mr. Stogner. We would move the
6 introduction of his Exhibits 3 through 8.

7 HEARING EXAMINER: I believe 3 through 9.

8 MR. KELLAHIN: I'm sorry, 3 through 9.

9 HEARING EXAMINER: Are there any
10 objections?

11 MR. PADILLA: No, sir.

12 HEARING EXAMINER: Exhibits 3 through 9
13 will be admitted into evidence.

14 Mr. Padilla, your witness.

15 CROSS-EXAMINATION

16 BY MR. PADILLA:

17 Q. Mr. Tate. what control did you have for
18 your 30-foot contour as shown on Exhibit No. 7?

19 A. The control for my interpretation on this
20 map --

21 Q. Yes, sir.

22 A. -- is clearly displayed on this map
23 However, in addition, I have, in fact, worked a much
24 larger area in a regional sense throughout the entire
25 area surrounding this location.

1 Q. Mr. Tate - what specific well control do you
2 have for that 30-foot contour interval that you've
3 shown?

4 A. Control includes 32 feet here, 38 feet
5 here, 40 feet there, 41 feet there - thinner sands in
6 here. Obviously, there's a thick developed here. I
7 have thicker control up in here and off the map. It
8 more or less goes along with the type of
9 interpretation you would expect in a channel-fill
10 environment.

11 I've controlled downdip, significantly
12 downdip, with sands encountered which allow me to
13 geologically interpret a sand body deposited within a
14 channel-fill system such as this.

15 Channel-fill environments typically are
16 very long, linear-type systems with sands deposited.
17 Obviously, we have control for the thickness in here
18 that, however, are very gradational in an updip and
19 downdip direction as to the thinning of those sands
20 but very sharp, typically, on the edges or on the
21 strike side, on the strike position of that channel
22 environment.

23 Q. What kind of throw does a big fault or the
24 fault you've shown on the left have?

25 A. This fault here has a magnitude of --

1 HEARING EXAMINER: Excuse me, Mr. Padilla.

2 Mr. Tate, up until now your testimony has
3 been real clear and everything. Now you're saying
4 words "here" and pointing and stuff. That's not going
5 to come out on the transcripts. and, believe me,
6 that's going to be important. If you will, when
7 you're referring to your map say which map it is, and
8 try and be a little more clear about which wells
9 you're talking about.

10 I'm sorry. Mr. Tate, please.

11 Q. (BY MR. PADILLA) The first fault, the
12 fault on the left or the "pper fault, or what's called
13 the "big fault," on Exhibit No 7. you said that
14 there's a throw of approximately 500 feet?

15 A. Um-hm.

16 Q. And you're also telling us that you can
17 correlate to wells or some other data that you have
18 northwest of that fault as shown on that Exhibit 7.
19 That correlates with your 30-foot contour line as
20 shown running through Section 20?

21 A. Could you repeat the question?

22 Q. Can you correlate this other data that you
23 have mentioned that exists but is not shown on that
24 Exhibit No. 7 with the 30-foot contour line as shown
25 running through Section 20?

1 A. I most definitely can correlate the data.
2 I have constructed an extensive grid of
3 cross-sections. carefully stratigraphically correlated
4 them.

5 Q. You don't have those cross-sections here,
6 do you?

7 A. No, I do not.

8 Q. From what pools -- what pools exist up in
9 the northwest?

10 A. There are no pools in the sands encountered
11 in these wells. The correlation of the sands in these
12 wells clearly are the same sands as that are across
13 the fault.

14 Q. Are those dry holes up there?

15 A. Yes, they are

16 Q. Are they dry holes like the Moncrief well
17 in Section 29?

18 A. They are dry holes. However, the major
19 significant difference is that these wells encountered
20 very significant thicknesses of sand in the Lower
21 Morrow, while the well in Section 29 encountered
22 absolutely no sand at all in this Lower Morrow
23 reservoir section.

24 Q. What does the channel environment mean?
25 When you say "channel environment," what does that

1 mean?

2 A. Channel environment to me means a river
3 system, a system which is transporting and depositing
4 sand from some source area, some sandstone clastic
5 source area, which in this case happens to be the
6 Pedernal uplift to the northwest.

7 You transport those sands during uplift and
8 erosion of the Pedernal uplift. You transport the
9 clastic material and deposit that within channel
10 systems.

11 Q. Are those sands continuous in nature?

12 A. It's a river system. Excuse me?

13 Q. Are they continuous in nature?

14 A. Yes, they can be very continuous in nature.

15 Q. How extensive do sands in this area extend?

16 A. I've seen sands extend for five, ten miles
17 in length within a system.

18 Q. How wide are those systems?

19 A. Generally speaking, these systems are on
20 the order of a mile, sometimes a mile-and-a-half,
21 maybe even two miles.

22 In this particular case, we have two
23 channel systems which more or less have coalesced to
24 form a very thick sand, very optimum condition,
25 especially when you drape across such a prominent

1 structurally feature at Rock Tank; obviously why Rock
2 Tank is such a very significant field.

3 Q. Is it fair to say that the Morrow formation
4 is oftentimes hard to encounter in the channel
5 environment?

6 A. Could you repeat the question?

7 Q. Is it fair to say that the Morrow formation
8 in this area is hard to encounter because of the
9 channel environment?

10 A. Channel environments definitely have
11 extreme stratigraphic risk. And, therefore, going
12 back to the reason why sandstone thickness is
13 obviously the highest criteria on the list in
14 selecting a location. There's no doubt that this is a
15 very risky location.

16 Q. Mr. Tate, in your presentation here, are
17 you trying to establish a new pool, a new Morrow pool
18 southeast of your second fault line?

19 A. Are you talking about this fault here?

20 Q. Yes, sir.

21 A. In my testimony today, I am definitely
22 illustrating separation that exists between Rock Tank
23 and the acreage in question.

24 The Morrow, as far as whether or not it's
25 dedicated to the other regulatory, the Morrow fields

1 in the area or not. it might be a decision based on
2 drilling of the well. Based on my data right now.
3 based on the closest well, being a dry hole, which was
4 drilled as a Morrow well and permitted as a wildcat,
5 my recommendation at this time would be that it is a
6 wildcat, and it should not be dedicated to any field
7 in the vicinity.

8 However, if geologic evidence suggests
9 after the well is drilled that it might exist -- that
10 it might be best put for convenience sake maybe in the
11 Baldridge Canyon-Morrow Field or the Dark Canyon Penn
12 Field. then that is another issue.

13 But my main point here is that there is no
14 doubt that Section 20 is not a part of Rock Tank.
15 There is no production within Section 20. There is
16 not geologic separation from updip wet wells.

17 Q. But you can make the correlation across the
18 whole area saying that this is the same Morrow
19 channel; is that what you're saying?

20 A. Yes, I can.

21 Q. Why wouldn't the spacing then be the same
22 for Section 20 as you have between the two folds?

23 A. Could you repeat the question again?

24 Q. My question is, if you can correlate across
25 this whole area the way you say you can, why wouldn't

1 you have the same kind of spacing in Section 20 as you
2 would between the two faults just immediately
3 northwest of Section 20?

4 A. Is your question why wouldn't we develop
5 Section 20 similar to Rock Tank if they are producing
6 from the same sands?

7 Q. Yes, sir.

8 A. Well, there are several points. First off,
9 the major producing sand at Baldridge Canyon also
10 happens to be the sand at Lower Morrow Sandstone.

11 Q. How far from Section 20 is the Baldridge
12 Canyon Morrow?

13 A. It's approximately two miles.

14 Another point that I would like to make,
15 it's approximately a mile from the Dark Canyon Penn
16 Field- a very minor field in the area, and
17 approximately two-and-a-half miles from Baldridge
18 Canyon Field.

19 But to completely answer your question,
20 another point that was brought out in the testimony
21 earlier is the very prominent structural development
22 associated with Rock Tank. very prominent anticlinal
23 feaure, a very prominent fault; a situation that I
24 don't see anywhere else on this map- and, typically,
25 you don't see this type of trap in the majority of

1 Eddy County.

2 This is obviously an optimum condition, a
3 very prominent anticline where you can expect possibly
4 better drainage. To go along with that, though, it's
5 not feasible to include this in a Rock Tank Field when
6 there's geologic separation from that. and there is
7 geologic separation from that.

8 Q. Mr. Tate- on Exhibit No. 4. your contour
9 lines match pretty well on the east side of the second
10 fault with the contour lines west of that line.

11 I don't see that similarity between the
12 lands on the west of the big fault and east of the big
13 fault. You have stopped your contour lines at the big
14 fault, but you don't do the same as you progress east
15 beyond the small -- the fault on the right.

16 Can you explain why you follow that pattern
17 and still say there's geologic separation in terms of
18 spacing?

19 A. You've totally lost me, sir. I'm sorry.
20 You'll have to repeat the question in a way that I can
21 understand.

22 Q. Let me ask the question, why didn't you
23 show structure on Exhibit 4 west of the big fault?

24 A. Because it's not significant in defining
25 the boundaries or limits of the fields which are

1 associated with the acreage in question, and they are
2 not really relevant to the case because there are no
3 producing wells up here. This is a definite major
4 boundary, geologic barrier. There are no producing
5 wells in the northwestern portion of the structure map
6 across this major fault, and, therefore. I elected to
7 stop there.

8 Q. Mr. Tate, you just explained to me that you
9 have done a lot of regional work out here. and it's
10 all significant, but you somehow stop at the big fault
11 there, and I am a little confused --

12 A. Why I stop there?

13 Q. At why you stop there?

14 A. Again, sir, it gets back to the point that
15 it's not relevant to the case as is the area east,
16 north, south, or west. I could have come in here with
17 a large map of my regional interpretation, but it's
18 proprietary information, and it's not really an issue
19 when addressing the significant issues that Section 20
20 warrants.

21 Q. Does Exxon own any lands to the south in
22 the Balldridge Canyon Morrow?

23 A. No, we do not.

24 Q. How about in the Dark Canyon Penn?

25 A. No, we do not.

1 Q. So nothing there is proprietary?

2 A. That's correct.

3 Q. How about east of your exhibits? Do you
4 have any proprietary information that would be
5 contained that Exxon has that would be shown east of
6 the exhibits that might be relevant as far as channel
7 environment is concerned?

8 MR. KELLAHIN: I'm going to object to the
9 nature of the question. He's asked this witness if
10 it's relevant. The man has explained how he's
11 prepared it. He's explained it at length. I'm sorry
12 if Mr. Padilla doesn't like how we presented our case,
13 but I don't think his question is appropriate. I'm
14 going to object.

15 MR. PADILLA: Mr. Examiner, he testified
16 about other regional data that they haven't presented
17 here, and I think Mr. Tate opened the door to that.

18 THE WITNESS: I will offer an answer.

19 MR. KELLAHIN: No. We can recess and bring
20 him a Lea County geologic map of the entire area, if
21 that what's he wants, or Eddy County. where we are,
22 but we think we've provided you all the relevant
23 geology that's necessary to make a decision. and if
24 he's got something else to show, let him put it on in
25 his case.

1 Q. (BY MR. PADILLA) Well. Mr. Examiner, let
2 me ask Mr. Tate- did you evaluate the working interest
3 in the proposal made by Siete?

4 A. Yes, I did.

5 Q. What kind of geology did you --

6 A. It hasn't changed a bit.

7 Q. Did you consider that a risky prospect?

8 A. Oh, I most definitely did. I also
9 considered Exxon acreage as being geologically
10 favorable to that which Siete was offering.

11 Q. Did you propose to do some seismic work?

12 A. It's definitely in the plans. We've got
13 several opportunities, and we obviously had to take
14 them in order of importance.

15 Q. Do you know when that's planned for?

16 A. No, I do not. I will be recommending
17 seismic though on this acreage. Again, we are just
18 into the second year of the primary term, and we have
19 every intention of being prudent operators in
20 developing the acreage in this area.

21 Q. Let me finish up, Mr. Tate. Are you
22 proposing a new pool or just an exemption from
23 existing pool rules?

24 MR. KELLAHIN: Mr. Examiner, we have
25 advertised our case to have this section deleted from

1 the Special Rules of the Rock Tank Morrow. I don't
2 know how else to do it. We've not asked for the
3 creation of a new pool because there's no well in the
4 section, and that's also been a predicate for
5 establishing the rule.

6 The way it's advertised is to separate
7 Section 20 out of the Rock Tank, and we think that's
8 geologically viable and within the choice of what you
9 can do in this hearing. To ask Mr. Tate that question
10 I think begs the decision of the examiner. He's
11 already told you he thinks it's geologically
12 separated. I don't know what else the man can tell
13 you.

14 HEARING EXAMINER: I concur with Mr.
15 Kellahin in this case, Mr. Padilla.

16 Q. (BY MR. PADILLA) Mr. Tate, does your
17 geology show a new pool for Section 20 in the Morrow
18 formation?

19 A. Is that not the question that was just
20 asked?

21 MR. KELLAHIN: Same question, same
22 objection.

23 HEARING EXAMINER: Mr. Padilla, do you want
24 to move on, please.

25 MR. PADILLA: Well, Mr. Examiner - I don't

1 think it's the same question, but I'll go ahead and
2 pass the witness at this time.

3 HEARING EXAMINER: Mr. Tate, why don't you
4 take a seat?

5 THE WITNESS: Thank you.

6 HEARING EXAMINER: At the foot of this
7 table. Yes.

8 CROSS-EXAMINATION

9 BY HEARING EXAMINER:

10 Q. In the preparation of your maps 4, 7, and
11 8, was there other geological tools or information
12 available other than the well data used to make these
13 maps, such as seismic?

14 A. No, there was not.

15 Q. No seismic work?

16 A. It was solely well data, yes.

17 Q. Back to the east of this area, what is the
18 closest Morrow production?

19 A. I know that there are no -- I know there
20 are no Morrow producing wells within at least a couple
21 miles east of this area.

22 As far as what's the closest production,
23 it's probably on the order of three to four miles. I
24 know you go about six miles to the east, and you start
25 to get into the South Carlsbad Morrow Field, and

1 that's obviously a very major field. That's the
2 closest really significant production in the Morrow.

3 Q. And that's six to seven miles, you say?

4 A. Yes, at least. maybe six to ten miles.

5 Q. Geologically speaking, as you go to the
6 south and east of the Rock Tank. and you pass the
7 middle fault on your maps --

8 A. Right.

9 Q. Are there any geological differences
10 between the sands. between the formation, what we see
11 in both Upper and Lower Morrow -- are there any
12 geological differences between those deposits to the
13 north and west and to the south and east of the area
14 which we're talking about today?

15 A. I don't believe so.

16 HEARING EXAMINER: Are there any other
17 questions of Mr. Tate?

18 MR. KELLAHIN: Let me follow up on a couple
19 of ideas, Mr. Stogner.

20 REDIRECT EXAMINATION

21 BY MR. KELLAHIN:

22 Q. When we look at the stratigraphy of the
23 Morrow prior to the faulting that's occurred, and
24 we're looking for regional developments of the Morrow
25 channel, you're able to follow those channels in some

1 aerial extent for a number of miles in some instances;
2 is that true?

3 A. Yes.

4 Q. And the channels then will have some
5 limitation in width. Then they look very much like
6 small streams or rivers?

7 A. Exactly.

8 Q. And that's how they were deposited?

9 A. Right.

10 Q. Over the course of geologic time then,
11 other events have occurred to the earth- and in
12 certain instances we have the displacement of that
13 river bed where you have faulting occurring?

14 A. Exactly.

15 Q. And while you have stratigraphically the
16 ability to map over great distances this Morrow
17 channel, you'll find that the production from pool to
18 pool within the Morrow has been otherwise affected by
19 geologic event?

20 A. Every time.

21 Q. When we look at the western boundary of the
22 Rock Tank Morrow, we see that geologic event to be a
23 major fault; is that true?

24 A. Yes, that's true.

25 Q. And while you can continue to map to the

1 east that Morrow channel from Rock Tank in through
2 Section 20. there are other things that have occurred
3 in terms of that reservoir, are there not?

4 A. Yes.

5 Q. And one of the things that has occurred is
6 that in drilling of two of those wells, we find that
7 in the structural relationship of those producing
8 wells in Rock Tank to Section 20, you encounter water?

9 A. Yes, exactly.

10 Q. And it's going to be physically impossible
11 to have the Rock Tank Morrow gas produced at a point
12 that is east of that water?

13 A. Yes.

14 Q. You have a physical separation of the
15 hydrocarbons by some other fluid, do you not?

16 A. You have to have it.

17 Q. So if geologically Section 20 is connected
18 to Rock Tank. physically, there are going to be no
19 hydrocarbons there because it's going to be wet. in
20 your opinion?

21 A. Yes, that's true.

22 Q. So if we are to establish an area that
23 contains as a single pool the same single, common
24 source of reservoir supply for that production, there
25 is no doubt in your mind as a geologist that the

1 eastern limits of Rock Tank Morrow cannot extend into
2 Section 20?

3 A. No doubt whatsoever.

4 MR. KELLAHIN: No further questions.

5 HEARING EXAMINER: Thank you, Mr.
6 Kellahin.

7 RECROSS-EXAMINATION

8 BY HEARING EXAMINER:

9 Q. Let's look at the Baldridge Canyon Morrow.
10 Are you familiar with the horizontal and extension of
11 that particular pool. Mr. Tate?

12 A. Yes, I am.

13 Q. Does it follow pretty much to what you show
14 on Exhibit No. 3?

15 A. As to the limits of the field?

16 Q. Yes. I see the dotted line around that --

17 A. Yes, that defines the Baldridge Canyon
18 Morrow field.

19 Q. Is there a fault that runs through that
20 particular pool?

21 A. Yes, the one fault in question does run
22 through there, the one in the middle.

23 Q. And this fault is the same one that is
24 separating the Rock Tank from Section 20; is that
25 correct?

1 A. That's correct.

2 HEARING EXAMINER: Are there any other
3 questions of Mr. Tate?

4 MR. KELLAHIN: No. sir.

5 HEARING EXAMINER: Mr. Padilla?

6 RECROSS-EXAMINATION

7 BY MR. PADILLA:

8 Q. Did you have a cross-section, Mr. Tate,
9 that shows that that fault runs through the Baldrige
10 Canyon Morrow?

11 A. Not available today, I do not, but I have
12 constructed extensive grids of cross-sections
13 throughout the entire area, yes.

14 Q. It's your testimony that it runs as you
15 show it?

16 A. Yes, that is true.

17 Q. What is the throw of that fault? I don't
18 think I asked you that.

19 A. I believe I mentioned, yes, it was on the
20 order of 75 to 100 feet.

21 MR. PADILLA: That's all I are.

22 HEARING EXAMINER: I'm sorry. 107 --

23 THE WITNESS: 75 to 100 feet. And, again,
24 that offset is illustrated in these cross-sections
25 too, clearly illustrating the separation.

1 HEARING EXAMINER: Are there any other
2 questions of Mr. Tate?

3 MR. KELLAHIN: No. sir. If not. he may be
4 excused. Mr. Kellahin?

5 (Thereupon, a recess was taken)

6 HEARING EXAMINER: This hearing will come
7 to order. Mr. Kellahin?

8 MR. KELLAHIN: Thank you, Mr. Stogner.

9 JOE HILL,

10 the witness herein, after having been first duly sworn
11 upon his oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. KELLAHIN:

14 Q. Mr. Hill, for the record, will you please
15 state your name and occupation.

16 A. My name is Joe Hill. and I'm a technical
17 foreman, construction, with Exxon in Midland.

18 Q. Specifically what do you do for your
19 company. Mr. Hill?

20 A. My job is to basically find, lay out, and
21 bid and supervise construction of drilling locations
22 and the roads that approach those and then the
23 subsequent reclamation of those locations after the
24 well is drilled.

25 Q. During the course of performing your

1 various duties for your company. do you have on
2 occasion the opportunity to go out and field inspect
3 possible locations the geologist has given you to
4 determine that they are topographically suitable so
5 that the surface has sufficient size for a well
6 location, and that you have access into that well
7 location and can do the various operations on the
8 surface for the drilling and production of that well?

9 A. It's a very basic step in what we do, yes.

10 Q. How long have you been doing that?

11 A. I've been with Exxon doing this particular
12 job since January of 1982.

13 Q. And pursuant to that employment and
14 consistent with your duties, did you make such an
15 inspection of Section 20 with regards to looking at
16 potential well sites in that section for a Morrow gas
17 well?

18 A. Yes, I did.

19 MR. KELLAHIN: We deny tender Mr. Hill as
20 an expert witness.

21 HEARING EXAMINER: Are there any
22 objections?

23 MR. PADILLA: No objections.

24 HEARING EXAMINER: Mr. Hill is so
25 qualified.

1 Q. (BY MR. KELLAHIN) Mr. Hill, let's look at
2 Exxon Exhibit No. 10. Would you take a moment and
3 identify and describe this display?

4 A. This is a reproduction of a USGS
5 topographic map. Carnero Peak Quadrangle. The scale
6 is 1 inch to 2,000.

7 Q. Is this the type of map that you use that
8 shows the topography of areas such as the one in
9 question, Section 20. and Eddy County. New Mexico, by
10 which you then examine the surface in conjunction with
11 these topographical maps and pick well locations?

12 A. That's correct.

13 Q. Have you found this map to be useful and
14 accurate in determining well locations in Section 20?

15 A. That's correct. When I went out there on
16 the ground, I was able to locate all the prominent
17 topographic features. Everything fit exactly as the
18 way it is on the ground.

19 Q. Within the context of this map then as
20 Section 20 is outlined on your copy, to the best of
21 your knowledge, the contouring and the information
22 shown about the surface are reasonable and accurate?

23 A. That's correct.

24 Q. Let's look specifically at a couple of
25 points, Mr. Hill. Your display shows three possible

1 well locations, one in the northeast quarter
2 identified as E1, another one in the northwest, E2.
3 and just to the south and east of E2 is the S1. What
4 do each of those represent?

5 A. E1 is a proposed Exxon location. E2 is
6 also a proposed Exxon location. And S1 is a proposed
7 Santa Fe location.

8 Q. When we look at the E1 location, is that
9 the location that you've examined that is proposed to
10 be 1,500 feet from the north line and 1,100 feet from
11 the east line of that section?

12 A. That's correct. The exact placement is
13 very difficult to do without a survey, but that is,
14 based on this topographic map, approximately where the
15 location would fall.

16 Q. In terms of the magnitude of potential
17 error without a survey, can you still accurately
18 locate the well as I've described for you using those
19 footages?

20 A. Right, this is accurate.

21 Q. The topography is not so restrictive that a
22 few hundred feet one way or another within this
23 topography is going to make that difference?

24 A. It should not, no.

25 Q. When we look at the E1 location, do you

1 find that to be a suitable location at which you can
2 construct the necessary facilities on the surface for
3 the drilling and production of the well?

4 A. Yes, it is.

5 Q. What do you use for access?

6 A. There is an existing, two-track road that
7 comes in from the south, and we would probably bring
8 that road in along that two-track, improving it in
9 certain areas. It's very steep in certain areas and
10 it definitely needs improvement. It's a very rough
11 road.

12 Q. When you compare the merits of building a
13 surface location and the access for the E1 location,
14 how does it compare to the S1 location that Santa Fe
15 has proposed?

16 A. Basically, the factor that you have here
17 for building the locations is the amount of cut and
18 fill or leveling that has to go on on the location.
19 You can determine this from the map by looking at the
20 width of the topographical contours. And basically
21 they are the same. The amount of change in elevation
22 is very similar; so that the difference in cut and
23 fill on these three sites is negligible.

24 Q. If I asked you to rank in order of
25 preference in terms of surface use now the three

1 locations, how would you rate them?

2 A. I think, from my investigation, the E1
3 location would be probably the easiest. S1 and E2 are
4 essentially the same. They are no difference.

5 Q. Are E2 and S1 both buildable locations?

6 A. Yes, they shouldn't be a problem.

7 MR. KELLAHIN: That concludes any
8 examination of Mr. Hill. We would move the
9 introduction of Exhibit No. 10.

10 HEARING EXAMINER: Are there any
11 objections?

12 MR. PADILLA: No, sir.

13 HEARING EXAMINER: Exhibit No. 10 is
14 admitted into evidence.

15 Mr. Padilla, your witness.

16 CROSS-EXAMINATION

17 BY MR. PADILLA:

18 Q. Mr. Hill, can you on my exhibit show me
19 where the original location at 660 from the east and
20 northwest?

21 A. I could pencil that on there for you It
22 shouldn't be a problem (indicated).

23 HEARING EXAMINER: Mr. Padilla, can you
24 describe roughly where that point that he just put on
25 your exhibit is?

1 MR. PADILLA: Yes, sir. I'll lend you my
2 exhibit. It's a pencil mark.

3 HEARING EXAMINER: The pencil mark appears
4 to be in the upper northeast quarter of this
5 particular section, and it appears to be -- how would
6 you describe that, Mr. Hill?

7 THE WITNESS: The easiest way to describe
8 it for the purpose of the record would be, it's
9 approximately seven-tenths of an inch from the north
10 line, seven-tenths from the east. It's on a prominent
11 feature, prominent topographic feature.

12 HEARING EXAMINER: It looks like a point
13 sticking out.

14 THE WITNESS: It is a point, yes.

15 HEARING EXAMINER: That's what I was trying
16 to get at, seven-tenths from a point Okay.

17 Q. (BY MR. PADILLA) Mr. Hill, when did you go
18 out there and do your surface inspection?

19 A. It was Monday the 20th of November.

20 Q. That was last week or --

21 A. Excuse me. What's this last Monday? 28th,
22 27th, whatever last Monday was.

23 Q. Three days ago?

24 A. That's correct, the 27th.

25 Q. As a result of your inspection, did you

1 then recommend that the change of surface locations be
2 changed?

3 A. Yes.

4 Q. The E1 location shown on your Exhibit No.
5 10, is that at the bottom of the canyon, or what is
6 it? Can you describe the surface at the E1 location?

7 A. The topographic map shows a dashed line,
8 which is the base or the flowline of the creek channel
9 through that area. The topographic contour lines
10 represented are 20-foot contours. Okay?

11 The well bore stake that we have there is
12 going to be approximately 15 to 20 feet above the
13 flowline of that creek. Some of the reasons I chose
14 that particular site are that you have an existing
15 two-track road that apparently is usable year round

16 Also, there is a windmill to the northwest
17 approximately even with the center and the north line
18 of Section 20 that is below this particular contour
19 and appears to stay in operation. I mean the
20 landowner doesn't lose his windmill; so it looks like
21 a usable location. It's as reasonable a contour --
22 it's as reasonable as any other contour in this
23 section. In other words, there's nothing extreme.

24 Q. Mr. Hill, is there any permanent water
25 running to this creek?

1 A. The only thing I was able to see was there
2 was a small pool off to the northwest that was holding
3 just a few barrels of water. It was a eddied-out pool
4 in the creek channel that held a little water, but,
5 no, it's obviously a drainage creek. It moves water
6 during periods of heavy rainfall, but it's not
7 continuous.

8 Q. Do you have any information as to how high
9 the water rises in this creek when you have a heavy
10 rainfall?

11 A. I do not. The only thing I could base my
12 opinion on was the existence of the two-track road
13 adjacent to the location and also the existence of a
14 windmill at that same general elevation down in the
15 area.

16 Q. Mr. Hill, in accessing this location, you
17 testified that, I guess you come in from the south.
18 you go north, and you follow the road as it snakes
19 down into the bottom of the canyon?

20 A. Um-hm.

21 Q. What kind of repair work would you have to
22 do to that road to get down into the bottom of the
23 canyon?

24 A. Essentially, widen the subgrade of the road
25 and surface the road with a usable material, gravel or

1 caliche. but the basic nath of the road is
2 acceptable. It's just you need to upgrade the road, I
3 found, from the pavement all the way in.

4 Q. Are there some large boulders at the bottom
5 of that canyon?

6 A. Not adjacent to the road.

7 Q. Are there any large boulders in gaining
8 access to the location that you had to remove and
9 clear?

10 A. Not that I know of. Like I say, you would
11 have to widen the subgrade, but you would have to do
12 that all the way in to the location. You would have
13 to smooth the level of the subgrade of the road and
14 haul in a surfacing material to insure a smooth road
15 surface.

16 Q. And it's your testimony that that location
17 that you want would be less costly than the E2 or the
18 S1 locations?

19 A. You would probably, in my opinion, save
20 money in blasting. The ones on top of the hill, it's
21 -- it appeared to me that you're going to have some
22 money involved in blasting.

23 It looks as if this area down here, when I
24 was there, was not going to take as much leveling.
25 Thus, you wouldn't have as much cut and fill as you

1 would the ones on the top.

2 Q. How steep is the grade as you go down into
3 the canyon? Is that pretty steep?

4 A. It's difficult to say. 10 percent, but
5 that is not unusual for this particular area. You can
6 see the topography in the locations and the roads that
7 are on this map, and this road is very common. A 10
8 percent grade is not an unusual grade in this road.

9 Q. The location up in the northeast quarter
10 that you had staked originally, was that changed
11 because of topography?

12 A. Yes. There was some problems with it that
13 just, topographically, it was not feasible.

14 Q. Mr. Hill, I have one final question: Did
15 you happen to find the muffler of the Santa Fe Energy
16 inspector's car?

17 A. I did not. It's a rough road, though.

18 MR. PADILLA: That's all I have, Mr.
19 Stogner.

20 HEARING EXAMINER: Thank you, Mr. Padilla.

21 CROSS-EXAMINATION

22 BY HEARING EXAMINER:-

23 Q. Mr. Hill, do you know if the surface of
24 this section out here is under the jurisdiction of the
25 Bureau of Land Management?

1 A. I do not.

2 Q. In your work with Exxon, is it part of your
3 duties to attend a meeting or an inspection of the
4 surface with a BLM representative on federal lands?

5 A. Yes. We do attend all site meetings where
6 we address the surface use.

7 Q. That would be you that attends those?

8 A. Yes, we do -- I do, yes.

9 Q. That would be your function?

10 A. Yes.

11 Q. But you don't know if the surface in this
12 particular area is federal?

13 A. I do not. I used the potential that that
14 would be federal surface in my interpretation, and you
15 would have an extreme cut and fill in the northeast
16 660 location, and for that reason, I made an
17 assumption that were this BLM surface, they probably
18 would not condone that particular location.

19 Q. In this particular area, and it appears on
20 the first exhibit that Exxon does have some properties
21 in this area, are there any Exxon wells within this
22 Dark Canyon draw or a well in this area that you know
23 of that is in a similar predicament as appearing to be
24 in the base of this particular draw or drainage
25 feature?

1 A. Not to my knowledge. I'm not aware of it.

2 HEARING EXAMINER: Are there any other
3 questions of Mr. Hill?

4 MR. KELLAHIN: Just a couple, Mr. Stogner.

5 REDIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q. In looking at the El location within this
8 drainage feature, have you applied to it the federal
9 standards as you know them for provable well site
10 locations?

11 A. I'm not sure of those particular
12 standards. What we look for is a location that is
13 above flowline, that is a maintainable location, that
14 minimizes cut and fill. And from all appearances,
15 this is out of the actual drainage channel. That was
16 my criteria was find a spot that is above the flowline
17 and out of the actual drainage channel.

18 Q. And you've not yet had that meeting on the
19 surface with BLM personnel with regards to this well
20 location?

21 A. We have no well location proposed; and so
22 this was just to inspect a proposed site and make a
23 recommendation as to where I thought a location might
24 be appropriate.

25 Q. Mr. Padilla asked you about the Exxon

1 original geologic pick, 660 out of the corner?

2 A. Yes.

3 Q. Let me ask you whether or not you examined
4 the surface with regards to Santa Fe's original well
5 location, which was 660 from the north line and 660
6 from the east line? Did you examine that?

7 A. Yes, I did.

8 Q. Was that a buildable location?

9 A. The initial stake, 660 from the north and
10 1,980 from the east, in my opinion, was not.

11 Q. Why not?

12 A. It was within about 50 to 60 feet of a
13 bluff overlooking the creek channel, and it would
14 require a fill section of the location be out actually
15 in the creek channel.

16 There was an alternate stake placed -- I
17 say an alternate. There was a reference stake placed
18 that was identified as 100 feet south. And a location
19 in that particular site is buildable, but it would
20 have a greater cut-and-fill situation. There is more
21 of a slope in that particular area.

22 MR. KELLAHIN: Thank you, Mr. Hill.

23 I have nothing else, Mr. Examiner.

24 HEARING EXAMINER: Are there any other
25 questions of this witness? If not, he may be

1 excused.

2 Mr. Kellahin?

3 HEARING EXAMINER: I'd like to call Mr.
4 Bill Duncan at this time, Mr. Examiner.

5 WILLIAM T. DUNCAN, JR.,
6 the witness herein, after having been first duly sworn
7 upon his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. KELLAHIN:

10 Q. Mr. Duncan, would you state your name and
11 occupation.

12 A. My name is William T. Duncan, Jr., and I'm
13 an engineer employed by Exxon Corporation.

14 Q. Mr. Duncan, as an engineer for your
15 company, have you testified on prior occasions before
16 this Division?

17 A. Yes, I have.

18 Q. And have you done any engineering work with
19 regards to the facts that are at issue before the
20 examiners today in today's hearing?

21 A. Yes, I have.

22 Q. What specifically did you do?

23 A. I looked at the cumulative recoveries and
24 the state of depletion of the wells shown on Exxon's
25 Exhibit No. 3 and compared those to the actual

1 reservoir properties for the wells shown on that
2 exhibit and calculated what I believe are reasonable
3 drainage areas that we might see or that have been
4 experienced by wells in those two fields, and it was
5 an attempt to give us an idea of what to expect in
6 Section 20.

7 Q. Have you also studied Mr. Tate's geologic
8 interpretations and examined the engineering aspects
9 of his geology with regards to Section 20?

10 A. Yes, I have.

11 MR. KELLAHIN: At this time, Mr. Examiner,
12 we tender Mr. Duncan as an expert petroleum engineer.

13 HEARING EXAMINER: Are there any
14 objections?

15 MR. PADILLA: I have none, Mr. Examiner.

16 HEARING EXAMINER: Mr. Duncan is so
17 qualified.

18 Q. (BY MR. KELLAHIN) Mr. Duncan, one of the
19 issues for the examiner to resolve is whether or not
20 there is sufficient substantial evidence to remove
21 Section 20 from the operations of the rules and
22 procedures for the Rock Tank Morrow Upper and Lower
23 Gas Pools which are based on 640-acre spacing. Have
24 you examined the relative drainage areas in the
25 various pools in this vicinity to come to any

1 conclusions as an engineer?

2 A. Yes, I have. Those comparisons are shown
3 on Exhibit No. 11.

4 Q. As an engineer, having examined the
5 information, made the engineering calculations, and
6 having sat through all the testimony today, do you
7 have an opinion as regards to what should be the
8 appropriate spacing for Section 20?

9 A. Yes. I believe Section 20 would be most
10 appropriately developed on 320-acre spacing, as would
11 be the statewide rule for development of this depth
12 well.

13 Q. Would you describe for us the method that
14 you have gone about to analyze that question and how
15 you have reached and supported your conclusion?

16 A. Yes, I would. I looked at -- first, I
17 divided the fields. I used the three separate fields,
18 and, for instance, on Exhibit No. 11, page 1, I've
19 shown the Baldrige Canyon wells. And for those wells
20 I went through and determined what the cumulative
21 recoveries were for each of the wells in that field.

22 Q. Excuse me. Let's call them pools. They're
23 designated as pools. So if you examine the area
24 within the Rock Tank Pool, you're looking at both the
25 Upper and Lower Morrow?

1 A. No. I looked at the Upper Morrow separate
2 from the Lower Morrow because the Rock Tank Pool is a
3 Rock Tank Upper Morrow Pool separate from a Rock Tank
4 Lower Morrow Pool.

5 Q. Very good. All right, sir.

6 A. On page 1 of Exhibit No. 11, I've shown the
7 Baldrige Canyon Morrow Pool wells. The wells are not
8 listed. I went through and determined what the
9 cumulative recovery was for each of the wells in that
10 pool and determined that the wells are at or very
11 close to abandonment pressure. So the cumulative
12 recoveries for each of those wells is very close to
13 the estimated ultimate recovery of the wells in that
14 pool.

15 I averaged the recoveries, and I took the
16 average porosity, thickness, and water saturations
17 that were done by Mr. Tate and used those to determine
18 the average drainage area for Baldrige Canyon Morrow
19 wells.

20 Q. And what did you conclude?

21 A. That average area is approximately 305
22 acres.

23 Q. In your opinion, has the spacing of the
24 Baldrige Canyon Morrow Pool on 320 acres been an
25 appropriate spacing pattern for the development of

1 that pool?

2 A. Yes, I believe it has been.

3 Q. Describe for us what you did when you
4 examined the Upper Morrow Rock Tank Morrow Pool.

5 A. For the Upper Morrow Rock Tank, I did the
6 same thing. I averaged the cumulative recoveries,
7 again found them at the same state of depletion,
8 approximately at abandonment pressure, and many of the
9 wells, of course, are already abandoned, but the ones
10 that are still producing are at abandonment pressure,
11 and took the average reservoir parameters, again done
12 by Mr. Tate, and determined that the Upper Morrow is
13 probably going to average about 297 acres per well in
14 drainage.

15 I did the same thing on page 2 for the Rock
16 Tank Lower Morrow wells and found that the Rock Tank
17 Lower Morrow wells did average a significantly greater
18 area of drainage, approximately 491 acres, but, again,
19 one well would not effectively drain an entire
20 640-acre section.

21 Q. Where are we in the producing life of the
22 Lower Morrow Rock Tank Pool?

23 A. About the same place. Most of these wells
24 are either depleted, or they're approaching depletion.

25 Q. We have discussed at some length this

1 morning with Mr. Tate his geologic conclusions about
2 the separation of Section 20 from the Rock Tank
3 Morrow?

4 A. Yes.

5 Q. From an engineering aspect, can you
6 describe for us those issues that you find of
7 importance in separating Section 20 from the Rock Tank
8 Morrow?

9 A. I believe that the Rock Tank Morrow Pool is
10 more likely to have some kind of enhanced secondary
11 porosity that is not as likely in Section 20. We
12 don't have any evidence to show that, but I think that
13 the greater drainage area that you see in the Rock
14 Tank Lower Morrow wells is probably indicative of some
15 enhanced secondary porosity. That's the main
16 difference.

17 I believe Section 20 will be much more
18 likely to be similar to the Baldridge Canyon Field.

19 Q. And as a physical probability of producing
20 gas in Section 20, we're not likely to see gas
21 produced out of that section if it's part of the Rock
22 Tank Morrow Upper or Lower Gas Pool because of the
23 structural relationship of that section to the pool?

24 A. That's correct. If Section 20 is in
25 communication with the Rock Tank Upper Morrow and

1 Lower Morrow Pools, it will be wet.

2 Q. When we look at the Morrow producing
3 reservoirs in southeastern New Mexico, and you look at
4 the channel nature of those reservoirs, do you find
5 that in certain instances those reservoirs can be
6 physically separated yet still be part of the same
7 geologic reservoir channel?

8 A. The sand that's deposited can be
9 continuous, but there can be separations, no flow
10 boundaries caused by secondary effects to that sand
11 body.

12 Q. That would occur for lack of permeability
13 between various portions of the same sand system?

14 A. Yes, it could.

15 Q. And you might find areas of that same sand
16 system that would be separated, the hydrocarbons would
17 be separated by water?

18 A. Yes.

19 Q. Would it surprise you to see that Section
20 20, if drilled and developed, might be separate and
21 apart from any of the existing pools in the area?

22 A. No, that would not surprise me.

23 Q. Based upon your study of the Rock Tank
24 Morrow Gas Pool and the Baldrige Pool, do you see any
25 compelling reason or justification to initially space

1 the section on 640 gas spacing?

2 A. No, I do not.

3 Q. Do you believe any waste will occur or any
4 correlative rights would be impaired if initial gas
5 spacing in Section 20 was the statewide gas rule?

6 A. No, I do not.

7 Q. Let's talk about the development of Section
8 20 now. You said you have reviewed with Mr. Tate his
9 geologic interpretations?

10 A. Yes.

11 Q. Based upon your engineering study, can you
12 conclude that there is sufficient likelihood of
13 sufficient reservoir gas that can be produced from
14 that section to support two wells?

15 A. Yes, I do believe that.

16 Q. Do you, as an engineer, have a preference
17 for how the wells are located and the spacing units
18 are oriented with regards to those wells?

19 A. Yes. I believe, as I've testified, that
20 Section 20 would not be adequately developed by one
21 well, and that if one well were drilled in the north
22 half and that the north half were the 320-acre spacing
23 unit, it's highly unlikely that a second well will be
24 drilled in the south half because of the structural
25 ridge.

1 The south half does contain significant
2 amounts of sandstone which are likely to contribute to
3 production from wells in the field, and I believe
4 those reserves would go undeveloped.

5 Q. Your proposal to develop the section using
6 two stand-up spacing units, each with wells in the
7 north half, one in the northeast quarter and one in
8 the northwest quarter, is that in any way
9 uncharacteristic or unconventional with regards to
10 Morrow gas development?

11 A. I don't believe it's unconventional. The
12 well locations do have to be optimized to gain sand
13 thickness. I believe that it's common to move those
14 locations to the point to capture the sand thickness
15 and optimize the structural position.

16 Q. In order to optimize that position, the
17 Exxon-proposed location is in fact at an unorthodox
18 location, is it not?

19 A. That's correct.

20 Q. Exxon owns the working interest in Section
21 17?

22 A. That's correct.

23 Q. Do you have any objection to the well being
24 at an unorthodox location in Section 20?

25 A. No, I do not.

1 MR. KELLAHIN: That concludes my
2 examination of Mr. Duncan, Mr. Examiner.

3 We would move the introduction of his
4 Exhibit No. 11.

5 HEARING EXAMINER: Thank you, Mr.
6 Kellahin.

7 Mr. Padilla, your witness.

8 CROSS-EXAMINATION

9 BY MR. PADILLA:

10 Q. Mr. Duncan, on your Exhibit No. 11, with
11 regard to page 1 with regard to the Baldrige Canyon
12 Morrow Pool, would you agree with me that Mr. Tate has
13 shown no connection between that pool and Section 20
14 in his geological presentation?

15 A. No, I would not agree.

16 Q. How is the Baldrige Canyon Morrow
17 connected to Section 20?

18 A. By way of illustration, if you'd refer to
19 his Exhibit No. 7, the Lower Morrow Sandstone is
20 connected between Section 20 and the Baldrige Canyon
21 Field. The Upper Morrow Sandstone shown on Exhibit
22 No. 8 also shows connection in approximately the same
23 path.

24 Q. Shouldn't then we be asking ourselves,
25 shouldn't Section 20 be part of the Baldrige Canyon

1 Morrow Pool then?

2 A. We could ask ourselves that question.

3 Q. Did Exxon consider this a possibility?

4 A. I believe that the rules in the Baldridge
5 Canyon Morrow are more appropriate for the development
6 of Section 20, and there would be no adverse
7 consequences to considering Section 20 in the
8 Baldridge Canyon Morrow.

9 Q. But you've made no presentation of that
10 sort today to include Section 20 in the Baldridge
11 Canyon Morrow, have you?

12 A. There happens to be a field or a pool
13 between Section 20 and Baldridge Canyon Morrow called
14 the Dark Canyon Penn, and some of those wells are
15 completed in Morrow sands. So there is some
16 administrative question about whether the NM OCD would
17 prefer to see it in the Baldridge Canyon Morrow.

18 Since Section 20 is two to three miles from
19 the Baldridge Canyon Morrow Field, it seems most
20 appropriate that it be developed as a wildcat. I see
21 no problems with that.

22 Q. Let me direct your attention to page 2 of
23 your exhibit. In regard to the Upper Morrow Rock Tank
24 calculation and your conclusion that one well is
25 draining 297 acres -- well, first of all, is that your

1 conclusion, that one well is only draining 297 acres?

2 A. No, it is not.

3 Q. What does 297 acres mean?

4 A. That is the average area drained by wells
5 completed in the Rock Tank Upper Morrow Pool.

6 Q. Are there wells in that pool that are
7 draining in excess of 297 acres?

8 A. Yes, there are. By my calculations, of the
9 five wells in the pool, one well probably will drain
10 in excess of 320 acres.

11 Q. Does this calculation indicate that you
12 have a limited channel environment where these
13 particular wells are completed, and your average,
14 therefore, only shows a productive acreage?

15 A. The average reflects the reservoir
16 properties that we've seen in each of the well bores.
17 By averaging all of the well-bore properties of wells
18 within that field, it should be a good statistical
19 tool.

20 Q. But 297 acres is only an average?

21 A. 297 acres is an average.

22 Q. Do you know what the range of drainage is
23 of the particular wells in the Upper Tank Morrow?

24 A. I have calculated for each well what the
25 net range is, or I've calculated for each well what

1 the approximate drainage will be. I've chosen not to
2 present it because that could make individual wells
3 not quite as accurate as the entire picture.

4 I feel like 297 shows -- it's unlikely that
5 the Rock Tank Upper Morrow is going to be effectively
6 developed on the average by 640-acre spaced wells. I
7 can refer to that range and give you those numbers.

8 The highest value calculated for the Rock
9 Tank Upper Morrow wells is one well which would
10 calculate out to be 901 acres that's drained. The
11 large amount of uncertainty that I believe exists is,
12 we've attempted to come up with a good porosity cutoff
13 that we've used, about 6-1/2 percent, but it is
14 possible that there is some contribution from porosity
15 lower than 6-1/2 percent. Obviously, there's some
16 porosity greater than 6-1/2 percent which may not be
17 contributing. So the individual numbers are not quite
18 as important, I believe, in the study of Section 20.

19 However, the range does go from 47 acres as
20 a low to 901 acres. Two of the wells drained
21 approximately -- I'll just give you all the numbers.
22 There were five wells. One drained approximately 228
23 acres; one, approximately 178; one, 63; one, 901; one,
24 47.

25 And there was another well that showed

1 absolutely no porosity but yet produced half a billion
2 cubic feet of gas; so it showed no porosity above our
3 6-1/2 percent cutoff. So, technically, it got that
4 out of absolutely nothing, but when you look at the
5 average, it still should be meaningful.

6 Q. On that last well you mentioned with no
7 porosity, did you throw that out of your calculation
8 because it had less than 6 percent porosity?

9 A. No, I did not. Obviously, there was some
10 reservoir there.

11 Q. Is there a permeability factor that is
12 included in your calculations?

13 A. There is always an effect caused by
14 permeability, but permeability is not directly
15 measurable on well logs; so it's not something that
16 can be easily used to determine net pay. The common
17 practice in reservoir engineering is to use porosity.
18 Porosity and permeability are related. Therefore, you
19 are implicitly using permeability.

20 Q. Do you know what kind of permeabilities you
21 have in this Upper Morrow Pool?

22 A. No, I have not studied that.

23 Q. Let's go on down to the Lower Morrow
24 calculation. Can you give me the range of
25 calculations that you have calculated for the various

1 wells in that pool?

2 A. One well showed to be approximately 28
3 acres, and the highest well was 922 acres. The
4 average was 491 acres. Of the eight wells in the
5 pool, six would drain 320 acres effectively. Only
6 three would drain 640 acres effectively.

7 Q. Would infill drilling be appropriate in
8 those instances where you have found that one well is
9 not effectively draining 640 acres?

10 A. I have not looked at that.

11 Q. Where you have situations or wells that are
12 only draining 320 acres on an average, is that in and
13 of itself creating waste?

14 A. I don't understand your question.

15 Q. Would the fact that one well is not
16 draining the entire 640 acres and is only draining 320
17 acres, would that create reservoir waste because gas
18 production or gas reserves are not being produced
19 through that one well?

20 A. I don't think I understand your question
21 because my answer wouldn't be favorable to you. Could
22 you please restate it? I don't think you would ask
23 that question, if I'm understanding it correctly.

24 Q. Let me ask the question a different way.
25 Where your calculations show that wells are draining

1 less than 320 acres, there is still an opportunity to
2 drill an additional well in that section, is there
3 not?

4 A. There may or may not. You would have to
5 look at the particular situation and evaluate it for
6 infill production.

7 Q. What factors would you be looking at?

8 A. Reservoir homogeneity, which would give you
9 an indication of whether there are sufficient reserves
10 left to drill a second well.

11 Q. You're saying if there's sufficient
12 reserves left as some kind of contingency; doesn't
13 that indicate that the well is indeed draining more
14 than 320 acres?

15 A. Some of the wells are draining more than
16 320 acres. Some are draining less. On the average,
17 320 acres would be the best development density for
18 Section 20. 640 acres would not.

19 Q. Wouldn't the best way to develop the area
20 then is to drill wells on the greater spacing and then
21 evaluate as you develop the field as to whether or not
22 infill drilling or smaller spacing is appropriate?

23 A. I believe that it's very, very unlikely
24 that we would see 640-acre spacing, that that would be
25 an appropriate spacing for Section 20 based upon what

1 I've done. It would be extremely conservative to the
2 point of being wasteful. In addition, it would cause
3 --

4 Q. Why would it be wasteful, Mr. Duncan?

5 A. There would be an inertial effect. If it
6 were initially spaced on 640 acres, it's more likely
7 it would remain on 640 acres, even if that were not
8 the appropriate spacing.

9 I believe in this case statewide rules
10 provide for the best way to develop this section.

11 Q. But you would agree that there are
12 exceptions to 320 acres just like there is in the Rock
13 Tank; isn't that correct?

14 A. Of course, I would.

15 MR. PADILLA: I think I have asked all the
16 questions that I have.

17 HEARING EXAMINER: Thank you, Mr. Padilla.
18 Mr. Kellahin, do you have any redirect?

19 MR. KELLAHIN: No, sir.

20 HEARING EXAMINER: Are there any questions
21 of Mr. Duncan? If not, he may be excused.

22 MR. KELLAHIN: Mr. Stogner, I'd like to
23 introduce our notice certificate for the hearing in
24 which we've notified the offset operators with regards
25 to our request, as well as notification of those

1 working interest owners within our proposed spacing
2 unit. I've marked that as Exxon Exhibit No. 12.

3 That concludes our presentation with the
4 introduction of Exhibit No. 12, Mr. Examiner.

5 HEARING EXAMINER: Are there any objections
6 to Exhibit No. 12?

7 MR. PADILLA: No.

8 HEARING EXAMINER: Exhibit No. 12 will be
9 admitted into evidence. I believe that concludes your
10 testimony, Mr. Kellahin?

11 MR. KELLAHIN: Yes, sir.

12 Mr. Padilla? You may proceed.

13 MR. PADILLA: I call Mr. Pat Tower at this
14 time.

15 PATRICK J. TOWER,
16 the witness herein, after having been first duly sworn
17 upon his oath, was examined and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. PADILLA:

20 Q. Mr. Tower, would you please state your
21 name.

22 A. My name is Patrick Tower.

23 Q. Who do you work for?

24 A. I work for Santa Fe Energy Operating
25 Partners, L.P., as a senior landman in Midland, Texas.

1 Q. How long have you held that position?

2 A. With Santa Fe Energy, approximately eight
3 years.

4 Q. Have you testified before the Oil
5 Conservation Division as a petroleum landman in the
6 past?

7 A. Yes, I have.

8 Q. And have your credentials been accepted as
9 a matter of record as an expert witness as a landman?

10 A. Yes, sir.

11 Q. Mr. Tower, are you familiar with the
12 application and the land ramifications insofar as the
13 application of Santa Fe Energy and of Exxon's
14 application are concerned?

15 A. Yes, I am.

16 MR. PADILLA: Mr. Examiner, we tender Mr.
17 Tower as an expert petroleum landman.

18 HEARING EXAMINER: Are there any
19 objections?

20 MR. KELLAHIN: No, sir.

21 HEARING EXAMINER: Mr. Tower is so
22 qualified.

23 Q. (BY MR. PADILLA) Mr. Tower, let's have you
24 tell us briefly what Santa Fe's application seeks to
25 accomplish.

1 A. Okay. Santa Fe seeks compulsory pooling in
2 a nonstandard gas proration unit, comprising all of
3 Section 20, Township 23 South, Range 25 East, for
4 640-acre spacing, based on the nearest field, which is
5 the Rock Tank Lower and Upper Morrow Pools.

6 Q. Mr. Tower, why have you based your
7 application on the pool rules of the Upper Tank and
8 the Lower -- I mean the Upper Tank -- Rock Tank Upper
9 Morrow and the Rock Tank Lower Morrow?

10 A. Strictly based on conversations with the
11 OCD advising us we were within one-mile boundary of
12 such pool, and that it would require us to space it on
13 640-acre spacing to drill a well.

14 Q. Mr. Tower, let's turn to your Exhibit No. 1
15 and have you identify that, please.

16 A. Okay. Exhibit No. 1 is a land plat, and,
17 in essence, the same land plat presented by Exxon, if
18 I can refer back to their testimony to save time. It
19 identifies or outlines Section 20, which would be the
20 proration unit for 640 acres, and also identifies the
21 land position in there, which is, in essence, the same
22 information which Exxon testified is correct as far as
23 the ownership and the lease status.

24 One exception I will clarify is Santa Fe's
25 tract in the northwest quarter of the northeast

1 quarter is a 40-acre tract, and Santa Fe does have the
2 entire 40 acres leased.

3 Q. We know already what your relationship with
4 Exxon is, but what is your relationship with Amoco,
5 who owns the south half of the section?

6 A. In this instance, we have been discussing
7 with them, similar to Exxon, seeking their support for
8 drilling a well in this area. They have advised us
9 that they were not going to show up at the hearing,
10 and they're not going to oppose it and take sides as
11 to the issues of the spacing, location, etc.

12 However, they did agree with Santa Fe
13 verbally that they will not oppose what we're doing,
14 and they will actually support us with a well in the
15 form of either a nonconsent, based on the order to be
16 issued, or in the form of a farmout; that they, in
17 other words, would contribute their acreage to Santa
18 Fe in some fashion for the drilling of a well.

19 Q. Mr. Tower, originally, Santa Fe filed its
20 application for a 320-acre spacing, and then we had a
21 subsequent application for 640-acre spacing. Would
22 you briefly tell us about why the change was made?

23 A. Okay. Initially, it was felt, and I don't
24 recall exactly -- it might have been through
25 preliminary conversations with the District OCD that

1 the Dark Canyon Penn Field would include the Morrow
2 here, and we were led to believe it would be on
3 320-acre spacing at that time. We filed it. At that
4 time we were advised that it may not.

5 We double-checked, got back to the OCD.
6 They checked the details, called us back and said, no,
7 this section would not qualify for that and would have
8 to go into the Rock Tank and would have to be under
9 640-acre spacing. At that time we refiled our
10 application.

11 Q. Mr. Tower, you have sent notices to Siete
12 Oil & Gas Corporation of this well, as to Exxon and to
13 Amoco concerning your application?

14 A. Yes, I have.

15 Q. What is your relationship with Siete Oil &
16 Gas?

17 A. Initially, and as Exxon testified earlier,
18 in January of this year, Siete approached Exxon,
19 Amoco, and Santa Fe to form a working interest unit
20 comprised of all of Section 16, all of 17, the east
21 half of Section 20, and all of Section 21 for the
22 drilling of a well in Section 16. We have not signed
23 any agreements. However, we have advised all parties
24 that we'd like to see a well drilled in this area to
25 test the idea.

1 We have agreed with Siete, if they drill a
2 well up there, they would operate, and we would
3 participate. However --

4 Q. When you say "up there," where do you mean,
5 "up there"?

6 A. In the southwest quarter of Section 16.

7 Q. What well is going to be drilled there
8 first, yours or theirs, or what's the order of
9 drilling?

10 A. Our plans would be to drill Section 20
11 first. There is some debate with Siete as to which
12 well would be drilled first. We've asked them to not
13 drill their well so that we could proceed with Section
14 20 and drill it first.

15 Q. Mr. Tower, let's go on to your Exhibit No.
16 2 and have you identify that for the examiner.

17 A. Exhibit No. 2 is various correspondence
18 with Exxon Company, USA, Siete Oil & Gas Corporation,
19 and Amoco Production Company concerning the proposal
20 of this well in Section 20.

21 Q. Mr. Tower, Mr. King testified extensively
22 concerning one of the proposals that Exxon had made to
23 Santa Fe Energy dated October 19, 1989, and it's in
24 your exhibit, and this is the exhibit that -- the
25 Exxon exhibit that also shows the two proposals that

1 Exxon had made to you, itemized proposals.

2 I'd like for you to discuss each of those
3 before the examiner and tell what Santa Fe's version
4 of the proposals are.

5 A. Okay. Were you referring to the initial
6 proposals in September to Exxon?

7 Q. No, sir. I'm referring to the October 19,
8 1989, letter, from Exxon to Santa Fe Energy.

9 A. Okay. In essence, the October 19th letter
10 is in response -- is a letter from Exxon to Santa Fe
11 in response to letters of August 25 and September 26
12 from Santa Fe to Exxon.

13 This October 19th letter basically states
14 that Exxon would lean towards farming out for our
15 test; however, they would prefer an east-half
16 proration unit for the well and would offer us
17 favorable farm-out terms, as they noted earlier, for
18 the east half, or in lieu of that, if a well was to be
19 drilled in the north half of Section 20, they would
20 offer to farm out based on more stringent farm-out
21 terms.

22 Q. What is the nature of the more stringent
23 farm-out terms?

24 A. Basically, the difference lies in they
25 would have a third back-in on the north half versus no

1 back-in on the east half.

2 Q. Do you agree with the one-third back-in at
3 the payout?

4 A. No, we do not.

5 Q. Why don't you?

6 A. Generally, in my experience in New Mexico,
7 and we've drilled quite a number of Morrow wells in
8 the last several years, this being a risky well,
9 wildcat, the general terms -- and there are
10 exceptions, but the general terms we've offered and
11 also accepted have been based on delivering a 75
12 percent net revenue with a quarter back-in, and those
13 being the maximum we generally have seen in the
14 industry.

15 Q. Mr. Tower, if you have a lay-down unit,
16 your acreage would be included in the north half
17 proration unit based on 320 acres, and if you have an
18 east-half proration unit, your acreage would also be
19 included?

20 A. Um-hm.

21 Q. Explain to the examiner why you would
22 prefer a lay-down unit as your application has called
23 for.

24 A. Okay. There's basically three separate
25 reasons. Two of them, which differ from the

1 geological testimony, being the topography, second,
2 the geological information, and the third, dealing
3 with the land in, noting again that the south half of
4 Section 20 is a federal lease owned by Amoco at this
5 time.

6 In conversations with Armando Lopez at the
7 BLM concerning this situation, and these were
8 subsequent to Exxon's conversation with Armando --

9 Q. How do you know they were subsequent to
10 their conversations?

11 A. Basically, Armando Lopez indicated he had
12 talked to Exxon concerning this matter when I brought
13 it up. But, in essence, it's our understanding, and
14 again there are exceptions, and Armando stated this
15 for various reasons, that they will generally -- or
16 the federal regulations will not allow you to
17 communitize and split that south-half lease into
18 stand-up proration units if you can independently
19 develop it without communitizing it.

20 He indicated that there were exceptions --
21 if the geology would indicate that there was no viable
22 location at all geologically on the south half, that
23 they might consider communitization.

24 The other was a situation they said where
25 if noncommunitization, you had to drill an unorthodox

1 location, but with communitization, you could drill a
2 legal location. Then in those cases they might grant
3 an exception and allow you to communitize and split
4 the lease.

5 We have in two different instances, as I
6 recall in the last five years, run into this, similar
7 circumstances. In one case we actually went to the
8 BLM with the geology. We owned both leases involved
9 on 320 spacing where there were two separate leases,
10 and we felt we could show the BLM it was more prudent
11 to split those two. However, even though it was a
12 less acceptable geological location not splitting
13 them, they denied communitization because they
14 strictly adhered in that situation to the federal
15 regulations because there was a location, although not
16 as acceptable, geologically.

17 So based on those experiences in the past
18 and our conversations, we were led to believe that
19 it's not possible to split that lease and stand these
20 up, and that's why, from a land standpoint, we have
21 pursued the north half.

22 Q. When did your efforts to make a deal with
23 Exxon start?

24 A. Concerning the well proposal in Section 20,
25 the initial proposal was made August 25th, and then

1 we've had numerous conversations since then and
2 several meetings concerning this issue. We had
3 actually discussed the possibility of drilling a well
4 in the area with them in connection with Siete in
5 trying to get together and share the risk to test the
6 idea in the area as early back as starting in January
7 or March, May, somewhere in that area, in conjunction
8 with Siete's proposal.

9 Q. Getting back to that, what was Exxon's
10 attitude with the --

11 A. The response was, "We do not want to drill
12 a well at this time, and we do not want to basically
13 participate in any well."

14 When we proposed a well in Section 20, the
15 letter response said basically -- we basically offered
16 to let them join test or farm out on mutually
17 acceptable terms. We have approached companies in
18 that fashion many times hoping we could negotiate
19 those terms, probably just setting them out in writing
20 at the onset. But their response initially was, "We
21 do not want to do anything. We do not want to
22 participate in the well."

23 And we received a letter back September
24 26th to that effect. Subsequent to that is, I
25 believe, when we filed forced pooling and then we

1 received the additional correspondence offering to
2 farm out.

3 Q. What is Santa Fe's land position in the
4 area?

5 A. In just Section 20 or --

6 Q. The general area.

7 A. The general area. As stated, we have the
8 40 acres in Section 20. We're also -- in some fashion
9 Amoco has indicated they're going to commit their
10 acreage to Santa Fe.

11 Q. Do you have any deals with Amoco of any
12 sort that might indicate more than just talk?

13 A. We entered late last year -- we entered
14 into a large joint venture with Amoco covering a
15 substantial amount of their southeast New Mexico lands
16 where they've committed those to Santa Fe under a
17 large farm-out agreement. These particular lands in
18 Section 20 are not included in that deal, but we've
19 got an ongoing relationship under that large agreement
20 that will extend several years.

21 And so based on our -- we have dealt with
22 each other at length under this agreement within the
23 last year; so we generally have a rapport, have had
24 many conversations with Amoco and an understanding.

25 Q. When was the latest conversation you had

1 with Amoco regarding the south half of Section 20?

2 A. I don't recall the exact date. It was last
3 week. However, I believe their area land manager for
4 Amoco was in Santa Fe's offices, I believe, yesterday
5 on another matter, and this topic came up, and he
6 again reiterated that they would support Santa Fe with
7 this acreage.

8 Q. I believe I had -- before I interrupted
9 you, I had asked you what the Santa Fe position was in
10 the area. Can you continue with that testimony?

11 A. Yes. Santa Fe, aside from Section 20, we
12 also own all of Section 21 or have control under two
13 federal leases, with the exception of the southwest
14 quarter of the southwest quarter.

15 We also have some extensive acreage
16 holdings to the northeast up in Section 9, also in
17 Section 16 in the Siete Oil & Gas, that 40-acre oil
18 and gas lease, we jointly purchased at a sale just
19 under a joint agreement. So we have 50 percent
20 interest in that 40, in various other acreage to the
21 north and also to the southeast.

22 Q. Mr. Tower, when did you realize that Amoco
23 was not going to participate in the drilling of any
24 well in this area or in Section 20?

25 A. It was based on a conversation. I believe

1 it was last week that they had indicated they will not
2 participate in the well, and they basically stated
3 that.

4 Q. When did you receive notice of their forced
5 pooling application?

6 A. Of Exxon's forced pooling application?

7 Q. Yes, sir.

8 A. It was November 14.

9 Q. Since that time, I take it that you have
10 tried to negotiate since November 14 to resolve the
11 impasse?

12 A. Yes.

13 Q. Exxon has testified that they have no
14 problem with your AFE or with your operating a well in
15 Section 20, as long as it's in the east half of
16 Section 20?

17 A. That's correct.

18 Q. Is that correct?

19 A. Yes.

20 Q. They don't want you to be the operator of a
21 well to be dedicated to the north half of Section 20?

22 A. That would be my assumption, yes.

23 Q. The only reason for that objection, I take
24 it, is that it doesn't conform with an east half
25 proration unit?

1 A. That's correct.

2 Q. Assuming an order is issued by the Oil
3 Conservation Division granting your application, Mr.
4 Tower, would Santa Fe desire to be named the operator
5 under that order?

6 A. Yes, we would. I might go back to your
7 other question, if I can --

8 Q. Okay.

9 A. You mentioned that was the only reason. We
10 did have conversations, the 14th, myself, with Exxon's
11 representative, Brockman King, where we noted that
12 they had designated as operator. We know we called
13 them to ask about them force-pooling us, and we
14 received a notification and asked them for
15 justification under OCD rules.

16 At that time I requested -- I asked them if
17 it was their intent to participate in this act, that
18 they were force-pooling us, and their response was,
19 again, that that not necessarily was the case; that
20 they may still farm out. I wanted to point out there
21 was no intent, it appeared to be, to drill a well out
22 there at the time they force-pooled us.

23 Q. Even if they force-pooled you, you were not
24 sure whether they would still drill a well?

25 A. Even in the east half.

1 Q. Is that your feeling, or what is that?

2 A. That's just my feeling.

3 Q. Let's go on to Exhibits 3 and 4 and have
4 you identify those, Mr. Tower.

5 A. Exhibit 3 is a copy of the certification,
6 return receipts, which accompanied Santa Fe's initial
7 proposal letter -- or excuse me -- the initial
8 application for the 320-acre north-half spacing unit.

9 Q. And Exhibit No. 4?

10 A. Exhibit No. 4 is, likewise, the return
11 receipt that accompanied the application notice for
12 the 640-acre compulsory pooling hearing.

13 Q. Exhibit No. 5, Mr. Tower, what is that?

14 A. Exhibit No. 5 is a well cost estimate for
15 the drilling of the well, which is entitled the
16 "Escalante Fed Com 20 #1," which is the well that
17 Santa Fe desires to drill in Section 20.

18 Q. Mr. Tower, you have at the top of that AFE,
19 you've crossed out "footage," and you've added in lieu
20 of that "11,100." Can you explain that?

21 A. Yes. And also I'll point out that the
22 location has changed. Initially, when Santa Fe
23 proposed the drilling of the well, we had not been out
24 on the ground or surveyed any locations.

25 Q. When was that, Mr. Tower?

1 A. This was in late August, early September
2 that we sent this out.

3 Q. Why did you change the footage on the well?

4 A. Okay. Subsequent to that, when we actually
5 went out, and we staked several locations and realized
6 that the topography was quite difficult, and we chose
7 a more acceptable location, which is noted in the
8 application, and basically went up approximately 200
9 feet up on the top of the canyon, or whatever you
10 might call it out there, and due to that, it increased
11 the drilling because we're getting to a more
12 acceptable location and a higher point.

13 Q. How did the change in footage affect the
14 bottom line of the AFE?

15 A. According to our engineer who prepared
16 this, it does not affect it because he had built in
17 some contingencies that would cover his costs.

18 Q. What's your actual footage location that
19 you're now proposing?

20 A. It's 1,980 feet -- or excuse me -- yes,
21 1,980 feet from the north line and 1,980 feet from the
22 west line of Section 20.

23 Q. Is that an orthodox location, Mr. Tower?

24 A. Yes, it is.

25 Q. Your application also asks for a

1 nonstandard proration unit. Can you explain why that
2 is a nonstandard proration unit?

3 A. Yes. As Exxon testified earlier, this
4 section does not contain 640 acres. It contains
5 roughly 600 total acres in the full section.

6 Q. And for that reason alone, you're asking
7 for a nonstandard proration unit?

8 A. That is correct.

9 Q. Mr. Tower, what kind of drilling rates are
10 you proposing for drilling a well or overhead charges
11 for drilling a well and a completed well?

12 A. We are agreeable to the same rates, and we
13 also used the Ernst & Whinney guidelines. Therefore,
14 we would propose the same rates that Exxon did
15 earlier.

16 Q. You have no problem with those rates?

17 A. No, sir. And let me elaborate; we also
18 would propose if they were to join this well to use
19 the 1982 A.A.P.L. Form Operating Agreement.

20 Q. That's the same operating agreement that
21 they propose?

22 A. Yes, it is.

23 Q. Mr. Tower, do you have anything further to
24 add to your testimony?

25 A. Not at this point.

1 MR. PADILLA: Mr. Examiner, we tender
2 Exhibits 1 through 5.

3 HEARING EXAMINER: Are there any
4 objections?

5 MR. KELLAHIN: No objections.

6 HEARING EXAMINER: Exhibits 1 through 5
7 will be admitted into evidence at this time.

8 Mr. Kellahin, your witness.

9 CROSS-EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Mr. Tower, why did you call this well a
12 wildcat well?

13 A. Basically, there is no offsetting producing
14 wells at this time in the immediate area. Now, that
15 was a loosely -- it may have been a loosely-defined
16 term. Generally, there are no direct offsets, with
17 the exception of the well to the northwest in Section
18 18.

19 Q. Do you participate on behalf of your
20 company, Mr. Tower, in the BLM sales of federal lease
21 acreage for New Mexico?

22 A. Yes, I do.

23 Q. Were you employed by your company in that
24 capacity during the period of time in which the
25 acreage in Section 20 came up for federal lease bid?

1 A. Yes, I was.

2 Q. Did Santa Fe or you on behalf of Santa Fe
3 or Santa Fe through some other personnel bid on the
4 acreage in Section 20 when it came up for federal
5 lease sale?

6 A. We bid on a number of sales in this area.
7 I don't recall specifically on this tract whether we
8 did or did not. We have bid in the area, but I just
9 don't recall.

10 Q. What type of bid prices are you paying in
11 this particular area of those federal lease sales?

12 A. It has varied. In Section 21, we purchased
13 our acreage for \$67 an acre, also in the west half.
14 In the east half, we paid \$106 an acre. Acreage in
15 the area, the bid with Siete in Section 16 went for
16 \$312 an acre. So it's greatly varied depending on
17 each sale and the competition.

18 Q. Mr. King has testified that Exxon acquired
19 its interest from the federal lease sale at \$45 an
20 acre, and that would be significantly less than what
21 your company has been paying for other similar acreage
22 in the area. Your company could have acquired the
23 interest apart from forced pooling by simply bidding a
24 comparable price at the sale, could it not?

25 A. That's very true.

1 Q. But you chose not to do so?

2 A. At the time, I don't believe, leading back
3 a little bit to the geology which will be presented --
4 I don't believe we had our geological picture complete
5 at the time, and a lot of times when the sales come
6 up, depending on what justification we have internally
7 depends on what price we can pay.

8 Q. Did you have your geologic picture in place
9 on October 26, 1989, when you wrote your letter to Mr.
10 King?

11 A. Yes, we did.

12 Q. And that geologic picture hasn't changed
13 today, has it?

14 A. No.

15 Q. There's nothing contained in your letter to
16 Mr. King of Exxon in your letter of October 26 that
17 says that you're rejecting the east-half proration
18 unit for geologic reasons, does it?

19 A. No.

20 Q. What is Santa Fe's relationship with Siete,
21 Mr. Tower?

22 A. Strictly informal at this point concerning
23 Section 20 and Section 16. We have no written
24 agreements, just an understanding that we would both
25 like to see a well drilled out in this area.

1 Q. Is part of that understanding the creation
2 of a working interest unit in the areas described in
3 the letter that Siete sent Exxon on January 26, 1989?

4 A. Yes, it is. The initial approach, which is
5 quite common in southeast New Mexico to share the risk
6 with wells, is to pool the acreage so that all parties
7 affected share the risk and also derive mutual
8 benefits.

9 Q. Did your company participate with Siete in
10 the selection of the type of acreage and the area to
11 be included in that proposed working interest unit?

12 A. No, we did not.

13 Q. Did you voice to Siete any objection that
14 they had included as a proposal only the east half of
15 Section 20?

16 A. No, we did not. Let me elaborate on that.
17 Initially, when discussions came up to drill a well in
18 the area, and Exxon indicated they would not support
19 -- trim their acreage or support the well, our
20 management felt that we would prefer to move the
21 location and, therefore, get in an area that we could
22 justify drilling just as well and --

23 Q. Excuse me. I misunderstood what you were
24 saying. At the time you were making this decision,
25 was that after Siete and you had agreed to drill the

1 well in the south half of Section 16?

2 A. Start over. Run that question by me.

3 Q. Yes, sir, I've lost track of the sequence.

4 What we were talking about is the formation of a
5 working interest unit that included part of 20, the
6 Section 16 interest, and other acreage. The Siete
7 letter of January 89 proposed also a well in the
8 southeast quarter of 16.

9 A. Right.

10 Q. Was that well ever staked?

11 A. I believe it was.

12 Q. And was it permitted?

13 A. That I don't know. I am not sure if
14 they've permitted at this point or not. They may
15 have.

16 Q. Thereafter, then, there was discussions
17 about obtaining a spacing unit in Section 20, and the
18 various letters from Santa Fe and Siete were sent to
19 Exxon and Amoco to get acreage in Section 20; right?

20 A. That's correct.

21 Q. At some point in time then after Siete is
22 working on a well in the south half of 16, a decision
23 is made to abort that effort and pick a well location
24 in Section 20 where your company only has 37 acres.
25 Why did you do that?

1 A. It goes back to the work interest unit
2 situation and the risk involved. Our position is that
3 if a well is going to be drilled in this area to test
4 the idea, that all parties are going to derive
5 benefit, which Exxon will in Section 16, we will,
6 obviously, Siete will -- it ought to be drilled at a
7 location where the parties mutually share the risk and
8 contribute acreage to do so.

9 So the decision was made, since Exxon would
10 not indicate they would drill a well or cooperate, we
11 felt that we could drill the well to test our idea in
12 this Section 20. And we had acreage there, mutual
13 acreage, and it would force the parties to get
14 together and share the risk.

15 Q. What percentage would Santa Fe have of a
16 spacing unit on 320 acres for a well drilled in the
17 southwest quarter of Section 16?

18 A. For a 320-acre lay-down or east half?

19 Q. Pick one, either one.

20 A. Based on having the conversation with
21 Amoco, and assuming that they perform on that, we have
22 acreage, we would have --

23 Q. We're talking the wrong section, I'm
24 sorry. Section 16.

25 A. Section 16.

1 Q. Section 16. If the well in the southwest
2 quarter had been drilled by Siete, what would your
3 company's interest have been in the well?

4 A. If an agreement was made, which it was not
5 in the original working interest proposal, it would
6 have been approximately 30 percent. If Amoco wouldn't
7 join, which it probably wouldn't, it probably would
8 have been about a third, assuming Exxon and Siete
9 participated with their acreage in the working
10 interest.

11 Q. The greatest possible percentage of the
12 working interest then in the southwest of 16 was what
13 percentage for your company?

14 A. Assuming all parties joined, it would have
15 been approximately -- and assuming Amoco would not
16 join, it would be approximately 33 percent, or a
17 third, as I mentioned.

18 Q. And that well would have been a high risk,
19 deep gas Morrow well in the area, wouldn't it?

20 A. Yes.

21 Q. And those are risky things, aren't they?

22 A. Yes, they are.

23 Q. And your company made the decision to
24 minimize that risk by moving it in the section that's
25 diagonally offset 16, move it over in 20 where you

1 have only 6 percent interest in the section, and
2 thereby spreading that risk to the working interest
3 owners in Section 20?

4 A. Part of the reason is to spread the risk,
5 but the facts would indicate Amoco is going to
6 contribute its acreage to Santa Fe. So Santa Fe's
7 interest will go up considerably. If you did it on a
8 640-acre basis, collectively with the Amoco acreage,
9 we would have 56 percent.

10 Q. That hasn't happened yet?

11 A. That has not happened, but verbally they've
12 told us they would commit the acreage.

13 Q. And companies change their minds, don't
14 they?

15 A. That's true.

16 Q. Mr. Tower, when we look at Section 20,
17 you've described the northwest of the northeast as
18 having 40 acres. My map shows 37 plus.

19 A. We, based on federal abstract company and
20 also independent land broker that acquired this for
21 Santa Fe have advised us that that is a 40-acre tract.

22 Q. I believe you. I'm not going to quibble
23 with you. We'll call it 40 acres.

24 Let's talk about Santa Fe Energy Operating
25 Partnership. You are a landman for -- your second

1 page of your letter of October 26 identifies you as a
2 landman for the managing general partner of this
3 limited partnership, and the managing general partner
4 is something called Santa Fe Pacific Exploration
5 Company?

6 A. That is correct.

7 Q. In terms of the way this limited
8 partnership is structured, are there any other general
9 partners other than Santa Fe Pacific Exploration
10 Company?

11 A. I don't believe so. However, I am not the
12 expert and legal counsel when that was put together.
13 I will point out, I believe this issue has come up in
14 a recent case that Mr. Kellahin handled for Bass
15 Enterprises where these issues were presented to the
16 Commission as to the entities involved with Santa Fe
17 and were satisfied at that time.

18 So I would basically state I'm not
19 qualified to answer all the questions, if that's the
20 where you're heading.

21 Q. You're anticipating the questions I'm going
22 to ask you because of what I asked Mr. Green several
23 months ago; correct?

24 A. Yes.

25 Q. Let's see how you do. To the best of your

1 knowledge, Santa Fe Pacific Exploration Company is the
2 only general partner, as best you know it?

3 A. As best I know it, I believe that's
4 correct.

5 Q. The limited partner aspect of this entity,
6 is that limited partnerships that are generated by
7 selling public offerings of limited partnership
8 interest?

9 A. There are units sold on the stock exchange,
10 I believe, and, there again, I'm not a securities
11 expert, but if I understand the question correctly, I
12 believe that's correct. Generally, Santa Fe or its
13 managing general partner controls, I believe, 80
14 percent. Only 20 percent were offered in units that
15 were sold to the public.

16 Q. In terms of the applicant then, the
17 applicant for operations of the spacing unit for
18 whatever Mr. Stogner decides to do with this case, is,
19 in fact, Santa Fe Energy Operating Partners Limited?

20 A. Yes, sir.

21 Q. Do you know whether or not the general
22 managing partner contributes any funds into that
23 partnership?

24 A. Well, I'm not sure -- I'm not sure of the
25 answer to that, no.

1 Q. Do you know whether or not the managing
2 general partner receives a fee or a payment regardless
3 of the success of the well drilled on behalf of the
4 partnership?

5 A. That I'm not sure of either. I can tell
6 you, as Gary Green testified in that previous case,
7 our decisions are not made like what in the industry
8 you would call a "funny money" outfit. Our decisions
9 are based on economics and rate of returns, and we do
10 not drill wells just to spend other people's money.

11 We have stated economic parameters, and if
12 we don't meet those, we don't proceed.

13 Q. As I understand it, for this particular
14 area then, the initial exploration well to be drilled
15 in either Section 16 or 20 is going to be moved to
16 Section 20 because that diminishes the financial risk
17 of your company by moving that risk on to Amoco and
18 Exxon?

19 A. As I stated earlier, the reason for
20 drilling Section 20 is to spread that risk, to test
21 the idea in the area that it will derive benefit for
22 all parties involved. We feel it's more acceptable to
23 drill it in 20 for that reason.

24 Q. Let me ask you about your October 26
25 letter, Mr. Tower. The second full paragraph, you

1 express to Exxon some of the difficulty you're having
2 in matching up a topographically acceptable location
3 within the section, and you indicate after
4 approximately four locations have been staked. Can
5 you tell me what the footages were for those four
6 locations?

7 A. I can, or if I could, our geological
8 witness is going to present those as well as the
9 topography, if it's okay with the OCD first.

10 Q. Let's talk in terms of what you have
11 presented then. The first choice of a location within
12 the section was one that would have been on the Santa
13 Fe 40-acre tract in the northwest of the northeast?

14 A. That is correct.

15 Q. The first proposal then based upon this
16 geologic interpretation was one 660 from the north
17 line and 1,980 from the east line of Section 20?

18 A. That is correct.

19 Q. And the reasons that you express to Mr.
20 King of Exxon for opposing or rejecting his proposal
21 for an east-half orientation to that spacing unit
22 were, first of all, that the Division had told you
23 that, because of your proximity to Rock Tank, you're
24 going to have to consider 640 gas spacing?

25 A. That is correct.

1 Q. In having those discussions with the
2 personnel at the Oil Conservation Division, did you
3 personally participate in any of those discussions?

4 A. Yes, I did.

5 Q. Did you offer to present to the Division
6 any of the geology that your technical people had
7 developed in terms of defining what pool the Section
8 ought to be dedicated to?

9 A. No, we did not. We discussed, and as our
10 geological witness will testify, he was involved in
11 the conversation -- there were discussions over the
12 phone concerning geology in his maps. However, they
13 never requested us to present it. We did not offer.
14 If they had requested, we would have been happy to
15 comply.

16 Q. With whom did you have those discussions,
17 Mr. Tower?

18 A. There were several discussions with Darrell
19 Moore.

20 Q. In the district office?

21 A. OCD district office. And there was a
22 subsequent conversation just trying to clarify how to
23 file the application with Mr. Stogner.

24 Q. When we look at the conversations with
25 Armando Lopez at the BLM, Mr. Lopez is down in

1 Roswell, I believe, is he not?

2 A. He is.

3 Q. Your letter states that regardless of what
4 the Oil Commission determines is appropriate in terms
5 of spacing or in orientations of spacing units, if
6 they adopt 320 gas spacing, you're telling Mr. King
7 that the BLM is, in fact, going to determine what is
8 best for everybody because of what they think is best
9 for them?

10 A. That was not the intent, if it's read that
11 way, as far as in my letter.

12 Basically, what I was trying to state is,
13 as I testified earlier, the problems with the federal
14 government allowing communitization of the federal
15 lease where you can develop it separately. Basically
16 what I was trying to communicate here with this letter
17 is, it is our feeling and based on our conversation
18 with Armando Lopez and other circumstances, that the
19 federal government would not allow us to split that
20 lease. Therefore, it was our conclusion that an
21 east-half proration unit is not possible; so,
22 therefore, proceed with the north half.

23 Q. Did you submit to Mr. Lopez any geologic
24 argument or presentation with regards to any issue
25 geologically about the orientation of the spacing

1 units?

2 A. No, we did not. We talked in generalities
3 as to the orientation of geology. And as he stated to
4 me, if there's any location possible, regardless of
5 the economic merit, whatever, geologically, or within
6 reason, on the south half, they would not allow
7 communitization.

8 Q. Right. Their preference is, for example,
9 to take the south half, which is one federal lease --

10 A. Right.

11 Q. -- and if there's a drillable location in
12 there, it's their first preference as the lessor to
13 have the well on the federal lease?

14 A. That's correct.

15 Q. That's always their position, isn't it?

16 A. As far as I know.

17 Q. And the CFR regulation provides for
18 exceptions and variances from that if there are sound
19 geologic reasons for doing otherwise, aren't there?

20 A. That is correct.

21 Q. You're going to have to communitize that
22 federal lease in the north half if Mr. Stogner
23 approves the north half anyway, aren't you?

24 A. Yes.

25 Q. You're going to have to put it together

1 with that 40-acre fee tract, aren't you?

2 A. That is correct.

3 Q. I assume that Santa Fe Energy Operating
4 Partnership would drill the well even if Mr. Stogner
5 determines that the appropriate orientation and
6 spacing is 320 in east half?

7 A. I think we would proceed. If the OCD
8 determines that's the proper way to do it, Santa Fe
9 would proceed. However, you know, we've come up here
10 based on the fact they've told us we cannot do that.

11 Q. I understand, Mr. Tower, but my point is,
12 you're not going to pull the plug and walk away if Mr.
13 Stogner says, based upon his analysis of the geology,
14 he's resolved it, and we win; and you're not just
15 going to walk away?

16 A. No. As I've testified earlier, our goal in
17 this area is get a well drilled, and we'd like to see
18 companies participate with us and share the risk. And
19 if they're not going to do it, basically we would like
20 to derive some of the benefits for taking the risk.

21 Q. When we look at the offer Exxon made to
22 you, they, in fact, offered to you this 75-25 deal,
23 did they not, provided it was limited to an east half,
24 wasn't it?

25 A. When you say 75-25, you mean just an

1 override, no back-in? Could you elaborate?

2 Q. Sure. Mr. King's letter of October 19th,
3 in his first paragraph that's numbered, he said he
4 would offer you a 75 percent net revenue lease, and
5 then Exxon's going to reserve an override equal to the
6 difference between 25 percent and the lease burdens.

7 A. That's correct.

8 Q. That's 75-25 to me, I guess. Don't worry
9 about the back-in. 75-25 split. Your letter says,
10 that's okay with us except we want 640.

11 A. That was based on the fact that the OCD
12 told us we had to do it on 640. Therefore, these
13 issues in our mind were moot. Granted, those are more
14 favorable terms, and we would accept those. However,
15 we think the issue is irrelevant as to the terms there
16 because we were advised we had to do it on 640 acres,
17 and we offered more acceptable terms to do it, if they
18 wanted to farm out on the spacing we believed to be
19 intact or in existence.

20 Q. And that's why we're here today, isn't it?

21 So I'm clear on this point, Mr. Tower, am I
22 correct in understanding that the first location
23 picked by Santa Fe was the location 660 for from the
24 north line, 1,980 from the east line, which would have
25 put you in the northwest of the northeast?

1 A. That is correct.

2 Q. That is because, after examining the
3 topography after picking that as the geological
4 location, you find you can't fit it on the terrain out
5 there, and you had to move it?

6 A. That is correct.

7 Q. And you've now moved it. There were
8 several stakings, but the current proposal is to put
9 it 1,980 from the north and west lines of the section?

10 A. That is correct.

11 Q. Have you determined for yourself to your
12 own satisfaction that that is a drillable surface
13 location?

14 A. Upon advice which will be presented by our
15 geological testimony and our engineering staff and a
16 registered surveyor on the ground, yes.

17 Q. That's not something you directly do?

18 A. No.

19 MR. KELLAHIN: Thank you, Mr. Examiner.

20 HEARING EXAMINER: Thank you, Mr.

21 Kellahin.

22 Mr. Padilla, any redirect?

23 MR. PADILLA: I don't think I have any.

24 HEARING EXAMINER: I have no questions of

25 Mr. Tower.

1 Let's take a lunch recess and reconvene at
2 1:45.

3 (Thereupon, the lunch recess was held.)

4 HEARING EXAMINER: This hearing will come
5 to order. Mr. Padilla?

6 MR. PADILLA: Mr. Examiner, we'll call Bob
7 Seiler at this time.

8 ROBERT C. SEILER,
9 the witness herein, after having been first duly sworn
10 upon his oath, was examined and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. PADILLA:

13 Q. Mr. Seiler, would you please state your
14 full name.

15 A. Robert C. Seiler.

16 Q. Where do you live?

17 A. Midland, Texas.

18 Q. Do you work for Santa Fe Energy Operating
19 Partners?

20 A. Yes, I do.

21 Q. What do you do for them?

22 A. My current title is senior staff geologist.

23 Q. Have you testified before the Oil
24 Conservation Division as a petroleum geologist in the
25 past?

1 A. Yes, I have.

2 Q. Have you had your credentials accepted as a
3 matter of record as an expert petroleum geologist?

4 A. Yes, I have.

5 Q. Have you made a study of the geological
6 matters involved in the application filed by Santa Fe
7 Energy Operating Partners in this case?

8 A. Yes, sir.

9 Q. And you're familiar with the Morrow
10 formation and the relevant pool rules in the area?

11 A. I am.

12 MR. PADILLA: Mr. Examiner, we tender Mr.
13 Seiler as an expert petroleum geologist.

14 HEARING EXAMINER: Are there any
15 objections?

16 MR. KELLAHIN: No objections.

17 HEARING EXAMINER: Mr. Seiler is so
18 qualified.

19 Q. (BY MR. PADILLA) Mr. Seiler, let's start
20 off and have you give us a general description of the
21 geology as you know it and you've studied in the area
22 of the application, or Section 20, specifically.

23 A. We interpret Section 20 of 23 South, 25
24 East, as being in an area of Morrow deposition,
25 basically as described earlier by Exxon, with primary

1 fluvial drainage northwest to southeast, generally,
2 for the most part, in fluvial channels. We do
3 recognize that there can be bars developed, but for
4 the most part they are fluvial channels with a
5 northwest-southeast orientation.

6 We recognize and agree generally with the
7 division of the Upper Morrow and the Lower Morrow as
8 presented and find no real fault. I would have to say
9 we generally agree with most aspects or all aspects as
10 presented.

11 Q. Let's go on to what we have marked as
12 Exhibit No. 6 and have you tell us what that is and
13 what it contains.

14 A. Our Exhibit No. 6 is a structure map that
15 is drawn on top of the Morrow marker that is
16 identified on the subsequent cross-section we will
17 introduce as Exhibit No. 8, that being what we call
18 the top of Morrow Sequence 2.

19 It shows generally an east-southeast dip at
20 the rate of 2 to 3 degrees, being a couple hundred
21 feet or so per mile, slight undulations and nosing,
22 and does show the flank of a portion of the Rock Tank
23 Field that was referred to earlier.

24 Also shown on the map is the producing
25 wells in the area, and they're color-coded to the key

1 at the bottom of the page, Strawn, Atoka in one well,
2 and Morrow in the remainder.

3 We also show the 640-acre proration unit
4 that comprises Section 20, which we now understand is
5 something short of 640 acres, actually closer to 599
6 or 600. And highlighted is our Santa Fe 40 acres in
7 the northwest of the northeast of Section 20.

8 Shown is a red square, which would be the
9 proposed location that we came to the Commission with,
10 assuming the 640-acre spacing, the guidelines that we
11 understood were in force for this section, and that's
12 the location we picked for that.

13 And then also shown by a dashed line is a
14 portion of a cross-section that is indexed that I made
15 reference to in Exhibit No. 8.

16 Q. Let's go on now to Exhibit No. 7, Mr.
17 Seiler, and have you identify that for the record.

18 A. I'd like to kind of handle 7 and 8
19 together, if I could.

20 Q. Okay.

21 A. Seven is a net porosity isopach. Reference
22 was made earlier to a sand isolith. I use the names
23 synonymously. If we say net porosity isopach, it's
24 just semantics whether you call it that or an isolith.

25 Q. You're referring to an exhibit of Exxon?

1 A. A similar map was presented for them and
2 called a sand isolith. I have one; I'm calling it a
3 sand net porosity isopach. They're basically the same
4 map, being that the thickness is represented is of the
5 sandstone and not of the total interval. That map
6 then is what we call Sequence 2.

7 Sequence 2 is highlighted on cross-section
8 A-A', which we will introduce or call Exhibit No. 8.
9 Sequence 2 is defined, or actually the Morrow here is
10 defined or separated into several sequences in
11 general. And generally they are clastic intervals
12 that are, we feel, basically individual events or
13 units separated by shale markers representing a
14 deepening of the basin, if you will, or a marine
15 transgression. And then the subsequent regression
16 would be comprised of the sequence up to the top of
17 the next transgression.

18 Such then we have Sequence 2 highlighted in
19 yellow as defined in the three logs on that
20 cross-section with the marine shale at the base,
21 generally coursing upward sand sequence up to the
22 overlying shale, which would then mark the base of
23 Sequence 3. And we've done that. Labeled them such
24 as Sequence 1, 2, 3, and 4, starting with, we refer to
25 as the top of the Lower Morrow, actually as defined in

1 the Rock Tank Pool definitions. That marker is used
2 to separate the Upper Morrow and the Lower Morrow.

3 We start then from there and work our way
4 up and go Sequence 1, 2, 3 and 4, in what would all be
5 in the Rock Tank -- equivalent to the Rock Tank Upper
6 Morrow. And then we label the Lower Morrow sequence
7 separately L1, 2, 3, 4, and 5, just for explanation.

8 The tie then to the map, what we see is a
9 net porosity isopach of the sands in Sequence 2. And
10 what's demonstrated then is a portion of a low bait
11 sand body; geometry is what I would refer to as low
12 bait. And we visualize this sand body as being a
13 result of sand being brought to this area in a fluvial
14 system from the northwest, again, relying back on this
15 northwest to southeast orientation that's been
16 referred to, with the sand being thickest in a well in
17 Section 15 with 51 feet indicated.

18 We also see an arm of the sand, if you
19 will, extending down to the southwest in the direction
20 of Baldridge Canyon. And we visualize that as one of
21 two things. The preferred interpretation is that that
22 may be a crevice splay of some sort off of this low
23 bait deposit. That is, the sand was brought in from
24 the northwest, and generally we have a deltaic, low
25 bait-oriented geometry, oriented basically, running a

1 thickening in an east-west pattern until it reaches
2 the eastern extremity of the mapped area where it
3 tends to be strewn out north-south. And we think that
4 may have been the end of the lobe and distributed then
5 by marine currents.

6 And then the arm that extends down to the
7 southwest would be a crevice splay or a distributary
8 off this deltaic system, depositing correlative sand
9 into those wells down in Section 31.

10 The significance of the well in 31 is that
11 that well, as indicated on the map, did produce gas
12 out of this mid-Morrow Sequence 2. And we then take
13 the elevation of that perforation in that well and
14 call that our lowest known gas.

15 Q. Why is that relevant to this presentation?

16 A. Well, we want to establish that there are
17 numerous sands, as you can tell from the number of
18 sequences that we've identified -- there are numerous
19 sands in here. And previous testimony indicated that
20 certainly the Rock Tank pays, the Upper Morrow pay and
21 the Lower Morrow pay were very important to this
22 prospect, and, indeed, we agree with that, but, in
23 addition, other zones in here have potential.

24 In this particular Sequence, 2 did produce
25 in that well, the south half of Section 31 on DST and

1 then subsequently through perforations. Therefore, we
2 use that line as lowest known gas. That is the
3 elevation point taken or just from lined, if you will,
4 from the structure map.

5 There is another line across the sand
6 body. It's colored blue, and it's labeled "HKW,"
7 which is for highest known water, and that is the
8 highest tested water that we see in this Sequence 2
9 sand that was tested in the well in the northeast of
10 Section 22. This particular well showed excellent
11 reservoir quality, having 9,512 feet of salt water
12 recovery on DST, and indicates very, very good
13 reservoir quality thereby.

14 We take the elevation then of the highest
15 perforation or the highest point of that test, I
16 should say --

17 Q. What test?

18 A. The test in Section 22, the one with the
19 9,512 feet of water. We take the highest porous foot
20 in the sand in that well and label that highest known
21 water, which has a subsea of minus 7,231 feet.

22 Q. In terms of the drilling prospect in the
23 north half of Section 20, as you propose, what does
24 this presentation show?

25 A. I'm sorry. I lost your question.

1 Q. What does this presentation show in terms
2 of your proposed location?

3 A. I'm sorry. Thank you.

4 It shows then that the section in question
5 here, Section 20, is prospective in that it lies above
6 the water zone in this -- the highest known water
7 that's observed in this particular interval, and it
8 shows that the sand thick trends along, if you will,
9 the north half of Section 20, and shows then also that
10 the east half of the section has the best chance for
11 sand in this zone.

12 Q. In terms of stand-up or lay-down units, how
13 would you evaluate your geology with regard to
14 configuration of the proration units?

15 A. We would like to say that we prefer
16 lay-downs as opposed to stand-ups for the reason that
17 we would then have two locations in Section 20. If
18 possible, we would like to drill a well in the
19 northeast of Section 20, as well as the southeast of
20 Section 20.

21 Q. Mr. Seiler, does that assume that 640-acre
22 spacing is not applicable?

23 A. I should stand corrected. Thank you. If
24 it were to go to 320's, that's how we would do it. If
25 it was 640's, then we would like to drill in the north

1 half.

2 Q. In terms of future development, should you
3 drill your first well on 640 acres, would drilling, as
4 you propose, also help in the further development of
5 Section 20, should that become necessary in the
6 future?

7 A. I'm not sure I understand. Would we have
8 another well in the south then, in the southeast?

9 Q. Yes, sir.

10 A. Yes, that's correct, if it were being
11 deemed that a second well was warranted if we're on
12 640, or if indeed it goes to 320's. We see the north
13 half supporting a well and the south half supporting a
14 well.

15 Q. In terms of the actual location of the
16 well, geologically, where would you prefer to have
17 that well located?

18 A. If there were a viable drill site in the
19 northeast quarter, and by our determination, and we'll
20 have another exhibit explaining this, we don't believe
21 there is a viable location in the northeast quarter;
22 however, if there were one, we would like to drill in
23 the northeast quarter. There's no question about it.

24 Q. Mr. Seiler, your geology doesn't show the
25 fault that Mr. Tate's geology shows, and I'm referring

1 to Mr. Tate's second fault. In regard to that, can
2 you tell us why you have not shown a fault on your
3 geology?

4 A. Indeed, our Exhibit 6 is mapped on a
5 slightly different horizon, but they are really quite
6 close together. There are two ways to interpret the
7 data as relates to close in to Section 20.

8 The magnitude of the fault, the easterly
9 most fault that we made reference to earlier is by --
10 I think it was stated at 75 to 100 feet, that it is
11 possible that there could be a fault through there in
12 that area. However, it easily can be contoured such
13 that you don't have to honor a fault there. And it
14 was just our interpretation that a fault was not
15 necessary for the data control that we have.

16 I should elaborate on that, however. We're
17 not saying that the absence of that fault necessarily
18 precludes the fact that there could be a separate
19 reservoir down in Section 20 from the wells to the
20 north. Our interpretation is, indeed it probably is
21 different. It would have to be, I think, if our own
22 map does not show the nosing that was postulated
23 before. There has to be a stratigraphic separation or
24 a permeability barrier.

25 It appears as though Exxon, Mr. Tate's

1 interpretation, he's utilized a fault. That certainly
2 is a viable way to answer it. Another way would be to
3 show discontinuity in the sands up to Rock Tank or
4 structural separation by another structure. So there
5 are several ways to handle it. We chose not to have
6 the fault in there.

7 Q. Do you have any evidence that that fault
8 actually could exist as drawn in Mr. Tate's exhibits?

9 A. I think it's pretty reasonable from what I
10 see in the Baldridge Canyon area where he has pretty
11 good control. It looks reasonable there.

12 As to the north, I'm not sure. The well
13 control is not that close in. Order of magnitude, I
14 think maybe for sure it's probably a 75 to 100 foot
15 fault in Baldridge Canyon. I would question whether
16 it would perhaps extend all the way to the north.
17 It's possible.

18 Q. You feel he doesn't have enough well
19 control to paint the picture that way?

20 A. I can see what he has done. He's
21 documented it with the study of Baldridge draining to
22 the south and then sees a similar fault that might
23 connect with that to the north. He could very well
24 connect that, and it would be a reasonable
25 interpretation. I think it could be done either way

1 from the data that's shown, with or without that
2 fault.

3 Q. In terms of 640-acre spacing, Mr. Seiler,
4 is it your opinion that Section 20 can be developed on
5 640-acre spacing?

6 A. My own personal preference is I would
7 rather think it could possibly be done better with a
8 320, from what's been presented. That's my own
9 personal preference.

10 The reason that we came forward with the
11 640, and as you are aware, we filed 320 to begin with,
12 we thought that's the way it was. We were told that
13 the state rules said that this had to be 640. Then we
14 simply tried to comply with the rules and came forward
15 with a proposal on 640. But if it goes to 320, and
16 there can be two wells drilled in there, I think it
17 could more than likely be better done with the two
18 wells, personally, my personal opinion.

19 Q. And those two wells would be located where?

20 A. If possible, I would like to drill one in
21 the northeast quarter, and as I've stated, I don't
22 think one can be done there because there's not a
23 viable surface location in our evaluation.

24 So I would drill one then in the
25 approximate area of the red square as shown on the

1 various displays, being 1,980 from the north and the
2 west, and then the second well would be drilled then
3 down in the southeast quarter at a suitable surface
4 location. And from the topographic maps, it appears
5 one can be achieved down there, where it cannot be
6 done in the northeast quarter.

7 Q. Mr. Seiler, are you ready to go on now to
8 Exhibit No. 9?

9 A. I think so.

10 Q. Let's go to that and have you identify that
11 for the record, please.

12 A. Exhibit No. 9 is almost identical to the
13 exhibit that was presented by Exxon; I forgot their
14 number, but I think it's pronounced Carnero Peak
15 Quadrangle, 7-1/2 minute USGS topo map, 1985
16 provisional edition. It centers over Section 20, and
17 our map shows several dots there. They are various
18 locations, labeled 1 through 5.

19 Reference was made earlier to that 660
20 location out of the north and east that was initially
21 proposed by Exxon. That would be dot No. 5.

22 There are also the other four remaining
23 ones. Three of those have actually been staked on the
24 ground by Santa Fe, being numbers 2, 3, and 4. We
25 have, in addition, staked a well that's not identified

1 on this map, which would be basically in the center of
2 that 40-acre tract, being 1,980 from the east line and
3 660 from the north line.

4 That was our first attempt to try and find
5 a drilling location. I didn't bother putting that one
6 on here, but we have staked that one also.

7 What we have determined is that, of the
8 three that we currently now have staked that we
9 believe deserve consideration, we have Numbers 2, 3,
10 and 4.

11 2 and 4 are down in the bottom of the
12 canyon. In fact, No. 2 is extremely close to Exxon's
13 El location. I think it's 265 feet further from the
14 east line, No. 2 is; that is, relative to No. El. And
15 33 feet further from the north line would be our No.
16 2. So we're almost in the same place.

17 We staked those on the ground, and it was
18 done using a professional engineering firm. And we
19 were on the ground with our personnel and also with a
20 member of the Bureau of Land Management, and we staked
21 the three that day, Numbers 2, 3, and 4.

22 Q. When you say "that day," approximately what
23 time was that, or do you know?

24 A. Just a second, please. They were done on
25 October -- well, the plats are labeled two on October

1 11 and one on October 10, 1989. This apparently took
2 two days.

3 We were on the ground, as I mentioned, with
4 the BLM, and I think it should be pointed out that
5 Mike Burton with our company, who is a drilling
6 engineer, was told by Mr. Barry Hunt with the BLM that
7 his evaluation was that he preferred that Santa Fe
8 give serious consideration to the well out of the
9 canyon, or the location out of the canyon, Well No.
10 3.

11 We have since determined with our company
12 then that a well down in the canyon is not viable for
13 two primary reasons. One of them is, and foremost, is
14 for safety's sake. That canyon, as you can tell from
15 our display, the highlighted blue lines are lines of
16 the geologic term "ephemeral streams" or "intermittent
17 streams," but they have a very large drainage area.
18 And when it rains out there, all of that stuff from
19 the west is funneled down into that canyon, which
20 would be extremely close to any location there that
21 we've looked at, being Santa Fe's 2 and 4, as well as
22 El that Exxon has proposed.

23 We don't like any of those because of the
24 safety factor of a flash flood. There are huge
25 boulders down in the bottom of this thing in various

1 locations, indicating the force of which water runs
2 through this canyon during storms. And maybe even if
3 it did not happen during the actual drilling of this
4 location, subsequent production facility, given a
5 successful well, would be in jeopardy at that location
6 at any time when a storm was to come through.

7 I don't have the exact information or exact
8 date, but I understand, three years ago, there was a
9 tremendous flood through this canyon. It was really
10 awesome how that water ripped through there, and we
11 would not drill a well at the bottom of that canyon.

12 The second reason then -- the first being
13 safety. The second reason is the additional cost of
14 building a road to get down in there, whichever way
15 you came. The actual site itself, the location may be
16 somewhat easier, as testified to by Exxon's witness.
17 We don't deny that, and that it would be easier to
18 push the gravel around down there than have to work
19 the top, but to build a road down to that point would
20 be very expensive and costly and perhaps even
21 dangerous with the amount of slope we're talking
22 about.

23 I should point out, there's almost 200 feet
24 of topographic relief from Numbers 4 back to Numbers 1
25 and 3 on the map. That's a very steep canyon.

1 Q. How about your No. 1 location, what's that?

2 A. No. 1 location is the location as indicated
3 on the right side of the map, 1,980 out of the north
4 and west. That has not been staked; however, that was
5 the location that we chose to conform to the
6 640-acre. We tried to best fit -- minimum, of course,
7 would have been 1650/1650, but topography such as it
8 was, it's kind of a compromise. We went 1,980/1,980
9 to get on the flat surface at the top -- rim of the
10 canyon.

11 That corresponds to the red box on the
12 other displays too, I should point out, displays --
13 Exhibits 6 and 7.

14 Q. Do you know, Mr. Seiler, what the substance
15 of -- did you testify concerning the BLM's position on
16 your well site?

17 A. Yes, I think I did that. Mr. Barry Hunt
18 did not like our staked locations down in the bottom
19 of the canyon, Nos. 2 and 4, and preferred if we were
20 going to drill in Section 20 that we consider
21 something on the top of the rim. And that day it was
22 the third one, No. 3. He preferred No. 3 over the
23 others.

24 Q. Do you know whether there are any other
25 wells in this general area that are located at the

1 bottom of this water course?

2 A. I do not know of any down in the canyon.

3 MR. PADILLA: Mr. Examiner, I believe
4 that's all I have of Mr. Seiler, and we offer Exhibits
5 6 through 9 at this time.

6 HEARING EXAMINER: Exhibits 6 through 9
7 will be admitted into evidence. Thank you, Mr.
8 Padilla.

9 Mr. Kellahin, your witness.

10 MR. KELLAHIN: Thank you, Mr. Examiner.

11 CROSS-EXAMINATION

12 BY MR. KELLAHIN:

13 Q. Let me examine with you, Mr. Seiler, the
14 information available for determination of whether or
15 not Section 20 can or should or ought to be part of
16 the Rock Tank Upper or Lower Morrow Pool.

17 I am unable to look at either your isopach
18 or your structure map and draw a direct correlation
19 between Section 20 and the producing wells in the Rock
20 Tank Morrow. And because I can't find them on your
21 display, perhaps we could use Mr. Tate's exhibits.

22 Am I correct in understanding that you and
23 he are in basic agreement about the way he has drawn
24 his structure map within the confines of the Rock Tank
25 Morrow as we move into Section 20?

1 A. Yes, sir. The only question, if I might
2 interject, is the presence of that fault, and as I
3 indicated, I think it could be drawn with or without
4 that data, but basically we agree.

5 Q. For purposes of the question, assume the
6 second fault line in here that separates out Section
7 18 from 20 is not here.

8 A. Yes, sir.

9 Q. Looking at your structure map, I think
10 there is a similar shape to the way you've drawn your
11 structure lines through Section 20, although there's
12 about a 100-foot difference in where you have
13 positioned the contour lines?

14 A. Yes, sir.

15 Q. I think he has the minus 6,900-foot line
16 farther to the northwest in the section than you have
17 placed that line?

18 A. Yes, sir. I think it can be explained that
19 we're not exactly on the same mapping horizon.

20 Q. And therein lies the difference?

21 A. Yes, sir. We're basically about 100 foot
22 apart.

23 Q. Have you examined or were you aware before
24 today of the information available on the well in
25 Section 5 that Mr. Tate discussed this morning?

1 A. Specifically, being? I was aware of the
2 well but --

3 Q. Its structural position?

4 A. Yes, sir.

5 Q. And the tests that had been made on that
6 well, and the fact that it was not gas-producing but
7 wet?

8 A. Yes, sir.

9 Q. Would you agree with Mr. Tate then that you
10 can use a similar analysis of the structure on the
11 data known from this well in Section 5 and determine
12 for yourself geologically that Section 20 should not
13 be part of the Rock Tank Morrow because, in order to
14 be part of it, it's going to be wet?

15 A. Yes, sir, I believe I even indicated that
16 in my testimony. I think that's correct.

17 Q. When we look at your structure map within
18 the confines of the display and look at the structural
19 relationship between Section 20 and Section 16, and at
20 the same time look at Exhibit 7, which is your mapping
21 of the reservoir thickness, the Siete location in the
22 southwest quarter of 16 would have given you
23 comparable structural position to Santa Fe's proposed
24 location, and yet significantly increase the thickness
25 at least with the potential for the Morrow for you in

1 the Section 16 location; would it not?

2 A. Yes, sir.

3 Q. The interpretation you've made of the
4 structure in the isopach are dated October 27th.

5 Prior to that date, did you have a different opinion
6 of the structure or the thickness of the reservoir?

7 A. Actually, yes -- I'm sorry. I did not have
8 a different interpretation, no, sir. No, I did not.

9 Q. How long have you held this interpretation
10 of the structure in the reservoir thickness and shape?

11 A. Basically for the first time I became aware
12 of this area, and I would say that's probably been
13 over the last five to six months since I made my
14 initial studies here.

15 Q. Within the last five or six months, has
16 there been any further drilling or other geologic
17 information by which you could modify or add to the
18 information by which you could refine your displays?

19 A. No, sir.

20 Q. Am I also correct in reaching the
21 conclusion that if I compare your and Mr. Tate's
22 structure maps, and if I look at his Exhibit 7, which
23 is the Lower Morrow sand isolith --

24 A. I see it behind you.

25 Q. And look at your Middle Morrow Sequence No.

1 2 -- both geologists will show that the best location
2 in Section 20 is going to be at a point somewhere in
3 the northeast quarter?

4 A. I found that very interesting. You're
5 correct. And they're different zones even. They're
6 both Morrow, but they're different zones, yes, sir.

7 Q. Describe for me so it's clear the
8 differences between what you have mapped as the Middle
9 Morrow Sequence No. 2 versus what Mr. Tate has mapped
10 when he has looked at the Lower Morrow sandstone?

11 A. The Lower Morrow?

12 Q. Yes, sir.

13 A. If you could refer to my cross-section
14 A-A', my Sequence 2 lies above the marker that is
15 colored green. That is the marker that is typically
16 used in the area to separate the Upper Morrow and the
17 Lower Morrow, and I believe corresponds with -- it's
18 the same marker that Mr. Tate uses as the base of his
19 middle Morrow shale.

20 Q. I've lost track of it.

21 A. I'm sorry. I'll back up. On the
22 cross-section of the A-A' --

23 Q. Yes, sir, I see the shaded yellow area.
24 The top line represents the separation between
25 Sections 3 and 2?

1 A. Sequence 3 and 2, yes, sir.

2 Q. The lower yellow line represents the
3 separation between Sequence 1 and 2?

4 A. Yes, sir.

5 Q. Tell me how I mark your display so I know
6 the interval that Mr. Tate has mapped.

7 A. I believe it's going to be, if you look in
8 the left-hand well, being the Monsanto Rock Tank No.
9 2, there is a Lower Morrow sand that produces, and
10 it's indeed labeled "Rock Tank Pay with Seven Wells,
11 47.16 Bcf at Sequence L1." I believe his work in
12 there is basically on Sequence L1 which produces in
13 the Rock Tank Field and Catclaw Draw Field to the
14 north.

15 Q. That will be what corresponds to Mr. Tate's
16 Lower Morrow Sandstone?

17 A. Yes, sir, I believe that's correct.

18 Q. Looking at your cross-section then, what
19 corresponding interval would I find what he has mapped
20 as the Upper Morrow Sandstone?

21 A. It will be an Upper Morrow, and I think
22 it's the equivalent of the Sequence 4, which is
23 labeled "Productive of the Rock Tank Field."

24 Q. Have you mapped either Sequence 1, as
25 you've identified -- and it's not Sequence 1; it's the

1 Rock Tank Field Catclaw Draw?

2 A. Ll.

3 Q. Have you mapped that separate and apart to
4 show what that shape and size looks like?

5 A. I did not.

6 Q. Have you separately mapped Sequence 4 to
7 see whether or not you have agreement with what Mr.
8 Tate mapped?

9 A. I have not made a separate map of that
10 either, no, sir.

11 Q. You've confined your focus of investigation
12 for the Morrow then on this Sequence 2 interval?

13 A. That's correct.

14 Q. In looking at both the structure map and
15 the isopach, I don't find all the wells on the
16 cross-section shown on either of those displays.

17 A. That's correct, sir. The little index map
18 on the bottom of the stratigraphic cross-section A-A'
19 indicates the position of the missing wells from those
20 maps. There is a well up there in Section 6 of 23 25
21 that is the first well, being the Monsanto Rock Tank
22 No. 2 Well, and then it also identifies the other
23 missing well, which is in Township 23 South, 26 East
24 at A' on that little index map.

25 Q. When we look at the cross-section then, the

1 Monsanto Rock Tank No. 2, in Sequence 2 interval,
2 there is a small portion that is indicated with a red
3 shading on the log?

4 A. I'm sorry. Could you locate that again for
5 me? I was looking at the map for a second.

6 Q. Yes. The well on the far left?

7 A. Yes, sir.

8 Q. In the A position, the Monsanto A Tank No.
9 2 Well?

10 A. Yes.

11 Q. Look in the portion of the log that is
12 shaded between the yellow lines that represents the
13 Sequence 2?

14 A. Yes, sir.

15 Q. Within that section, there is a portion of
16 the log that is shaded in red?

17 A. Yes, sir.

18 Q. What is that to represent?

19 A. That was an evaluation of the net porosity
20 interval. In other words, there's more sand there
21 that is porous, and the red highlights that portion of
22 the sand that is recognized as being porous.

23 Q. Is it the red portion of the log that is
24 mapped on Exhibit No. 7, or is it the total interval
25 within the confines of the lines that shows Sequence

1 2?

2 A. It's the red portion. This is a porosity
3 map, sir.

4 Q. All right. As we move then from left to
5 right, if I were to reconstruct your cross-section and
6 go due east of your cross-section to Section 5 and
7 pick up that Section 5 well, which is on Mr. Tate's
8 exhibit -- it's this Rock Tank No. 3 Well in Section
9 5?

10 A. Yes, sir.

11 Q. If we had picked up that well, do you see
12 any porosity as you've indicated in Sequence 2 for
13 that well?

14 A. It doesn't appear on these plats, but I
15 believe it did have porosity, yes.

16 Q. But that well was tested wet in all the
17 Morrow zones within that well bore, was it not?

18 A. I don't believe it tested all the zones,
19 sir. I don't know that all the Sequence 2 was tested
20 there. If I may consult a larger map here?

21 Q. Sure.

22 A. I stand corrected. That well had sand
23 thickness but no porosity. It was a zero in this
24 zone. It was tight in this zone.

25 Q. So the relationship then of the Monsanto

1 No. 3 Well in Section 5 in this zone of net porosity
2 within Sequence No. 2, in a well that is structurally
3 lower than the well you've investigated, is tight?

4 A. That well -- it's tight in Sequence 2 in
5 that well, yes, sir.

6 Q. The well we've just examined, the Rock Tank
7 Monsanto No. 2 Well, is this well in Section 6, was
8 it?

9 A. Wasn't it Type Log No. 5.

10 Q. So this is No. 3 in Section 5?

11 A. Yes, sir.

12 Q. Where's the No. 2 that's on your
13 cross-section? That's in Section 6, isn't it? It's
14 this one (indicated)?

15 A. Correct, sir.

16 Q. So as we move downstructure in the Rock
17 Tank Morrow, moving toward Section 20 and maintaining
18 that structural position, we'll find a well
19 downstructure within Sequence 2 that doesn't display
20 porosity as you've defined it in the well in Section
21 6?

22 A. Section 6 did have six feet of porosity, as
23 indicated, the little red mark on there, but there
24 were no tests in this zone. So that may be marginally
25 thin, and, obviously, I think there was -- there are

1 better zones. It's one of the main producers in Rock
2 Tank. They're producing down in that L1 sequence,
3 that Lower Morrow, and it's a very good well.

4 Q. When we look at the next well on the
5 sequence, it's the Hanagan Petroleum North Horseshoe
6 Bend Well in Section 22?

7 A. Yes, sir.

8 Q. In mapping your Sequence No. 2, that well,
9 you've mapped it to show 31 feet of net pay?

10 A. Yes, sir.

11 Q. When we look at the drill stem information
12 that is shown below the log on that well --

13 A. Yes, sir.

14 Q. What does that tell you about the well?

15 A. That Section 22 well had a DST that
16 included zone Sequence 2 and developed -- rather
17 recovered 9,100 -- 9,512 feet of salt water, which
18 tells us that that zone has excellent permeability,
19 although wet at that location.

20 Q. No gas?

21 A. No, sir.

22 Q. When we look at your interpretation of the
23 structure in the isopach and trying to locate and
24 minimize the risk involved in drilling these
25 high-risk, deep-gas wells, geologically it would be

1 less risky to drill the southwest quarter of 16 than
2 it would be for any of the locations within Section
3 20, would it not?

4 A. One would expect a somewhat thicker sand
5 there, yes, sir.

6 Q. Have you studied the relationship of these
7 various sand sequences to such an extent in this
8 immediate area to tell me or to rank for me the order
9 of importance in which you actually get commercial
10 producing gas from these various sequences?

11 A. Basically, the approach that we use, there
12 are a couple of things that one can do, and the people
13 that discovered Rock Tank were drilling down
14 structures and found excellent sand quality, and
15 that's certainly a way to find good gas reserves.

16 When a basin becomes a little more mature,
17 and the nice structures are no longer available, one
18 is forced to look for stratigraphic accumulations.
19 And one of the key ways to do that is to find a well
20 that had good reservoir quality and try to position
21 another well updip from that location. And that's
22 what we've tried to do with this prospect.

23 Q. When you talked about the orientation of
24 the spacing units, you told Mr. Padilla that it would
25 be your reference to have a north half and then a

1 south half?

2 A. Yes, sir.

3 Q. That your choice was for the second well to
4 be located in the southeast quarter?

5 A. Correct.

6 Q. And that's simply because, looking at your
7 Sequence 2 isopach, that is the quarter section that
8 has the next greater thickness value within the
9 section in the northeast quarter?

10 A. That's correct, plus I was somewhat happy
11 to see the same relationship hold for Mr. Tate's work
12 for the other two zones that I had not investigated in
13 any kind of detail, and that the southeast quarter
14 looked quite good for sand thickness.

15 Q. And you remember Mr. Tate's testimony that
16 he was concerned about the significant structural
17 displacement between the northwest quarter and the
18 southeast quarter?

19 A. Yes, sir.

20 Q. And, therefore, he proposed as the second
21 well location, a well location in the northwest
22 quarter?

23 A. I remember him saying that, yes, sir.

24 Q. And that in fact is what you've done, isn't
25 it?

1 A. It's amazing in cross-section 20 how close
2 our structure maps are. We have virtually identical
3 relationship. And I would have to agree that, yes,
4 the southeast quarter would be downdip from the
5 northwest quarter.

6 But also I would have to state, looking at
7 the three maps, now, both our Sequence 2 and the two
8 maps that Mr. Tate has provided, the greater sand
9 thickness can be found in the southeast quarter, and
10 one has to make a value judgment then. And I would
11 like to go -- as he stated, one of the first things
12 you've got to do is, you've got to have thick sand in
13 the Morrow, and I think the southeast quarter has good
14 merit, and I'll take my chances with the structure.

15 Q. Despite believing the southeast quarter has
16 good value, as the alternative well location, though,
17 because you're precluded from drilling in the
18 northeast quarter, you didn't go to the southeast; you
19 went to the northwest, didn't you?

20 A. Yes, sir. Of the two, I'd like to do the
21 northeast quarter if I could.

22 Q. And your second-best choice was the
23 northwest because that's where you went?

24 A. If you will, I got pushed over there
25 because I couldn't do any in the northeast quarter.

1 That's where we had to go to find a viable surface
2 location.

3 The other alternative, I might interject,
4 which hasn't been mentioned yet, would be to drill a
5 deviated hole from the surface location here in the
6 northeast. We don't want to do that with a well of
7 this rank nature in that it would just drive up the
8 expenses on a risk well. So we're trying to
9 compromise with the set of circumstances that we're
10 given in Section 20.

11 Q. When we look at the topography, there's a
12 couple of locations that you haven't discussed for us
13 within the area shaded on Exhibit No. 9, the original
14 staked location. The first choice, if I will, on the
15 geology, was 660 from the north line and 1,980 from
16 the east line?

17 A. Yes, sir.

18 Q. And I believe that we've been told that
19 that was not a suitable surface location?

20 A. That's correct. If I could offer an
21 explanation, that was our holdings in there, and so we
22 went to our drilling department and said, "We
23 recognize there may be a problem with the topography.
24 Would you tell us, is there a viable location there?"

25 And our approach to determine that is to

1 get an engineering firm in there to actually stake the
2 well and make that determination for us with our
3 drilling department present. That was done, and it
4 was deemed as indicated. It's in a bad place. We
5 cannot drill there.

6 Q. Mr. Hill for Exxon testified earlier this
7 morning that he had examined another staked location
8 where it was 100 feet farther south. It was at 760
9 from the north line and 1,980 from the east line, and
10 that, in his opinion, that was a viable surface
11 location.

12 Did you examine with Mr. Barry Hunt of the
13 BLM as to whether or not the 760-1,980 location was an
14 acceptable subsurface location for the BLM?

15 A. My understanding is that Mr. Hunt's
16 comments had to do with being down in the canyon as
17 opposed to being up out of the canyon. And of those
18 two that were done that day in his presence, being
19 Nos. 2 and 4 on our display, he didn't like either of
20 those.

21 The alternate that you just made reference
22 to is at approximately the same elevation down in the
23 canyon. So I would just infer he wouldn't have liked
24 that one either, but I don't know that he rendered
25 opinion specifically to that one or not.

1 Q. To make sure I'm clear on what your
2 understanding of Mr. Hunt's position is, he would not
3 recommend drilling a well down in the canyon area
4 where there was some opportunity for water to flow
5 through there?

6 A. Correct.

7 Q. Mr. Hill has testified that he has found a
8 rancher's or a livestock windmill within the immediate
9 vicinity of the well that he thinks is acceptable at
10 the location he's proposed. Did you see that windmill
11 down there?

12 A. I personally wasn't there; so I don't
13 know. And I don't know if the other guys saw it or
14 not. Sorry.

15 Q. Has it been communicated to you that Mr.
16 Hunt simply would not recommend drilling down in the
17 base of the canyon area, or that he simply on behalf
18 of the BLM would absolutely preclude the drilling of
19 the well at that point?

20 A. The way it was phrased to me was that he
21 did not prefer those two locations down in the bottom
22 of the canyon; that if we were to consider something
23 in the north half of 20, that he preferred No. 3,
24 which was done that day, which was up at the top on
25 the canyon rim. I don't know if that meant he would

1 stop us or preclude us sufficiently. Whatever he
2 meant by "preferred." I'm not sure.

3 Q. Doesn't that disappoint you as a geologist
4 that the optimum best location for the whole section
5 is up in the northeast quarter, and for some type of
6 topographical constraint suggested by one of the BLM
7 personnel, that we're not going to take our best shot
8 geologically on a high risk well?

9 A. Well, sir, it's kind of a two-part question
10 there. Yes, I'm disappointed we can't do it in the
11 northwest quarter. Geologically, I would love to do
12 it there. I wish we could have done the 660. I think
13 that would have been fine, geologically speaking, but
14 there's more than the BLM's comment here. There is
15 the safety aspect that our company has made, and I
16 have to honor that.

17 Q. Have you made the judgment then within
18 Santa Fe not to pursue the locations that you think
19 are the optimum geologic locations?

20 A. That I think are the optimum?

21 Q. Yes.

22 A. Yes, sir. We cannot drill a vertical hole
23 in the northeast quarter. And as stated, that would
24 be the optimum quarter section to go to, and we're not
25 going to do it.

1 Q. Have you had your engineers make a study of
2 the potential for directional drilling to the bottom
3 hole location that you as a geologist are seeking to
4 get?

5 A. We didn't actually put the pencil to it.
6 It did come up in discussion, and we decided that with
7 a rank wildcat and with the potential of not all
8 parties that would gain from a well drilled in here
9 participating, that we would have to watch our costs,
10 and we would undoubtedly be carrying a major part of
11 the risk money here, and therefore want to drill as
12 vertically as possible.

13 Q. If Santa Fe is so safety conscious, why
14 would they go ahead and stake four locations in the
15 bottom of this drainage area and then ask the BLM to
16 come out and look at them if you already had decided
17 they weren't suitable for you?

18 A. It wasn't done quite in that sequence. The
19 BLM came with us in the staking of the last two, if
20 you will, Numbers 2 and 4, and that day or two days,
21 as the dates indicate, indicated their opinion.

22 So it's not that we went and spent the
23 money to do it. After we heard this, it was like it
24 all evolved at pretty much the same time. I leaned on
25 them pretty good to try to do what they could in the

1 northeast quarter. I wanted it there, but we can't do
2 it.

3 Q. Did Mr. Hunt pass judgment and reject then
4 the alternate staked location, 760 from the north line
5 and 1,980 from the east line?

6 A. As I indicated, he made reference to those
7 in the bottom of the canyon. Whether he specifically
8 spoke to that stake, I don't know. He did make that
9 reference to Numbers 2 and 4 in the bottom of the
10 canyon.

11 MR. KELLAHIN: May I take just a minute,
12 Mr. Examiner.

13 HEARING EXAMINER: Mr. Kellahin, you may.
14 We'll go off the record for a while.

15 (Thereupon, a recess was taken.)

16 HEARING EXAMINER: Back on the record. Mr.
17 Kellahin?

18 Q. (BY MR. KELLAHIN) Let me conclude, Mr.
19 Seiler, with one follow-up question on your company's
20 position with regards to the use of the surface in the
21 northeast quarter. Let's have you identify for us the
22 Exxon-proposed location which comes very close, I
23 think, to your No. 2 point, doesn't it, on this topo
24 map?

25 A. Yes, sir. Slightly east and just very

1 lightly, a little bit north of No. 2.

2 Q. I'm sorry we don't have Mr. Hunt here to
3 talk about the topography and what's going on at the
4 surface, and I understand you've never been out there?

5 A. That's correct.

6 Q. If the BLM were to support either your
7 location No. 2 or the Exxon's proposed location 1,500
8 feet from the north line and 1,100 feet from the east
9 line, would you recommend to your management that they
10 drill the best then geologic location in the northeast
11 quarter, using that surface location?

12 A. In light of the other objections, I could
13 no longer do that. I would have concern, again, for
14 the safety and then for the cost of building a road
15 down to No. 2 or No. 4 or E1. So I no longer can make
16 that recommendation, given those factors.

17 Q. When we look at the various access into a
18 well location in the northeast quarter, there are
19 existing roads, if you will, into that northeast
20 quarter?

21 A. Yes, sir. They are indicated on the map as
22 broken. I assume they're four-wheel drive-type roads,
23 but I don't know that for sure.

24 Q. Do you as a geologist customarily recommend
25 to your management issues about topography and surface

1 safety for the drilling of locations?

2 A. Certainly they have to be considered,
3 especially in a case like this. This is kind of
4 rare. I did a lot of my work in Oklahoma, and we
5 don't have these.

6 MR. KELLAHIN: Thank you, Mr. Examiner.

7 HEARING EXAMINER: Thank you, Mr.

8 Kellahin.

9 Mr. Padilla, any redirect?

10 MR. PADILLA: No redirect.

11 HEARING EXAMINER: I have no questions for
12 this witness at this time. You may be excused.

13 Mr. Kellahin, Mr. Padilla, do you have any
14 further evidence to present?

15 MR. KELLAHIN: No, sir.

16 MR. PADILLA: No, sir.

17 HEARING EXAMINER: I assume we're ready for
18 closing arguments, closing statements. Mr. Padilla,
19 I'll let you go first, and Mr. Kellahin, I'll let you
20 follow.

21 MR. PADILLA: Mr. Examiner, I think it
22 comes down to where this well is going to be located
23 based on 640-acre spacing or 320-acre spacing. I
24 think it comes down to who's done their homework on
25 the actual surface location. There's no disagreement

1 on the geology as to where is the best place to put
2 this well. Ideally, geologically, the well should be
3 located probably 660 from the northeast corner of the
4 Section 20.

5 We don't have a lot of conflict with Exxon
6 in terms of geology in terms of actually even whether
7 there ought to be 640-acre spacing or not. However,
8 going back to the surface location and configuration
9 of lay-down proration units or 640-acre spacing, it
10 comes down to where is that initial well going to be.

11 If that initial well cannot be drilled in
12 the bottom of the canyon, then we have to choose a
13 location that is on the rim somewhere where it is more
14 reasonable, it is more feasible to drill. That
15 location has to be where Santa Fe proposes to drill
16 the well, or it will actually make the location in the
17 northwest quarter. Mr. Seiler has testified that he
18 is satisfied with the initial location there.

19 In addition, I think the geological
20 witnesses have all testified, with the exception of
21 Mr. Tate -- Mr. Tate still considers structure as
22 being somewhat important, but his primary concern has
23 been with sand thickness, and so has Mr. Seiler's.

24 If you're going to configure spacing wells
25 out there, the ideal locations are going to be in the

1 northeast quarter, in the southeast quarter. For that
2 reason, it appears the lay-down units are supported by
3 both Exxon and Santa Fe in the geologic
4 presentations.

5 Obviously, if the first well is into the
6 northwest quarter, as proposed by Santa Fe
7 Exploration, then the next well ought to be in the
8 southeast quarter. And the only configuration you can
9 really have at that point, from a geologic standpoint,
10 is north-half, south-half proration units.

11 If we're on 640-acre spacing, a well
12 drilled at the location of Santa Fe does not preclude
13 the further development of the Section 20 by drilling
14 another well in the south half of the southeast
15 quarter of Section 20.

16 There's very little conflict, I guess, in
17 summary, of the geologic evidence and sand thickness
18 and where this well ought to be. There really is no
19 support for a well being in the southwest quarter of
20 Section 20 at all. So that throws that quarter
21 section out. And if a well cannot be drilled in the
22 northeast quarter, unless you spend more money and do
23 it by directional drilling, then we're bound pretty
24 much by having north-half/south-half proration units.

25 I don't want to spend too much time in

1 closing arguments. I think the facts are fairly
2 self-evident, and I think that, again, it finally
3 comes down to the surface location.

4 Santa Fe has done its homework in this
5 regard. Exxon was out there last Monday. And Exxon
6 was out there last Monday simply because, at the last
7 meeting that Exxon had, they discovered that they
8 maybe better go out and check where they were going to
9 drill their well. The 660 location obviously had not
10 been investigated at all as far as surface topography
11 by Exxon, and we're here under the same basis, or I
12 can analogize this thing to the application that was
13 made for compulsory pooling by Exxon.

14 I think at this point it's sort of moot to
15 be talking about notice, but Santa Fe really didn't
16 receive this thing until November 14. And you come
17 here, which Santa Fe should have had 20-day notice
18 under the rules. I can say here, we've prepared,
19 we've come, and we've argued, and we can waive notice
20 at this point, but, technically, I guess we could make
21 an argument about that.

22 We come down to Exxon's Exhibit No. 9 and
23 that fully supports our position on sand thickness.
24 Structure is still a matter of interpretation. If we
25 had reason, should the Division decide that this

1 Section 20 ought to be developed on 320-acre spacing,
2 then the lay-down units are certainly much more
3 appropriate just on sand thickness alone.

4 Mr. Duncan's testimony this morning pretty
5 much indicated, if the well is drilled in the
6 northeast quarter in the north half somewhere, that
7 it's actually going to drain that entire north half on
8 320 or even on 640-acre spacing.

9 So while drainage is -- some evidence of
10 drainage has been presented, certainly the north half
11 is going to be drained adequately by a well in the
12 northeast quarter or at Santa Fe's proposed location.

13 HEARING EXAMINER: Thank you, Mr. Padilla.
14 Mr. Kellahin?

15 MR. KELLAHIN: Thank you, Mr. Examiner. I
16 apologize for not doing this awhile ago. I have
17 omitted to submit a copy of a C-101 from the Division
18 files, and I'd like the opportunity to reopen and
19 submit Exhibit No. 13, Mr. Examiner, if I might have
20 your permission.

21 Exhibit No. 13 is the approved permit for
22 drilling the Siete well in the southwest quarter of
23 Section 16, and it has relevance to us in this case.
24 It's the one we have discussed as being the first
25 alternative location for the Siete well. I'd like to

1 submit this.

2 HEARING EXAMINER: Are there any
3 objections, Mr. Padilla?

4 MR. PADILLA: Well, the only objection I
5 have is its actual relevance. This hearing doesn't
6 consider and shouldn't consider the drilling of the
7 Siete well. That's not the one that Santa Fe is
8 seeking to drill in this case at all.

9 MR. KELLAHIN: Mr. Examiner, it's relevant
10 in two respects. One, Mr. Williams, who was discussed
11 here today as being the supervisor in the district
12 office who has suggested that the well in 20 be part
13 of the Rock Tank Morrow, in fact, approved on a
14 wildcat basis, the south half of Section 16 for the
15 Siete well which is in the adjoining section, and the
16 Division district office has made the judgment in that
17 case that this well should have been part of the Rock
18 Tank Morrow.

19 We think it's relevant for that purpose to
20 show you that Sections 16 and 20 really represent
21 wildcat Morrow tests in this area and are not
22 associated with the Rock Tank Morrow 640 gas spacing
23 pool.

24 HEARING EXAMINER: Mr. Padilla, any --

25 MR. PADILLA: Nothing further.

1 HEARING EXAMINER: I'm going to go ahead
2 and admit Exxon's Exhibit No. 13 into evidence at this
3 point. We did discuss it, and I feel it does have a
4 little bit of relevance in this particular matter.

5 Mr. Kellahin?

6 MR. KELLAHIN: Thank you, Mr. Examiner.

7 This is a frustrating case, Mr. Examiner.
8 I feel like Alice in Wonderland, and I've just gone
9 down the hole with the bunny rabbit. All the things
10 that Santa Fe has raised to us as reasons why we can't
11 do what is agreed upon between the two geologists as
12 the best geologic solution for the development of the
13 section has some bureaucratic excuse as to why we
14 ought to not do what is appropriate. It galls me no
15 end to have surface excuses being made to justify why
16 you're picking locations when you're trying to
17 minimize the risk in deep gas Morrow wells.

18 I think it's inappropriate, and I don't
19 think this Division should or needs to make decisions
20 based upon the topography or what the Bureau of Land
21 Management's rules and regulations say about whether
22 or not they'll communitize a section.

23 Fundamentally, we have agreement between
24 the geologists, but I take issue with Mr. Seiler's
25 geology, very quickly. He has isopached a Sequence 2

1 interval that is not productive. It has no importance
2 to your decision. He has shown you a zone that in the
3 Hanagan well, for which he has the greatest net
4 porosity shown on his display, the greatest area of
5 red shading, it's been tested. It's a wet well. And
6 yet he maps that as one of the key wells by which he's
7 demonstrating the reservoir thickness as he maps it
8 through the section.

9 It's critical to make good judgments about
10 deep gas wells in these high-risk areas. But the
11 first judgment you need to make is the separation of
12 Rock Tank from Section 20. Mr. Seiler has concurred
13 with Mr. Tate, and we believe that you procedurally
14 have a sufficient vehicle by which you can exclude
15 Section 20 from the operations of the 640 spacing in
16 Rock Tank.

17 The only petroleum engineer to testify
18 before you today is Mr. Duncan, and he has told you
19 that in the Rock Tank Morrow, his analysis of the
20 average drainage areas of those wells are
21 significantly less than 640, and that we're nearing
22 depletion of that reservoir. Geologically, you have
23 had shown to you that the closest producing wells in
24 Rock Tank in relationship to Section 20 are wet.

25 I think you can, with confidence, exclude

1 Section 20 from the Rock Tank Morrow even though it
2 has physical surface proximity to that pool. It does
3 us no good to space this on 640 gas spacing. That's
4 not the conventional, standard, typical gas spacing
5 for the Morrow. 640 gas spacing is an anomaly. It
6 happened a long time ago. And I don't see any reason
7 justified by the facts of this case to perpetuate that
8 kind of mistake. Nobody wants it, and we think we've
9 given you an opportunity not to require it here. All
10 of our witnesses have indicated to you that there's
11 potential for waste if you set up development of
12 Section 20 with simply one well.

13 Mr. Duncan has testified before you that
14 there are sufficient gas reserves as he's calculated
15 based upon Mr. Tate's mapping of the geology to
16 support the development of two wells. We need two
17 wells in this section. The question is how to orient
18 the spacing units and how to locate those wells.

19 Isn't it interesting that the party that
20 was prepared to be involved with Siete in the
21 southwest quarter of 16 at a viable, approved surface
22 location for which has the greatest reservoir values
23 in terms of thickness and structure under Mr. Seiler's
24 geologic interpretation is the one that Santa Fe
25 decided to abandon when they made the judgment to

1 reduce the risk involved in drilling the well in the
2 area. And they sought to share that risk by moving it
3 over into Section 20 where they only had 40 acres out
4 of 600.

5 And they want to do it capitalizing on the
6 procedures of compulsory pooling. They want to beat
7 us up with a compulsory pooling stick when they are a
8 minority player in here. And they have the gall to
9 come in here and tell us how we ought to space and
10 orient these wells, hiding behind some topographic
11 exception or exclusion that precludes the drilling of
12 the well at the best location.

13 The only competent witness that has been
14 before you today is Mr. Hill, and he is the only
15 witness that testified before you that has been on the
16 surface. His job and one of the primary functions he
17 serves for Exxon is to find suitable topographic
18 locations for wells. He's found one. He says it
19 works fine. He says the rancher has got a windmill
20 down in the area. That thing is working, functioning,
21 and it exists, despite Mr. Seiler's concern about
22 humongous boulders rolling down every 100 years in the
23 magic flood. I don't think that's a justification.
24 It's simply an excuse.

25 If they truly believed what they're telling

1 us, then where is their drilling engineer to come in
2 here and demonstrate to us that they cannot
3 directionally drill from the closest suitable surface
4 location to the bottom hole location that Mr. Seiler
5 tells us this well ought to be?

6 If we are the majority interest owner in
7 this section, I think we ought to have the choice
8 about the orientation of the spacing unit at the very
9 least. If that orientation is a north half on 320
10 spacing, it doesn't matter to Santa Fe. They have no
11 interest in the south half. If it's an east-half
12 orientation, they have no interest in the west half.

13 We are the ones stuck with trying to
14 develop the second well. And the orientation they
15 have selected for topographical excuses and
16 bureaucratic reasoning behind the BLM judgment on how
17 to preserve their lease position precludes us the
18 opportunity for a second well, and we think that's
19 unfair.

20 The best geology tells you that Mr. Tate
21 has thoroughly and carefully analyzed this area, and
22 the trade-off between structure and reservoir
23 thickness gives him the best locations in the
24 northeast quarter and the northwest.

25 And despite what Mr. Seiler has told you,

1 I think he's made the same judgment. His first
2 location was the northeast quarter. When he found
3 that the -- he says he can't get a topographical
4 location for a surface in the northeast, he didn't go
5 to the southeast. He went to the northwest. His
6 second best location is our second best location. We
7 want the well in the northwest for the second well.
8 He's in agreement with us.

9 We don't deny Santa Fe the right, even as a
10 6 percent owner in the section, to force pool us. We
11 think it's premature. We think it's highly risky not
12 to do seismic and develop this in a prudent, careful
13 way, but they've got the right to pool us. You can
14 have 1 percent interest, and you know you can get
15 pooled. You can pool the rest of them.

16 We're not seeking operations from them. We
17 don't dispute any of the other operations, details,
18 the cost or anything else, but we say we ought to have
19 a majority say in the orientation of the spacing unit
20 so that we're not locked out of what we think is the
21 best spacing unit for the section well, and that's all
22 we're asking you to do for us, and we think it's fair
23 and reasonable, and we would appreciate such an
24 order. Thank you.

25 HEARING EXAMINER: Thank you, Mr.

1 Kellahin. I'm going to request both of you submit me
2 a rough draft order.

3 Also, this brings up another question, and
4 now is a good time to maybe bring it up. I wish I had
5 my legal counsel here to help me out on what I'm
6 asking for, but perhaps was there some sort of
7 precedents in the past in this state in the
8 conservation rules as it applies to the multiple use
9 on federal lands, and the rules and regulations that
10 are put out by the BLM on the surface use, and how
11 well location requirements deal with the conservation
12 of oil and gas. And just like what you mentioned,
13 perhaps they could affect the oil and gas reserves in
14 which is not but to drill in the best location, and
15 not getting the best reserves.

16 I'd like some sort of a brief from both you
17 gentlemen answering this question. What's happened in
18 the past? How should we go on this? This has been a
19 big concern. I've dealt with four BLM offices, two
20 Forest Service offices, one Bureau of Reclamation
21 office, and two Indian reservations on this same
22 question, day in and day out. I'd like something from
23 you gentlemen from the industry standpoint on this
24 particular issue.

25 MR. KELLAHIN: We'll do our best, Mr.

1 Examiner.

2 MR. PADILLA: I can't say that we'll be
3 able to reach any resolution, Mr. Examiner, as to what
4 decision the BLM will take on a pre-emption or that
5 kind of right, but, certainly, we'll respond to that
6 request.

7 HEARING EXAMINER: Gentlemen, everybody,
8 get ready, it's coming. Nobody has talked about the
9 archeology. I didn't ask it today.

10 MR. PADILLA: I can tell you --

11 HEARING EXAMINER: What you guys are
12 looking at here in Carlsbad, if this was in
13 Farmington, believe me --

14 MR. PADILLA: I had a client have two drill
15 sites rejected based on archeology within the last
16 month.

17 HEARING EXAMINER: In the Carlsbad area?

18 MR. PADILLA: In the Farmington area.

19 HEARING EXAMINER: What you guys are seeing
20 in Carlsbad is a deep heart compared to what this was
21 if it were in Farmington.

22 Gentlemen, I appreciate it. If there's
23 nothing further --

24 MR. PADILLA: Before you close the record,
25 Mr. Examiner, I want to make sure this last exhibit

1 was Exhibit 12 or 13.

2 MR. KELLAHIN: Exhibit 13, I think; 12 was
3 the notice we sent. 13 was the Exxon exhibit.

4 HEARING EXAMINER: If there's nothing
5 further, Case Nos. 9832 and 9797 will both be taken
6 under advisement. I'm going to leave the record open
7 pending the rough draft orders and the briefs.

8 What kind of a time period, gentlemen?
9 Middle of next month?

10 MR. KELLAHIN: That would be helpful to
11 me. It would take me that long to put it together.
12 Middle of December.

13 HEARING EXAMINER: Okay.

14 MR. PADILLA: Middle of December or
15 January?

16 HEARING EXAMINER: December.

17 MR. KELLAHIN: What do we want to use for a
18 date?

19 HEARING EXAMINER: The 15th?

20 Thank you, gentlemen.

21 In that case, hearing adjourned.

22

23

24

25

1 CERTIFICATE OF REPORTER

2

3 STATE OF NEW MEXICO)
4) ss.
5 COUNTY OF SANTA FE)


6

7 I, Deborah O'Bine, Certified Shorthand
8 Reporter and Notary Public, HEREBY CERTIFY that the
9 foregoing transcript of proceedings before the Oil
10 Conservation Division was reported by me; that I
11 caused my notes to be transcribed under my personal
12 supervision; and that the foregoing is a true and
13 accurate record of the proceedings.

14 I FURTHER CERTIFY that I am not a relative
15 or employee of any of the parties or attorneys
16 involved in this matter and that I have no personal
17 interest in the final disposition of this matter.

18 WITNESS MY HAND AND SEAL, December 9, 1989.

19


DEBORAH O'BINE
CSR No. 127

20

21

My commission expires: August 10, 1990


22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the examiner hearing of Case Nos. 7777, 7832
heard by me on 29 September 1989.


Examiner
Oil Conservation Division