

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 CASE 9831

5
6
7 EXAMINER HEARING

8
9 IN THE MATTER OF:

10
11 Application of TXO Production Company for
12 Directional Drilling and an Unorthodox
13 Gas Well Location, Eddy County, New Mexico

14
15
16 TRANSCRIPT OF PROCEEDINGS

17
18 BEFORE: MICHAEL E. STOGNER, EXAMINER

19
20 STATE LAND OFFICE BUILDING
21 SANTA FE, NEW MEXICO

22 November 29, 1989

23 **ORIGINAL**

24
25

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Divison
State Land Office Building
Santa Fe, New Mexico

FOR THE APPLICANT:

W. THOMAS KELLAHIN, ESQ.
Kellahin, Kellahin & Aubrey
Post Office Box 2265
Santa Fe, N.M. 87504-2265

| | | |
|----|--|-------------|
| 1 | I N D E X | |
| 2 | | Page Number |
| 3 | Appearances | 2 |
| 4 | JOHN FISCO | |
| 5 | Direct Examination by Mr. Kellahin | 4 |
| 6 | Direct Examination by Hearing Examiner | 12 |
| 7 | TIM GOUDEAU | |
| 8 | Direct Examination by Mr. Kellahin | 14 |
| 9 | Direct Examination by Hearing Examiner | 21 |
| 10 | Certificate of Reporter | 23 |
| 11 | E X H I B I T S | |
| 12 | TXO PRODUCTION EXHIBITS: | |
| 13 | EXHIBIT 1 | 6 |
| 14 | EXHIBIT 2 | 6 |
| 15 | EXHIBIT 3 | 8 |
| 16 | EXHIBIT 4 | 10 |
| 17 | EXHIBIT 5 | 11 |
| 18 | EXHIBIT 6 | 16 |
| 19 | EXHIBIT 7 | 22 |
| 20 | EXHIBIT 8 | 22 |
| 21 | | |
| 22 | | |
| 23 | | |
| 24 | | |
| 25 | | |

1 HEARING EXAMINER: Okay. Let's move to
2 Case No. 9831. This is the application of TXO
3 Production Corporation for directional drilling and an
4 unorthodox gas drilling in Eddy County, New Mexico.
5 Call for appearances at this time.

6 MR. BRUCE: Tom Kellahin of the Santa Fe
7 law firm of Kellahin, Kellahin and Aubrey, appearing
8 on behalf of the Applicant, and I have two witnesses
9 to be sworn.

10 HEARING EXAMINER: Are there any other
11 appearance in this matter? Will the witnesses please
12 stand to be sworn and raise your right hands.

13 (Thereupon, the witnesses were sworn.)

14 HEARING EXAMINER: Mr. Kellahin.

15 MR. KELLAHIN: Thank you, Mr. Examiner.

16 JOHN FISCO

17 Called as a witness herein, after having been first
18 duly sworn upon his oath, testified as follows:

19 EXAMINATION

20 BY MR. KELLAHIN:

21 Q. Would you please state your name and
22 occupation?

23 A. My name is John Fisco. I am a staff
24 geologist with TXO Production in Midland, Texas.

25 Q. Mr. Fisco, for the record, would you please

1 spell your last name.

2 A. F I S C O.

3 Q. Mr. Fisco, as a petroleum geologist, have
4 you, on prior occasions, testified before the New
5 Mexico Oil Conservation Division?

6 A. No, I have not.

7 Q. Would you give us a summary of your
8 background, beginning with when and where you obtained
9 your degree in geology?

10 A. I obtained a bachelor's degree in 1977,
11 from the University of Wisconsin in Oshkosh. I did
12 graduate work at the University of Southwestern
13 Louisiana, Lafayette, and I started work with TXO from
14 school in the summer of 1979, and I have been employed
15 ever since with TXO Production, approximately 10 and a
16 half years now.

17 Q. As part of your duties as a petroleum
18 geologist for TXO, have you made a study of the
19 available geologic information for an area that's
20 known as the Burton Flats area of Eddy County, New
21 Mexico?

22 A. Yes, I have.

23 Q. And have you reviewed and satisfied
24 yourself that the information shown on Exhibits 1
25 through 5 is accurate and reliable to the best of your

1 knowledge, information and belief?

2 A. I believe so.

3 MR. KELLAHIN: At this point, Mr. Stogner,
4 we tender Mr. Fisco as an expert petroleum geologist.

5 HEARING EXAMINER: Mr. Fisco is so
6 qualified.

7 Q. Mr. Fisco, if you'll take for a moment what
8 is marked as TXO Exhibit 1 as well as Exhibit 2--and
9 let's look at them at the same time--would you
10 describe for the Examiner what is the producing
11 formation that is the target for the bottom hole
12 location of this well that TXO seeks to directionally
13 drill?

14 A. The formation is the Pennsylvanian H Strawn
15 Formation.

16 Q. Would you identify for us the proposed
17 spacing unit to be dedicated to the well?

18 A. The spacing unit is the 320-acre unit
19 occupying the west half of Section 14 of Township 20
20 South, Range 29 East, in Eddy County.

21 Q. Describe for us the information depicted on
22 Exhibit 1.

23 A. Exhibit No. 1 shows the immediate area
24 surrounding the proposed location, and it has a couple
25 of outlines on there in blue, which is the life mine

1 reserves limit that we obtained from the potash mine
2 in the area.

3 The red line shows a half-mile buffer zone
4 surrounding the LMR line. The yellow outline on there
5 is the proration unit for the Burton Flat Federal No.
6 1.

7 In Section 11 you'll see the proposed
8 surface location for the well, which is 900 feet from
9 the south line and 1,815 feet from the west line, and
10 there's a line coming from that due south, 3,045 feet,
11 to the bottom hole location, which is supposed to be
12 2,145 from the north line of Section 14, and 1,815
13 feet from the west line of the same section.

14 Q. Let me direct your attention now to Exhibit
15 No. 2, Mr. Fisco. Would you identify and describe the
16 type of information shown on that display?

17 A. Exhibit 2 shows immediate sections
18 surrounding our proposed location, and included on
19 this is the various producing and other tests that
20 were drilled in the immediate area, showing the
21 various formations that produce.

22 The Strawn, which is the target formation,
23 is outlined in green. There are presently four wells
24 in the immediate area that are produced from the
25 Strawn. Again, in yellow outline is the proposed

1 proration unit and our surface and bottom hole
2 location are also outlined on that.

3 Q. When I look at Exhibit No. 2 and I look at
4 the east half of Section 14, I find shown on that
5 display a proposed bottom hole location and then a
6 line of projection north to a surface location. What
7 is intended by that information?

8 A. That is the proposed location for the Yates
9 Zia-Fed. Com. No. 1. Again, their surface location is
10 in the southeast quarter of Section 11 and projecting
11 a bottom hole location in the east half of Section 14.

12 Q. Having reviewed the geology for the Strawn
13 formation, can you conclude, as a petroleum geologist,
14 that the proposed method by which both TXO and Yates
15 will attempt to produce the Strawn formation is one
16 that is best appropriate for the development of the
17 section?

18 A. Yes, this is the most appropriate method.

19 Q. Well, let's see some of the information
20 about the geology in the Strawn. Have you prepared a
21 structure map on the Strawn?

22 A. Yes, I have.

23 Q. Is that Exhibit No. 3?

24 A. Yes, it is.

25 Q. Describe for us what you've done.

1 A. Again, it's the same immediate area around
2 the proposed location. For a little more clarity I've
3 removed the well mains and TD's of the shallow wells
4 that don't penetrate the Strawn formation.
5 Information of all the wells that penetrate the Strawn
6 is still on the map.

7 The map, the structure map, is on the top
8 of the Strawn formation contoured on a 50-foot contour
9 interval. You'll notice that there is a general
10 southeast trending dip in the area with a slight
11 nosing being apparent from the mapping.

12 The producing Strawn wells that are on the
13 map occupy positions throughout--well, from elevations
14 or subsurface elevations of 7,141 in Section 15 on
15 the TXO Williams-Fed. No. 24, down to a -7309 on the
16 Yates Eland-Fed. in Section 13.

17 Q. Does the proposed bottom hole target that
18 TXO is requesting for this development of the west
19 half of the section, give you a good structural
20 position in the Strawn for potentially producing that
21 Strawn reservoir?

22 A. It gives an excellent position,
23 intermediate between all of the existing production in
24 the area.

25 Q. In addition to mapping the structure, have

1 you looked at the thickness and the size and the shape
2 of the reservoir itself, in terms of mapping it either
3 on a stratigraphic cross-section or an isopach, what
4 that reservoir looks like?

5 A. Yes, I have.

6 Q. Let's turn to Exhibit No. 4, Mr. Fisco and
7 have you identify and describe what you've shown here.

8 A. Exhibit 4 is a cross-section, 8 to 8 prime,
9 which if you go back to Exhibit 3 is outlined on
10 Exhibit 3 with a green enhanced dashed line, extending
11 from the TXO Williamson-Fed. No. 4 Well in Section 15
12 to the west, and extending around through various
13 wells in the area, down to the Odessa natural gas
14 dually No. 1, to the southeast down in Section 24.

15 On the cross-section you'll notice that
16 it's hung stratigraphically on the top of the Strawn,
17 using the top of the Strawn as a datum. The Strawn
18 formation proper is outlined in green, and two of the
19 more prominent zones of production are enhanced with
20 colors in blue, and a second shown enhanced and
21 colored with orange.

22 The various DST intervals and perforations
23 of the wells are outlined in red within the bore hole
24 column, and each well is represented by induction or
25 resistivity log of some type and a porosity log of

1 some type.

2 Q. Having examined the stratigraphic
3 cross-section that has been prepared for this
4 immediate vicinity, what does that tell you about how
5 to develop or locate a well in the west half of
6 Section 14?

7 A. The Strawn interval in the immediate area
8 shows to be fairly uniform in overall thickness.
9 Porosity within the Strawn varies from well to well,
10 which we'll show you the trends that it's established
11 on the next exhibit.

12 Q. Let's look at Exhibit No. 5, Mr. Fisco.
13 Would you identify this display for us?

14 A. Exhibit 5 is an isopach map of the net
15 Strawn porosity found within the Strawn formation in
16 the immediate area. The area again is the same basic
17 area as seen in the structure map, with the proposed
18 location and the proposed proration unit.

19 You'll notice that the isopach shows a net
20 Strawn porosity of greater than four percent, which I
21 feel is the cutoff for effective porosity in the area,
22 and there is a--well, it's contoured on a 20-foot
23 interval and shows a general north, northeast trend.

24 Q. Where does the bottom hole target, as
25 projected, put you in terms of reservoir thickness as

1 mapped on your Exhibit 5?

2 A. We're projecting that we may have something
3 over 60 feet of total porosity at the bottom hole
4 location.

5 Q. What is your ultimate conclusion with
6 regards to the geology and its relationship to the
7 west half of Section 14 and the proposed bottom hole
8 target? Do we have a good bottom hole target, based
9 upon the geology?

10 A. Based upon the geology, I think we have an
11 excellent shot at finding the economic reserves in the
12 Strawn formation.

13 MR. BRUCE: That concludes my examination
14 of Mr. Fisco, Mr. Stogner. We move the introduction
15 of Exhibits 1 through 5.

16 HEARING EXAMINER: Thank you.

17 EXAMINATION

18 BY MR. STOGNER:

19 Q. Mr. Fisco, now the purpose of this
20 directional drilling is not to better your geological
21 perspective of this particular wellbore, is it?

22 A. No. The directional drilling is necessary
23 in order to conform to the laws concerning the potash
24 reserves found in the immediate area.

25 Q. Geologically speaking, a bottom hole target

1 for this particular well--and, by the way, I am going
2 off of this bottom hole target and the way it was
3 advertised was based on the proposed survey that was
4 provided me by TXO--and the term "bottom hole
5 location" on Exhibit 1 is a little bit different than
6 what's advertised today.

7 As I understand it, the top of the--please
8 correct me if I'm wrong--the top of the Strawn
9 formation will occur in this target hole, is that
10 correct, or this target area?

11 A. Yes, it will.

12 Q. And then it will continue on down. And,
13 there again, based on the proposed survey that was
14 given me, will exit the Strawn formation or go through
15 the bottom of the Strawn pay at a location 150 foot
16 over target point 2,345 from the north and 1,815 from
17 the west, is that correct?

18 A. That's what we anticipate.

19 Q. And that portion of it is the unorthodox
20 location, so you will be entering the pay at a
21 standard location but exiting in it or part of it has
22 a potential of being unorthodoxed?

23 A. That's correct.

24 Q. But your Exhibit 5 and, as I understand
25 your testimony today, even drilling further up to the

1 north to keep the well at a total orthodox location,
2 the geological profile is, essentially, the same, is
3 that correct?

4 A. It should be pretty much the same.

5 Q. And you're not moving closer to any known
6 production, is that correct?

7 A. No, we are not.

8 HEARING EXAMINER: Okay. I have no other
9 questions of this witness at this time. Mr.
10 Kellahin?

11 TIM GOUDEAU

12 Called as a witness herein, after having been first
13 duly sworn upon his oath, testified as follows:

14 EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Would you please state your name and
17 occupation.

18 A. My name is Tim Goudeau, G O U D E A U. I'm
19 a drilling engineer for TXO Production.

20 Q. Mr. Goudeau, have you testified on prior
21 occasions before the Division?

22 A. Yes, I have.

23 Q. Would you summarize for the Examiner what
24 it is that you have specifically done with regards to
25 this proposed well?

1 A. I've supervised the preparation of a
2 schematic diagram of the Burton Flat Federal Com. No.
3 1, and our casing setting depth schematic, and also
4 with our deviation schematic. We'll be setting--

5 Q. Before you describe that, have you
6 satisfied yourself and we have, on prior occasions
7 before the hearing, given the Division various
8 projections on the directional drilling, and I want to
9 make sure that you are familiar with the profile
10 that's shown on Exhibit No. 6. Are you, sir?

11 A. Yes, sir, I am.

12 Q. We want to specifically outline for the
13 Examiner the proposed method of drilling the well
14 directionally, and your targets both at the top of the
15 Strawn and at the base of the Strawn. Are you
16 familiar with those?

17 A. Yes, I am.

18 MR. BRUCE: We would tender Mr. Goudeau as
19 an expert drilling engineer.

20 HEARING EXAMINER: Mr. Goudeau is so
21 qualified.

22 Q. Let me go back with you just a moment, Mr.
23 Goudeau and show you Exhibit 1. As a point of
24 reference, am I correct in understanding that the
25 necessity for directionally drilling this well is

1 predicated on the existence of the potash oil rules of
2 the Oil Conservation Division?

3 A. Yes, sir, it is.

4 Q. To the best of your knowledge, have you
5 sought to comply with the requirements of the potash
6 oil rules and regulations?

7 A. Yes, sir, we have.

8 Q. The schematic shown as Exhibit No. 1 simply
9 portrays the approximate surface location and shows
10 the relationship of a location to the buffer zones and
11 the setbacks for the life of the mine reserves, does
12 it not?

13 A. Yes, sir, it does.

14 Q. Let's take, now, Exhibit No. 6, and have
15 you begin at the surface and give us the precise
16 surface location in Section 11 at which you're going
17 to commence the well.

18 A. The surface location will be 900 feet from
19 the south line, 1,815 from the west line of Section
20 11, Township 20 South, Range 29 East, of Eddy County.

21 The targeted bottom hole location, which
22 would be the targeted top of the Strawn, would be
23 2,145 from the north line and 1,815 from the west line
24 of Section 14, Township 20 South, Range 29 East, of
25 Eddy County.

1 Q. When we look at Exhibit No. 6 and we look
2 at the right-hand margin, there's a plan view on the
3 display?

4 A. Yes.

5 Q. Take us from the surface location and show
6 us where we will be in terms of relationships to the
7 surface lines when we are at the top of the Strawn
8 formation as projected at a true vertical depth.

9 A. Okay. At the top of the Strawn formation
10 we should be at the targeted 2,145 from the north,
11 1,815 from the west, which will be a total deviation
12 at the top of the Strawn from the surface of 3,045
13 feet due south.

14 Q. All right. The 2,145 from the north is the
15 north line of Section 14?

16 A. Yes, sir. And, of course, the continuing
17 drilling of the well to the base of the Strawn will
18 extend it 200 feet past, which will give you a total
19 deviation of 3,245 but will actually be 2,345 from the
20 north line of Section 14.

21 Q. In the application and in the advertisement
22 of the case, Mr. Goudeau, TXO has sought a tolerance
23 target, if you will, of 150-foot radius both at the
24 top of the Strawn formation and at the base of the
25 Strawn formation. What's the basis for requesting

1 that?

2 A. Well, we felt like that this 150-foot
3 deviation tolerance was still within the orthodox
4 window at the top of the Strawn. The production or
5 the actual perforated intervals that you see blown up
6 on the bottom, indicate that the Strawn production
7 starts at plus or minus 30 feet out of the Strawn, so
8 we felt like the top of the Strawn was the key target
9 here, and that any tolerance that we should have would
10 be at the top of the Strawn, and, of course,
11 continuing on through the base of the Strawn.

12 Q. Let's examine that issue. If we look at
13 the vertical section and if you start at the bottom of
14 the display, at the top of the Strawn, then, you have
15 given us a point just above what is identified as the
16 first zone?

17 A. Yes, sir, that's at 10,526 true vertical
18 depth, which is 11,179 measure depth, which is where
19 we project the top of the Strawn to come in, which is
20 our projected target there at 2,145.

21 Q. Do you propose to change the angle between
22 the point that you encounter the top of the Strawn
23 until the time you encounter the base of the Strawn
24 formation?

25 A. No, sir, we don't.

1 Q. What's the purpose of showing first zone
2 and second zone? What is that?

3 A. That's to show that the anticipated
4 producing horizons, if they come in as projected, will
5 be still within the orthodox window and the tolerance
6 window that we are trying to get here.

7 Q. Let's go back to the surface, then, on the
8 vertical section of Exhibit No. 6, and describe for us
9 what you're doing, commencing with the surface and
10 drilling down through the point where you identify a
11 kickoff point and commence the directional drilling?

12 A. We're drilling a 26-inch hole to 450 feet
13 and setting 20-inch casing at that point, according to
14 the R-111-P, the Potash Order, to the base hole
15 Rustler formation, and then drilling on down and
16 setting pipe, 13 and three-eighths at 1,500 feet,
17 which is a salt protection strain, according to the
18 R-111-P Potash Order, and then going down and setting
19 eight and five-eighths casing to 3,100 feet, which is
20 a capitan reef protection string.

21 We'll be kicking off at 3,200 feet and
22 building angle down to 4,880, which is a measure
23 depth, and then holding angle from there to the
24 projected target.

25 Q. What is the plan for drilling, in terms of

1 how often you'll take a survey as to where you are
2 within the Section 14 or within this spacing unit?

3 A. We anticipate taking surveys between 90 to
4 150 feet, just depending on where we are, which is
5 pretty normal under these types of situations where
6 you can encounter problems quickly, and they need to
7 be adjusted fairly quickly, so we're probably in the
8 average of the 100-foot range of taking surveys.

9 Q. Have you received any objection from any of
10 the other operators or working interest owners in this
11 area with regards to your proposed directional
12 drilling of this well?

13 A. No, sir.

14 Q. Are you familiar in any way with how Yates
15 proposes to directionally drill their well as proposed
16 in the east half of this section?

17 A. I haven't taken a look at their order on
18 one of our pieces of evidence that looks like they are
19 proposing to drill it the same way we are. I don't
20 know their specific kickoff points.

21 Q. You've not studied the details, then, of
22 their drilling program, to directionally drill their
23 half of the section?

24 A. No. I don't know that they have presented
25 that to the public scrutiny.

1 Q. Is there anything else about Exhibit No. 6
2 that you would like to invite the Examiner's attention
3 to?

4 A. No, sir. I don't believe so.

5 MR. KELLAHIN: That concludes my
6 examination, then, of Mr. Goudeau. We move the
7 introduction of his Exhibit No. 6.

8 HEARING EXAMINER: Exhibit No. 6 will be
9 admitted into evidence.

10 EXAMINATION

11 BY MR. STOGNER:

12 Q. Mr. Goudeau, in what method are you going
13 to be building angle?

14 A. We'll be running a one and a half degree
15 vent sub out at 3,200, building our angle, and then
16 going in with a semi-packed assembly to hold our
17 angle.

18 Q. Now, you're going to build the angle with a
19 down-hole motor?

20 A. Yeah, we'll be building angle with a six
21 and a half degree slow speed motor, probably with some
22 IBS stabilization.

23 Q. After that portion, then, you will continue
24 with a down-hole assembly using rotary, is that
25 correct?

1 A. Correct. We'll be holding angle with a
2 semi-packed assembly using the rotary method.

3 Q. What size of casing do you propose to use
4 as your long string after you get the hole down?

5 A. It will be four and a half.

6 Q. And that's all the way down to the
7 plug-back depth, after it is a producer?

8 A. Yes, sir.

9 HEARING EXAMINER: I have no further
10 questions of Mr. Goudeau. Mr. Kellahin?

11 MR. KELLAHIN: That concludes our
12 presentation, Mr. Examiner. We have Exhibits 7 and 8;
13 7 is the potash operator's waiver letter, and Exhibit
14 No. 8 is the certificate of notice.

15 MR. STOVALL: Mr. Kellahin, I think you
16 have that backwards, if I'm looking at the exhibits
17 correctly.

18 MR. KELLAHIN: Let me make sure with the
19 sets here. Exhibit 8 is the waiver from the potash
20 operator, that's correct, and 7 is the notices that I
21 sent out.

22 That's all we have, Mr. Examiner.

23 HEARING EXAMINER: Does anybody else have
24 anything further in Case 9831? This case will be
25 taken understand advisement.

CERTIFICATE OF REPORTER

1

2

3 STATE OF NEW MEXICO)
) ss.
 4 COUNTY OF SANTA FE)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I, Carla Diane Rodriguez Certified

Shorthand Reporter and Notary Public, HEREBY CERTIFY

that the foregoing transcript of proceedings before

the Oil Conservation Division was reported by me; that

I caused my notes to be transcribed under my personal

supervision; and that the foregoing is a true and

accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative

or employee of any of the parties or attorneys

involved in this matter and that I have no personal

interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL December 11, 1989.

Carla Diane Rodriguez
 CARLA DIANE RODRIGUEZ
 CSR No. 91

My commission expires: May 25, 1991

I do hereby certify that the foregoing is
 a complete and correct transcript of the proceedings in
 the Examiner hearing of Case No. 9831
 heard by me on 29 November 1989.
Michael E. Stogner, Examiner
 Oil Conservation Division