

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 10036
CASE NO. 10111

CASE NO. 10036 AND CASE NO. 10111
BEING REOPENED

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: Michael E. Stogner, Hearing Examiner
Jim Morrow, Hearing Examiner

February 17, 1994
Santa Fe, New Mexico

This matter came on for hearing before the
Oil Conservation Division on February 17, 1994, at
Morgan Hall, State Land Office Building, 310 Old
Santa Fe Trail, Santa Fe, New Mexico, before Deborah
O'Bine, RPR, Certified Court Reporter No. 63, for the
State of New Mexico.

MAR 21 1994

I N D E X

February 17, 1994
 Examiner Hearing
 CASE NO. 10036
 CASE NO. 10111

	PAGE
APPEARANCES	4
TEXACO'S WITNESS:	
<u>Dorothy Brelih</u>	
Examination by Mr. Carr	9
Examination by Examiner Morrow	22
CHEVRON'S WITNESSES:	
<u>Allen W. Bohling</u>	
Examination by Mr. Carr	23
<u>Robert E. Green</u>	
Examination by Mr. Carr	29
Examination by Examiner Morrow	38
CONOCO'S WITNESS:	
<u>Mark McClelland</u>	
Examination by Mr. Kellahin	40
Examination by Examiner Morrow	57
Examination by Examiner Stogner	59
DOYLE HARTMAN'S WITNESSES:	
<u>Craig Van Kirk</u>	
Examination by Mr. Gallegos	63
Examination by Examiner Morrow	86
<u>Mark Perry</u>	
Examination by Mr. Gallegos	91
Examination by Examiner Morrow	102
REPORTER'S CERTIFICATE	106

E X H I B I T S

FOR TEXACO:

	ID	ADMTD
Exhibit 1	11	21
Exhibit 2	12	21
Exhibit 3	13	21
Exhibit 4	15	21
Exhibit 5	16	21
Exhibit 6	17	21

FOR CHEVRON:

Exhibit 1	25	29
Exhibit 2	27	29
Exhibit 3	32	38
Exhibit 4	33	38

FOR CONOCO:

Exhibit 1	43	57
Exhibit 2	45	57
Exhibit 3	47	57
Exhibit 4	48	57
Exhibit 5	49	57
Exhibit 6	49	57
Exhibit 7	51	57
Exhibit 8	52	57
Exhibit 9	54	57
Exhibit 10	54	57

FOR DOYLE HARTMAN:

Exhibit 1	65	85
Exhibit 2	67	85
Exhibit 3	67	85
Exhibit 4	69	85
Exhibit 5	69	85
Exhibit 6	74	85
Exhibit 7	79	85
Exhibit 8	82	85
Exhibit 9	84	85
Exhibit 10	99	101
Exhibit 11	95	101

CUMBRE COURT REPORTING

P.O. Box 9262

Santa Fe, New Mexico 85704-9262

(505) 984-2244 FAX: 984-2092

A P P E A R A N C E S

FOR TEXACO,
CHEVRON, ARCO:

CAMPBELL, CARR, BERGE &
SHERIDAN, P.A.
P.O. Box 2208
Santa Fe, New Mexico 87504
BY: WILLIAM F. CARR, ESQ.

FOR CONOCO, INC.:

KELLAHIN AND KELLAHIN
117 N. Guadalupe
Santa Fe, New Mexico
BY: W. THOMAS KELLAHIN, ESQ.

FOR DOYLE HARTMAN:

GALLEGOS LAW FIRM
141 E. Palace Avenue
Santa Fe, New Mexico 87501
BY: J.E. GALLEGOS, ESQ.

CUMBRE COURT REPORTING

P.O. Box 9262

Santa Fe, New Mexico 85704-9262
(505) 984-2244 FAX: 984-2092

1 EXAMINER STOGNER: At this time, I'll
2 reopen Case No. 10036, which is being reopened
3 pursuant to the provisions of Order No. R-8170-G,
4 which promulgated special rules and regulations for
5 the Eumont Gas Pool and established minimum gas
6 allowable for that pool.

7 At this time I'll call for appearances.

8 MR. CARR: May it please the examiner, my
9 name is William F. Carr with the Santa Fe law firm
10 Campbell, Carr, Berge & Sheridan. I'd like to enter
11 our appearance for Texaco Exploration & Production,
12 Inc., Chevron USA Production Company, and Arco
13 Permian. I have three witnesses.

14 EXAMINER STOGNER: Any other appearances?

15 MR. KELLAHIN: Mr. Examiner, I'm Tom
16 Kellahin of the Santa Fe law firm of Kellahin and
17 Kellahin, appearing in this case on behalf of Conoco,
18 Inc. I have one witness to be sworn.

19 EXAMINER STOGNER: Other appearances?

20 MR. GALLEGOS: Mr. Examiner, I'm Gene
21 Gallegos, Santa Fe, New Mexico, in behalf of Doyle
22 Hartman. We would like to ask that Case 10036 be
23 heard on a consolidated record with 10111; that is,
24 the Eumont and Jalmat Pool minimum allowable cases be
25 heard together.

1 As grounds for that, we would point out
2 that the minimum allowables were set for these two
3 pools contemporaneously in January of 1991, and that
4 the pools are essentially geologically the same
5 pools, there's almost a complete overlap of operators
6 in the pools, and the evidence that we'll present for
7 Doyle Hartman in behalf of the Jalmat allowables will
8 also contain evidence in support of the continuation
9 of the minimum allowables for the Eumont Pool.

10 EXAMINER STOGNER: Are there any
11 objections from either parties in reopened Case
12 10036? Mr. Carr, or do you want to take five
13 minutes?

14 MR. CARR: I won't need five minutes. The
15 evidence that we're going to present is really
16 specific to the Eumont Pool. I can tell you,
17 however, that as Mr. Gallegos indicated as to his
18 evidence, that the conclusions and all that we will
19 reach about the Eumont I believe would be also
20 applicable to the Jalmat. Our presentation is
21 organized to do just the Eumont. It's your pleasure.

22 EXAMINER STOGNER: Mr. Kellahin?

23 MR. KELLAHIN: Mr. Examiner, our
24 presentation is specific to the Eumont as a pool.
25 The Division heard these matters separately. If I

1 recall, they were on the same docket, but they were
2 treated as separate matters in terms of gathering the
3 evidence. I have no presentation to make in the
4 Jalmat. It's certainly up to your discretion. We
5 have prepared ours in terms of going forward as a
6 single presentation on a separate case.

7 EXAMINER STOGNER: Are there any other
8 appearances in either case before I make the decision
9 whether to consolidate or not? Were you all going to
10 enter appearances, Mr. Carr --

11 MR. CARR: I'm going to be appearing in
12 the Jalmat case, yes.

13 EXAMINER STOGNER: Mr. Kellahin, I take
14 you are not going to be appearing in the Jalmat
15 case?

16 MR. KELLAHIN: That's right, I'm not.

17 EXAMINER STOGNER: Were you going to be
18 objecting to the Jalmat case in any way?

19 MR. CARR: No. I'm supporting the
20 presentation to be made by Mr. Hartman.

21 EXAMINER STOGNER: For the purposes of
22 testimony, then, I will go ahead and consolidate both
23 these reopened cases.

24 At this time, I'll call Case No. 10111
25 which is being reopened pursuant to the provisions of

1 Division Order No. R-8170-J, which order established
2 minimum gas allowables in the Jalmat Gas Pool in Lea
3 County.

4 Are there any other appearances at this
5 time? If not, I tell you what, I would like for you
6 gentlemen to decide how best to go on with this
7 case. How many witnesses do you have, Mr. Gallegos?

8 MR. GALLEGOS: Mr. Examiner, we'll have
9 two witnesses.

10 EXAMINER STOGNER: You have three, Mr.
11 Carr?

12 MR. CARR: I have three, yes, sir.

13 EXAMINER STOGNER: You have two?

14 MR. KELLAHIN: One, sir.

15 EXAMINER STOGNER: And you have two. Or
16 do you have a preference? Do we need to go off the
17 record and let you guys decide this?

18 MR. KELLAHIN: I think we can move right
19 ahead. Mr. Carr was the applicant with his client in
20 the Eumont case. If he's prepared to go ahead, I'm
21 happy to let him do that.

22 MR. GALLEGOS: Sure, and that's fine with
23 us, too. I think that's logical.

24 EXAMINER STOGNER: Mr. Carr, I'm going to
25 allow you to go first and Mr. Kellahin with his

1 witness and then Mr. Gallegos.

2 MR. CARR: At this time we will call
3 Dorothy Brelih.

4 EXAMINER STOGNER: I tell you what, before
5 we get started, let me have all the witnesses stand
6 at this time.

7 (Witnesses sworn.)

8 EXAMINER STOGNER: Mr. Carr.

9 DOROTHY BRELIH,
10 the witness herein, after having been first duly
11 sworn upon her oath, was examined and testified as
12 follows:

13 EXAMINATION

14 BY CARR:

15 Q. Will you state your name for the record,
16 please.

17 A. Dorothy Brelih.

18 Q. Where do you reside?

19 A. Hobbs, New Mexico.

20 Q. By whom are you employed, and in what
21 capacity?

22 A. I'm employed by Texaco as a production
23 engineer.

24 Q. Have you previously testified before this
25 Division?

1 A. No, sir.

2 Q. Could you summarize your educational
3 background for Mr. Stogner and then review your work
4 experience?

5 A. Yes. I received a B.S. in chemical
6 engineering from California State Polytechnic
7 University, Pomona, in 1981. I received an MBA from
8 California State University, Bakersfield, in 1987,
9 and I'm a registered engineer in both California and
10 New Mexico. I've worked 13 years for Texaco. The
11 first 12 of those were in Bakersfield as reservoir,
12 facilities, production, and drilling engineer, and
13 I've been in Hobbs almost one year.

14 Q. Does the geographic area of your
15 responsibility with Texaco include the portion of
16 southeast New Mexico involved in this case?

17 A. Yes, it does -- only the Eumont.

18 Q. Have you studied the production history
19 for the Eumont Pool?

20 A. Yes, I have.

21 Q. And your area of responsibility does not
22 include Jalmat?

23 A. No, it does not.

24 Q. Are you familiar with the allowables for
25 the Eumont Gas Pool and recent changes in these

1 allowables?

2 A. Yes, I am.

3 MR. CARR: Mr. Stogner, at this time we
4 would tender Dorothy Brelih as an expert witness in
5 petroleum engineering.

6 EXAMINER STOGNER: Are there any questions
7 or any oppositions? Miss Brelih is so qualified
8 then.

9 Q. (BY MR. CARR) Would you briefly state
10 what Texaco seeks with this application?

11 A. We seek permanent pool rules establishing
12 a 600 Mcf per day minimum allowable for the Eumont
13 Gas Pool.

14 Q. When was this pool originally created?

15 A. In February 1974.

16 Q. Could you refer to Texaco Exhibit No. 1,
17 identify this, and review it for the examiner.

18 A. Yes, sir. This is a map that shows the
19 Eumont Gas Pool boundaries. All the shaded sections
20 are those that are included in the pool.

21 Q. Where is the Jalmat Pool in respect to the
22 Eumont boundaries that you've indicated on this
23 exhibit?

24 A. It adjoins this pool immediately to the
25 south.

1 Q. Are they contiguous pools, or do they
2 abut?

3 A. They do abut, yes.

4 Q. Generally speaking, where is the Eumont
5 Pool located?

6 A. Between Hobbs and Eunice in southeastern
7 Lea County.

8 Q. How large a pool are we talking about when
9 we talk about the Eumont?

10 A. Approximately 179 square miles, just over
11 405 acreage factors.

12 Q. And the vertical limits of this pool are
13 defined in what way?

14 A. From the top of the Yates to the bottom of
15 the Queen.

16 Q. Let's go to Exhibit No. 2, the graph of
17 production versus allowable. And I would ask you to
18 review this for the examiner, explain what the
19 purpose of this exhibit actually is.

20 A. Okay. This is a plot of field allowable
21 and production from 1980 to present. The red line is
22 production. The green line is the allowable.

23 The important things to note here are the
24 high production levels that we had in the early
25 '80's; then the rapid decline in '82. This is when

1 the gas market deteriorated both due to price and
2 demand considerations. The operators began producing
3 erratically, opening wellbores in the winter when the
4 price was high and producing the allowables, shutting
5 in in the summer months. There is a definite winter
6 cycle here.

7 What this did was keep production low,
8 which kept the allowables low, which kept the
9 production low, and it began a vicious cycle. We
10 essentially ratcheted down and dug ourselves into a
11 hole that we could not get back out of.

12 It was this decline in allowables in the
13 1980's that caused Texaco to study ways to resolve
14 the problem. And note that the administrative
15 adjustments and the subsequent establishment of the
16 minimum allowables have resulted in steadily
17 increasing production since early 1991.

18 Q. Prior to the establishment of minimum
19 allowables, when did Texaco actually drill in this
20 pool?

21 A. 1980 is the best answer I can give to
22 that.

23 Q. Let's go now to Exhibit No. 3, the graph
24 of the nonmarginal factors. Would you identify and
25 review the information on this exhibit for Mr.

1 Stogner?

2 A. This is a graph of total acreage factors,
3 the red line at the top, and nonmarginal acreage
4 factors again since 1980. The nonmarginal is the
5 green line.

6 What we saw was a dramatic increase in
7 nonmarginal acreage factors in the mid-1980's as the
8 allowables were decreased. There's a decline in the
9 nonmarginal acreage factors in mid-1988 as a result
10 of administrative adjustments, but most recently the
11 establishment of the minimum allowable has
12 dramatically dropped that number and kept it very
13 low.

14 Since the total acreage factors has not
15 changed appreciably, we know that the number of
16 marginal acreage factors then has increased as the
17 number of nonmarginals has decreased.

18 Q. What you've shown here is that the recent
19 decrease in the nonmarginal factors has resulted in
20 higher allowable. Is that what this is showing?

21 A. No, I think it's just the opposite. The
22 higher allowables significantly impact the relative
23 ratio of marginal proration units to nonmarginal
24 proration units. This is because when the allowable
25 goes up, the nonmarginal acreage factors come down as

1 they're reclassified, and your production goes up
2 accordingly because the allowable is now being
3 assigned to those proration units that can produce
4 it.

5 Q. Let's go to Texaco Exhibit No. 4. This is
6 entitled Normalized Nonmarginal Production and
7 Allowable. I think first we ought to explain what
8 Texaco means by normalized.

9 A. Normalized means we tried to take out the
10 effects of how many acreage factors there were at any
11 given time. I took the total nonmarginal production
12 and the total nonmarginal allowable in each month and
13 divided it by the number of nonmarginal acreage
14 factors in that month.

15 What that does is it doesn't allow the
16 number of acreage factors to influence the character
17 of the graph. So you're looking at a representative
18 nonmarginal acreage factor for any given month.

19 Q. What does this show?

20 A. Again, this shows the fluctuations in the
21 mid-80's that were caused by the gas market and
22 operators were losing confidence, or productions
23 stayed very low because no one was doing any
24 development. The establishment of the minimum
25 allowables increased production, which is

1 demonstrated again from 1991 on.

2 You'll note that in the last six months,
3 we've seen the highest production we've had in years.

4 Q. Let's move now to Exhibit No. 5, the graph
5 of the nonmarginal and marginal production. Identify
6 and review this, please.

7 A. Again, nonmarginal production is shown in
8 the red line. The marginal production is shown in
9 green. The historical trend in the early '80's was
10 where the marginal production definitely exceeded the
11 nonmarginal production. This flips in the 1980's.

12 Normally this would indicate that your
13 producing capacity had increased, and more and more
14 wells were making more and more production, and
15 therefore they were becoming nonmarginal.
16 Unfortunately, it wasn't a fact of the production
17 coming up to meet the allowable. It was more the
18 allowable coming down to meet the production. And
19 these units were merely being reclassified.

20 We got back to a system with the
21 establishment of the minimum allowable in 1991 that
22 now is accurately assigning allowables to those
23 acreage factors that are capable of producing it.
24 And now the lion's share of production is coming from
25 marginal production units, which is the intent of the

1 entire system, as I understand it.

2 Q. Let's now go to Texaco Exhibit No. 6.

3 Would you identify and review this exhibit?

4 A. This is just a plot expressing allowables
5 in terms of 600 Mcf a day. We keep talking about 600
6 Mcf, but all my graphs show a billion cubic feet or a
7 million cubic feet per month. So I wanted to put
8 this on a relative basis to show that we wanted a
9 minimum of 600. We've actually been able to support
10 allowables much higher than that every since to where
11 we're at 952 today.

12 Q. Allowables in the range of 900 Mcf per day
13 at the present time?

14 A. Yes.

15 Q. Does that tell you anything about whether
16 or not 600 Mcf per day is a reasonable minimum
17 figure?

18 A. Yes. I think that shows it's quite
19 reasonable and very appropriate. It continues to
20 give the appropriate economic incentive, and the
21 wells are definitely capable of producing it.

22 Q. And it works simply as a floor under the
23 allowable system?

24 A. Yes, it does.

25 Q. In 1990, Texaco presented testimony in

1 support of these minimum allowables. At that time
2 Texaco witnesses testified that higher allowables
3 would improve economics and encourage development.
4 Has that occurred?

5 A. Definitely. At the time, the economics
6 presented used average numbers that were taken from
7 an operators' survey as to drilling costs, operating
8 costs, workover costs and risks. And it merely
9 illustrated the fact that 600 Mcf a day was an
10 allowable that provided adequate economic incentive
11 to drill and/or rework wells that were making
12 substantially less than that. Without a reliable
13 consistent minimum, the risks were considered too
14 high.

15 I believe that it definitely --
16 development has definitely proceeded in the Eumont
17 both for Texaco and for other operators, and the
18 evidence of this is the dramatic increase in total
19 gas production from 1991 to present.

20 Q. Have there been additional workover
21 operations conducted by Texaco as a result of the
22 minimum allowable?

23 A. Yes. We've done about 30 workovers as a
24 result.

25 Q. Has there been the installation of

1 additional equipment because of the minimum
2 allowable?

3 A. Yes, sir. Every workover we do, we have
4 put pumping equipment and a separator on the well.
5 Our Eunice gas plant, due to the increased
6 production, saw increased pressures; so they took
7 steps to reduce that by putting in larger lines and
8 compression. They've also installed a sulfur plant
9 to handle this increased Eumont production.

10 Q. All of these require substantial
11 investments. Did you see that kind of investment
12 prior to the establishment of minimum allowables
13 prior to 1990?

14 A. No, sir, there was no reason to do so.

15 Q. With a 600 Mcf per day minimum allowable,
16 are some wells still being allowable restricted in
17 this pool?

18 A. Yes, 32 of the 419 wells in the October
19 schedule.

20 Q. What is the top producer in the pool, what
21 level does it produce?

22 A. I believe it's 1.9 million.

23 Q. Could you just generally then summarize
24 what you believe the results of the 600 Mcf per day
25 minimum allowable have been on production from the

1 Eumont Pool?

2 A. I think we've definitely seen an increased
3 comfort level for all the operators in the pool. We
4 have better, consistent economics for workovers and
5 drilling. We've seen new investments for the
6 development of the pool, and we've seen increased
7 production.

8 Q. Can Texaco market all the gas it produces
9 from the pool?

10 A. Yes.

11 Q. Have you experienced problems marketing
12 gas from the Eumont Pool in the past?

13 A. None whatsoever. In fact, we're able --
14 we've maintained our market, and as I understand the
15 testimony from 1990, we're competing with the
16 surrounding states' gas.

17 Q. Would any other producer that you're aware
18 of be facing curtailment or any restriction in its
19 ability to market production from the pool?

20 A. I don't believe so, and Texaco would be
21 willing to take their production.

22 Q. In fact, you would have the ability to
23 market for others?

24 A. Yes.

25 Q. Does Texaco recommend that the 600 Mcf a

1 day allowable for the Eumont Pool be adopted on a
2 permanent basis?

3 A. Yes, sir.

4 Q. Do you believe that approval of this
5 minimum allowable on a permanent basis would be in
6 the best interests of conservation, the prevention of
7 waste, and the protection of correlative rights?

8 A. Yes, sir.

9 Q. Will adoption of this minimum allowable
10 result in the production of hydrocarbons that
11 otherwise will not be produced?

12 A. Yes, sir.

13 Q. Were Exhibits 1 through 6 either prepared
14 by you or compiled under your direction?

15 A. Yes.

16 MR. CARR: At this time, Mr. Stogner, I
17 move the admission of Texaco Exhibits 1 through 6.

18 EXAMINER STOGNER: Exhibits 1 through 6
19 will be admitted into evidence.

20 MR. CARR: That concludes my direct
21 examination of this witness.

22 EXAMINER STOGNER: Thank you, Mr. Carr.
23 Mr. Kellahin, do you have any questions?

24 MR. KELLAHIN: No, sir.

25 EXAMINER STOGNER: Mr. Gallegos, any

1 questions?

2 MR. GALLEGOS: No questions.

3 EXAMINER STOGNER: Mr. Morrow?

4 EXAMINATION

5 BY EXAMINER MORROW:

6 Q. I wanted to ask you to explain again
7 Exhibit No. 4, the normalized nonmarginal production
8 allowable. I didn't pick up on your explanation the
9 first time through.

10 A. What that is is total nonmarginal
11 production and total nonmarginal allowables divided
12 by the number of nonmarginal acreage factors in that
13 given month.

14 Q. Oh, just an average?

15 A. Yes, just to dampen out the effect of the
16 wild swings we had in the number of nonmarginal
17 acreage factors.

18 Q. Thirty-two wells are still prorated. Some
19 of these, I guess, are two wells per gas proration
20 unit probably because I think there's only about 24,
21 25, GPU's that still show up that's prorated?

22 A. They may be. I'm really not sure.

23 Q. Do you know how many wells are capable of
24 producing in excess of the 600 per day?

25 A. That's the 32.

1 Q. Well, I think the allowable is
2 considerably higher than 600 now so --

3 A. Yes. There are only nine wells that are
4 capable of producing over the 952 that we currently
5 have. There are 32 wells that are capable of
6 producing over 600.

7 EXAMINER MORROW: Okay. That's all I
8 have.

9 EXAMINER STOGNER: Thank you, sir. Any
10 other questions? You may be excused. Mr. Carr?

11 MR. CARR: At this time, for Chevron, I
12 would call Mr. Al Bohling.

13 ALLEN W. BOHLING,
14 the witness herein, after having been first duly
15 sworn upon his oath, was examined and testified as
16 follows:

17 EXAMINATION
18 BY MR. CARR:

19 Q. Will you state your name for the record,
20 please.

21 A. My name is Allen W. Bohling.

22 Q. Where do you reside?

23 A. I reside in Midland, Texas.

24 Q. By whom are you employed and in what
25 capacity?

1 A. I'm employed by Chevron USA Production
2 Company as a petroleum engineer.

3 Q. Have you previously testified before this
4 Division and had your credentials as a petroleum
5 engineer accepted and made a matter of record?

6 A. Yes, sir, I have.

7 Q. Are you familiar with the allowables for
8 the Eumont Pool and Chevron's recent development
9 activity in this pool?

10 A. Yes, I am.

11 MR. CARR: Are the witness's
12 qualifications acceptable?

13 EXAMINER STOGNER: If there are no
14 objections, Mr. Bohling is so qualified.

15 Q. (BY MR. CARR) Mr. Bohling, could you
16 briefly state the purpose of Chevron's testimony in
17 this case?

18 A. The purpose of Chevron's testimony is to
19 provide support for the continuation on a permanent
20 basis of the minimum gas allowable of 600 Mcf per day
21 for an acreage factor of 1 in the Eumont Gas Pool.

22 The principal intent in establishing a
23 minimum gas allowable of 600 a day in the Eumont Gas
24 Pool in December 1990 was to provide a system or a
25 basis which operators could have confidence in and

1 which would allow them to plan development programs,
2 make budget commitments, and execute those programs
3 to achieve results within this pool. Chevron
4 believes that the minimum allowable of 600 Mcf per
5 day is doing exactly that now and will attempt to
6 show this in our presentation here today.

7 Q. Mr. Bohling, the allowable is actually one
8 of the variance factors or variables that an operator
9 must take into consideration when deciding whether or
10 not to commit development funds to this pool; is that
11 right?

12 A. That is correct.

13 Q. By setting a minimum allowable, in fact
14 what the Division is doing is providing a certain
15 degree of stabilization for that particular factor?

16 A. Yes, sir.

17 Q. Let's go to what has been marked Chevron
18 Exhibit No. 1. Would you identify this exhibit and
19 review it for Mr. Stogner?

20 A. Yes, sir. Exhibit No. 1 is a production
21 graph which shows several items. The line in red is
22 the Eumont Gas Pool's production performance for the
23 period January '91 through October of '93, a
24 three-year period.

25 The dashed line represents the pool's

1 total allowable over that same period of time.

2 I've bracketed in arrows the proration
3 periods and tried to show what the top allowable for
4 a nonmarginal proration unit would be for an acreage
5 factor of 1 during those proration periods.

6 The blue line at the bottom of the graph
7 illustrates Chevron's production performance during
8 this same period of time.

9 From this graph, it is evident that the
10 minimum allowable of 600 Mcf per day has been a key
11 factor in bolstering the production during downward
12 market conditions, and in effect has leveled out the
13 erratic swings of the 1980's and has actually
14 promoted an increase of production in the Eumont Gas
15 Pool over these three years.

16 It is also evident that due to the minimum
17 allowable, Chevron has been able to continue its
18 in-place drilling and workover programs, essentially
19 increasing our production from a rate of around 14
20 million per day in January of '91 to a little over 22
21 million per day in October of '93. Currently, or as
22 of December of 1993, Chevron's daily production is
23 over 25 million a day. That represents approximately
24 25 percent of the Eumont Pool's daily production.

25 Q. When I look at this exhibit, the line that

1 represents the actual pool allowable represents the
2 marginal allowable plus the nonmarginal allowables
3 for the pool for that particular time; is that what
4 you're showing with that line?

5 A. That is correct, yes, sir.

6 Q. Let's move to what has been marked as
7 Exhibit No. 2. Using this exhibit, would you review
8 for the examiner the recent work undertaken by
9 Chevron to develop this pool?

10 A. Exhibit No. 2 is a summary of Chevron's
11 workover and drilling programs during the three-year
12 period of 1991 through 1993 as a result of the 600 a
13 day minimum allowable.

14 I'd like to mention first that Chevron's
15 activity during 1990 consisted of only six workovers
16 and two new drills, performed primarily in response
17 to the Commission's administrative setting of an
18 allowable at 600 Mcf per day during four months of
19 that year. Chevron essentially had no plans or
20 activity except for maintenance in the Eumont Pool
21 during 1989. However, as shown on this exhibit, in
22 1991, the minimum allowable provided the catalyst for
23 Chevron to redirect its focus to the Eumont Pool and
24 drill nine new wells and perform 16 workovers at a
25 cost of a little over \$4 million in 1991.

1 The 25 wells had initial production of a
2 little over \$11 million a day. And currently as of
3 12/93, those same wells are producing at 8.6 million
4 per day.

5 In 1992, we performed ten more workovers
6 and three new drills at a cost of \$1.5 million. The
7 initial production of those 13 wells was 5.3 million
8 a day, and currently as of 12/93 they're producing
9 3.4 million a day.

10 The 1993 workover and drilling program
11 consisted of eight more workovers and three new
12 drills at a cost of \$1.5 million again. The initial
13 production from those wells is a little over 6
14 million a day, and as of 12/93 they are currently
15 producing 5.9 million.

16 Almost 18 million a day out of Chevron's
17 current 25 million a day production from the Eumont
18 Gas Pool is a direct result of having set the minimum
19 allowable of 600 Mcf per day in the Eumont Pool in
20 December of 1990.

21 Chevron plans to continue its high level
22 of activity in 1994 with the drilling of two new
23 wells and performing eight more workovers. We
24 believe that the continuance of this minimum
25 allowable on a permanent basis will provide the

1 stability factor needed for producers to maintain a
2 high degree of focus and commitment to development of
3 the Eumont Gas Pool.

4 Q. Mr. Bohling, will Chevron also call a
5 witness to discuss marketing issues related to recent
6 Eumont production?

7 A. Yes, sir, they will.

8 Q. Were Exhibits 1 and 2 prepared by you?

9 A. Yes, sir, they were.

10 MR. CARR: At this time, Mr. Stogner, I
11 move the admission of Chevron Exhibits 1 and 2.

12 EXAMINER STOGNER: Exhibits 1 and 2 will
13 be admitted into evidence at this time.

14 MR. CARR: That concludes my direct
15 examination of Mr. Bohling.

16 EXAMINER STOGNER: Thank you. Mr.
17 Kellahin?

18 MR. KELLAHIN: No questions.

19 EXAMINER STOGNER: Mr. Gallegos?

20 MR. GALLEGOS: No questions.

21 EXAMINER STOGNER: I have no questions.

22 MR. CARR: At this time we would call
23 Robert E. Green.

24 ROBERT E. GREEN,
25 the witness herein, after having been first duly

1 sworn upon his oath, was examined and testified as
2 follows:

3 EXAMINATION

4 BY MR. CARR:

5 Q. State your full name and place of
6 residence.

7 A. Robert E. Green from Midland, Texas.

8 Q. By whom are you employed and in what
9 capacity?

10 A. I work for Chevron USA Production Company
11 as a natural gas coordinator for the State of New
12 Mexico.

13 Q. What does a natural gas coordinator do?

14 A. As a natural gas coordinator, I supervise
15 the process of forecasting the gas available for
16 sale, nominating and confirming the gas, and
17 delivering the gas into the first transporter. The
18 coordinator negotiates the sale of certain other
19 natural gases to spot markets and to longer term
20 gathering and processing agreements.

21 Q. Have you previously testified about the
22 market for natural gas from southeastern New Mexico
23 at Oil Conservation Division and Commission allowable
24 hearings?

25 A. Yes, I have.

1 Q. At the time of that prior testimony, were
2 your credentials as an expert in natural gas
3 marketing issues accepted by this Division and made a
4 matter of record?

5 A. Yes, they were.

6 Q. Are you familiar with the current demand
7 for natural gas from the Eumont Gas Pool and
8 Chevron's efforts to market natural gas produced from
9 this pool?

10 A. Yes, I am.

11 MR. CARR: Are the witness's
12 qualifications acceptable?

13 EXAMINER STOGNER: If there are no
14 objections, Mr. Green is so qualified.

15 Q. (BY MR. CARR) Before we get into your
16 testimony, Mr. Green, you're going to be making
17 certain statements that relate to production from the
18 Eumont Gas Pool?

19 A. That's correct.

20 Q. Would the statements that you make and the
21 conclusions that you reach be equally applicable to
22 production from the Jalmat Gas Pool?

23 A. Yes, they are. In Chevron, the
24 production, marketing side of it, we don't
25 differentiate between Jalmat and Eumont.

1 Q. Let's go to what has been marked Chevron
2 Exhibit No. 3. Would you identify this and review it
3 for the examiner?

4 A. Chevron Exhibit 3 is a spot gas price
5 history to El Paso Natural Gas at the Waha from the
6 Permian Basin. It starts in January '91 and runs
7 through the current prices.

8 We've prepared that to show the
9 fluctuation and the movement in the natural gas spot
10 prices over the last few years, but also to point out
11 that the natural gas prices over that time have also
12 had a tendency to strengthen and become stronger in
13 the area.

14 Q. If you take this exhibit and compare it
15 back to Exhibit No. 1, what does this tell you about
16 the general trend for gas production back in, say,
17 1992?

18 A. One of the things that I would like to
19 point out in comparing this back to Exhibit No. 1
20 from Chevron, if you would, in February of 1992, the
21 natural gas market had a price collapse, if I can use
22 that term. And prices fell to almost \$1 per MMBtu on
23 the market, and then throughout the summer had a
24 steady climb back into that. If you compare that
25 with the production from the Eumont Pool in 1992, you

1 see that the production followed that demand for gas
2 in the area.

3 You'll also notice, though, that the
4 production from the Eumont Pool did not recover
5 commensurate with the prices as the prices began to
6 recover through the summer but stayed fairly flat at
7 that time.

8 We believe that that occurrence is due to
9 the prorated allowable in the pool at the time, but
10 we also see that as the success of the 600 a day
11 minimum allowable. The 600 a day minimum allowable
12 was in effect at that time, and it was also the
13 prorated allowable. And so we felt that if the
14 allowable had been smaller, as it probably would have
15 been, using the past period for adjustment, the
16 production from the full pool would have fallen much
17 lower than it did at that time.

18 Q. Let's to go Chevron Exhibit No. 4.
19 Identify this, please.

20 A. Chevron Exhibit No. 4 is a map of
21 Southeast New Mexico on which I have drawn the
22 outline of the Eumont Pool. Additionally, this map
23 depicts the Chevron Warren Petroleum Company's plants
24 and gathering systems in the area.

25 Q. Mr. Green, since NGPA price controls

1 terminated back in 1988, what changes have occurred
2 within this pool which affect Chevron's ability to
3 market natural gas from the pool?

4 A. Chevron's NGPA price controls were
5 terminated at that time, and prior to that, we were
6 dedicated to the Northern Natural Gas Company.
7 Northern Natural Gas controls the production from the
8 field in order to meet the needs of their supplies.
9 They would bring the wells on in the wintertime, cut
10 them back and shut them in in the summertime.

11 After being released from Northern Natural
12 Gas, Chevron began looking around for more than a
13 single market for its gas. At that time we started
14 developing multiple markets, and that increased the
15 demand we had from the field.

16 Pairing that up with the 600 Mcf a day
17 minimum allowable that came into it gave us some
18 opportunities. One of the opportunities we saw was
19 in the field gathering system. Prior to that time on
20 the Northern Natural Gas system, we had 60 to 70
21 pounds gathering pressure in the field. By working
22 through Northern Natural and by having the
23 opportunities afforded by the 600 Mcf a day, drilling
24 new wells, recompleting wells, increasing the
25 production into their system, we had the financial

1 incentive and they had the financial incentive to go
2 out and to make changes in the system by adding
3 additional compression, horsepower, and looping lines
4 where necessary. Today their current gathering
5 pressures are in the 16 to 28 pound categories.

6 Q. That's down from 60 to 70 pounds?

7 A. Yes, sir, down from 60 to 70.

8 Q. Does that benefit just the nonmarginal
9 production?

10 A. No, sir. This benefit affected all wells
11 connected to the gathering system, whether it was
12 marginal or nonmarginal. So as a result of the 600
13 Mcf a day minimum allowable, we also got to enjoy, as
14 everyone on the system, increased production from the
15 marginal wells out there also because of the lower
16 line pressure they had to flow the gas.

17 Q. Have you also changed gathering companies?

18 A. Yes. Most recently, we've changed our
19 market focus some, and Chevron has changed gathering
20 companies. We're in the process of connecting those
21 now. We're connecting them to our own Warren
22 Petroleum Company.

23 As you can see from Exhibit 4, Warren
24 almost completely covers the entire Eumont field
25 there with their gathering systems. And we see a

1 number of benefits from this. Warren is a wellhead
2 purchaser so the gas is purchased at the wellhead,
3 and you move back to a traditional type of gas sales
4 agreement, eliminating a lot of business burden for
5 the operator or for the producer.

6 Additionally, Warren is interested in
7 hooking up any producer or operator in the Eumont
8 field into their gathering system.

9 We see an additional advantage in that
10 Warren is more reliable because they have multiple
11 plants connected and looped together in the Eumont
12 field, as well as southeast New Mexico; so if one
13 plant goes down for some reason or another, either
14 scheduled or unscheduled, we don't lose our
15 opportunity to produce in from the field. It's
16 shifted over to their other plants, and they pick up
17 that load.

18 In addition to that, we have some
19 increased market flexibility at the tailgate of these
20 plants. Prior to that, we were marketing through the
21 Northern Natural Gas system, which was principally a
22 single market. Today at the tailgates of these
23 plants located directly in the field, we have
24 connections to Northern Natural Gas, El Paso Natural
25 Gas, Gas Company of New Mexico, and we can backhaul

1 to Waha to go in any direction we want to. At this
2 point in time, we're capable of going north, south,
3 east, or west from the Eumont field.

4 Q. Could you just briefly summarize the
5 impact that minimum allowables in the Eumont Pool
6 have had on Chevron's ability to market natural gas?

7 A. Briefly, because of the minimum
8 allowables, we've been able to go forward with our
9 planning and execute those plans and achieve results
10 in the marketing business. We've seen reduced
11 gathering pressures for the entire field, for all
12 producers in the field. We've seen increased
13 flexibility for marketing of that gas, and we've seen
14 a more stable market for that.

15 Q. In your opinion, is there a market for all
16 natural gas produced from the Eumont Pool?

17 A. Yes, there is. We see that for our gas,
18 as well as others in the field. By moving into a
19 plant such as the Warren Petroleum plants, we put
20 together large packages of gas at the plant tailgate,
21 giving us a better marketing power. These
22 consolidated packages of gas make them easier to
23 market and to meet customer needs in the natural gas
24 industry.

25 Q. What does Chevron recommend be done with

1 the minimum allowables in this pool?

2 A. We recommend they be established on a
3 permanent basis.

4 Q. Will establishment of these minimum
5 allowables on a permanent basis in your opinion be in
6 the best interest of the conservation, the prevention
7 of waste, and the protection of correlative rights?

8 A. Yes, I believe that they would be.

9 Q. Were Exhibits 3 and 4 prepared by you or
10 compiled under your direction?

11 A. Yes, that's correct.

12 MR. CARR: At this time, Mr. Stogner, we
13 move the admission of Chevron Exhibits 3 and 4.

14 EXAMINER STOGNER: Exhibits 3 and 4 will
15 be admitted into evidence.

16 MR. CARR: That concludes my direct
17 examination of Mr. Green.

18 EXAMINER STOGNER: Thank you, Mr. Carr.
19 Mr. Kellahin?

20 MR. KELLAHIN: No questions, Mr. Examiner.

21 EXAMINER STOGNER: Mr. Gallegos?

22 MR. GALLEGOS: I have no questions.

23 EXAMINER STOGNER: Mr. Morrow?

24 EXAMINATION

25 BY EXAMINER MORROW:

1 Q. From a marketing standpoint, would there
2 be a market for more than 600, minimum of 600 a day?
3 I believe I understood you to say there probably
4 would be, all the gas you can produce?

5 A. Yes, sir, that's correct. We're talking,
6 we're trying to balance two things here. We have and
7 can develop markets for what we can get from the
8 Eumont field. We're talking about the benefits that
9 the minimum allowable has allowed operators and
10 producers to eliminate one of those variables, and
11 that is what's the proration going to be when
12 developing plans.

13 So if you have a 900 a day allowable for a
14 proration unit, then that just enhances the economics
15 of production development or marketing, compression,
16 and things like that.

17 EXAMINER MORROW: That's all I have.

18 EXAMINER STOGNER: Thank you, Mr. Morrow.
19 Any other questions?

20 MR. CARR: That concludes Chevron's
21 presentation in this case.

22 EXAMINER STOGNER: You may be excused.

23 Mr. Kellahin, how long is your testimony
24 for your witness?

25 MR. KELLAHIN: Twenty minutes.

1 EXAMINER STOGNER: Let's take a ten-minute
2 recess at this time.

3 (Recess.)

4 EXAMINER STOGNER: This hearing will come
5 to order. Mr. Kellahin, your witness, I believe.

6 MR. KELLAHIN: Thank you, Mr. Examiner.

7 Mr. Examiner, I'm presenting Mark
8 McClelland. Mr. McClelland is a petroleum engineer.
9 We're appearing in support of the continuation of the
10 minimum gas allowable in the Eumont Pool.

11 MARK McCLELLAND,
12 the witness herein, after having been first duly
13 sworn upon his oath, was examined and testified as
14 follows:

15 EXAMINATION

16 BY MR. KELLAHIN:

17 Q. Mr. McClelland, for the record, would you
18 please state your name and occupation.

19 A. My name is Mark McClelland. I'm a
20 petroleum engineer.

21 Q. On prior occasions, have you qualified as
22 an expert petroleum engineer before the Division?

23 A. Yes, I have.

24 Q. With regards to the production in the
25 Eumont Gas Pool, is that production with which you

1 have some familiarity?

2 A. Yes, it is.

3 Q. Does your company operate wells in the
4 Eumont Gas Pool?

5 A. Yes.

6 Q. Are you responsible to some extent for
7 some of that production?

8 A. Yes, I am.

9 Q. As a result of your personal knowledge and
10 effort, do you have certain conclusions and opinions
11 about the minimum gas allowable the Division has in
12 place for that pool?

13 A. Yes, I do.

14 MR. KELLAHIN: We tender Mr. McClelland as
15 an expert petroleum engineer.

16 EXAMINER STOGNER: If there are no
17 objections, Mr. McClelland is so qualified.

18 Q. (BY MR. KELLAHIN) You've indicated your
19 company is an operator in the Eumont Pool? How many
20 wells does your company operate?

21 A. We operate approximately 55 wells.

22 Q. Of the total gas volume of gas produced
23 from the pool, do you know where your company ranks
24 in terms of that production?

25 A. Conoco produces approximately 10 to 12

1 percent of the total fieldwide production.

2 Q. On an acreage position, do you have an
3 approximate percentage or a ranking among the pool
4 operators as to what your acreage position is?

5 A. Yes. We rank No. 2 in acreage with
6 Chevron being No. 1. We have approximately 9,000
7 acres involved in proration units.

8 Q. The microphone won't amplify your voice;
9 so you have to speak up for us.

10 A. Okay.

11 Q. A couple of topics which have not been
12 discussed in detail yet. One is whether or not you
13 have undertaken any engineering studies to determine
14 whether or not the minimum gas allowable has been an
15 economic incentive to your company. Has it?

16 A. Yes, it has.

17 Q. Do you have an opinion, sir, as to whether
18 or not that minimum gas allowable has resulted in the
19 recovery of gas from the pool that might not
20 otherwise have been recovered?

21 A. Yes, I do.

22 Q. What is that opinion?

23 A. My opinion is that the minimum allowable
24 has caused both increased rate but also increased
25 recovery from the Eumont Gas Pool.

1 Q. Do you have an opinion, sir, as to whether
2 or not the 600 Mcf a day minimum gas allowable is an
3 appropriate benchmark or level of production at which
4 to place the minimum gas allowable?

5 A. Yes. I feel it's a very reasonable base
6 to have the allowable at.

7 Q. Let's turn to the topic of increasing
8 ultimate gas recovery out of spacing units. Do you
9 have an illustration to share with the examiner to
10 show a spacing unit where you have utilized the
11 incentive?

12 A. Yes. Today Exhibit 1 demonstrates that.

13 Q. Describe for us where we are when we look
14 at Exhibit 1.

15 A. We are looking at Section 20 in Township
16 21 South, Range 36 East. This is approximately 8 to
17 10 miles west of the town of Eunice.

18 Q. The incentive minimum allowable was
19 established in December of '90?

20 A. December 1, 1990.

21 Q. Prior to that, was there a minimum
22 allowable?

23 A. It was 300 Mcf per day minimum.

24 Q. The situation in Section 20 then prior to
25 the minimum allowable that we currently have, what

1 was the status of the spacing unit?

2 A. Prior to 1990, Section 20 was being
3 produced by three wells.

4 Q. Which three?

5 A. The first well that produced this section
6 was No. 5, located in Unit M, the southwest corner.
7 That well was completed in 1947. In 1953, well #1 in
8 Unit G. And in 1975, well #6 was added to Unit C.
9 So these three wells were produced in this pool prior
10 to this allowable increase in 1990.

11 Q. Did the minimum gas allowable provide an
12 incentive for additional work within the section?

13 A. Yes, it did.

14 Q. What was the work?

15 A. Conoco recompleted well #7 in Unit K in
16 1993. More recently, last month, we recompleted well
17 #8 in Unit E. In addition, prior to Conoco's work,
18 Citation, which operates the half section to the
19 east, the east half of Section 20, Citation
20 recompleted wells #2 and 3, Units B and A, in 1990.

21 Q. Has that work resulted in increasing the
22 rate of gas withdrawals from the section?

23 A. Yes, it has.

24 Q. In addition, has it resulted in increasing
25 ultimate gas recovery from the section?

1 A. Based on production decline, although it's
2 fairly early yet, since these wells have been
3 recompleted, we feel like it will increase ultimate
4 recovery on lease. That's based not only on the
5 recent work but also the work that was done in 1975.

6 Q. Do you have an illustration by which we
7 might see you've reached your conclusion about
8 increasing gas recoveries from the section?

9 A. If I can direct your attention to the next
10 exhibit, Exhibit 2, this exhibit is the total gas
11 rate from Section 20, all the wells added together
12 over the life of the lease. On the left is daily gas
13 rate, from 10 Mcf per day up to 10 million per day.
14 On the bottom axis is the X axis, we have cumulative
15 gas production ranging from 4 Bcf out to 36 Bcf.

16 The intent of this exhibit is to
17 demonstrate that additional reserves are being
18 recovered through infill development.

19 Q. Show us how to read this display and
20 understand how you to reached that your conclusion.

21 A. You'll see three straight lines that I've
22 drawn on this production graph. The first line has
23 320-acre spacing. This is an estimate of the
24 recovery that would have occurred with only the first
25 two wells producing, wells #1 and 5. Under that

1 estimate we are looking at approximately 21, 22 Bcf
2 ultimate over by projecting out those two wells'
3 decline.

4 You'll notice production increased in
5 1975. That was the addition of well #6. And you can
6 see the corresponding decline.

7 With three wells off production, if you
8 divide three into 640, you get 213-acre spacing.
9 You'll see how it's forecasting out at approximately
10 31 Bcf recovery.

11 Since 1990, since the allowable increase,
12 there's been three more additional wells added. The
13 fourth one I spoke of in January of this year is not
14 yet shown on this plot. But the three additional
15 wells have resulted in an additional 4 Bcf ultimate
16 recovery we're forecasting; that is, from 31 to 35
17 Bcf.

18 So I feel that this exhibit demonstrates
19 that not only does infill development cause
20 additional rate, but also it's causing additional
21 recovery in the Eumont Gas Pool.

22 Q. When you look at the line that's
23 identified by the 1993 arrow, and you've extrapolated
24 a forecast of ultimate recovery from that decline
25 curve, it has a number 7 in parentheses. What does

1 that mean?

2 A. That production increase is associated
3 with well #7. Well #7 was recompleted, and that
4 production came on line. That's why your production
5 jumps up in those two months.

6 Q. The incremental difference between the 3.1
7 Bcf and going up to the 3.5 Bcf, is that an
8 adjustment attributed only to the recompletion of the
9 No. 7?

10 A. Actually, it's from 31 Bcf to 35 Bcf, but
11 that additional incremental is associated with
12 production from wells #2, 3 and 7. So you could say
13 there was additional 4 Bcf recovered due to 3
14 recompletions.

15 Q. Do you have another example in the pool?

16 A. I've included with this package two
17 additional examples. Exhibit No. 3 is Section 34,
18 Township 21 South, Range 36 East.

19 In this section, 34, the Eumont
20 encompasses three-fourths of the section, the Jalmat
21 makes up the lower, the southwest quarter. If we
22 just concentrate on the Eumont in this example,
23 Chevron operates this 480-acre unit. It's the W.A.
24 Ramsey NCTA lease. Again, what we have here, which
25 is fairly typical of Eumont development, was one or

1 two wells initially produced the proration unit.

2 In this example well #14 in Unit F was the
3 original well completed in 1954. This well has since
4 cum'd 11.7 Bcf. You will note since 1990, Chevron
5 has recompleted four additional wells, 27, 48, 24,
6 and 28. Those wells were all completed in 1990
7 through 1993. Underneath that completion date, I've
8 shown a cumulative gas production associated with
9 each well, for example, well #27, .3 Bcf since 1991.
10 And if the well is fairly recent, I've shown the
11 rate. So well #48 is producing 570 Mcf per day. It
12 was recompleted in 1993.

13 Q. Have you examined the data in this section
14 to determine whether or not you have an engineering
15 opinion about the additional production being
16 attributable to increasing ultimate gas recovery or
17 simply being a rate acceleration?

18 A. Yes, I have an opinion on that, and I'll
19 refer you to the next exhibit.

20 Q. All right, sir. What is your opinion?

21 A. Exhibit No. 4. Again, this is similar to
22 the previous exhibit I showed where the increase in
23 rate is demonstrating also an increase in recovery
24 from the reservoir. It's not strictly acceleration
25 in the Eumont Gas Pool.

1 Q. How do you support that conclusion?

2 A. If it was strictly acceleration, you would
3 expect your ultimate recovery not to change when you
4 infill space, when you downspace your acreage size.
5 But we are, as we've shown in Section 20 and also
6 here, we're actually increasing recovery above and
7 beyond what the original projection was.

8 Q. Do you have another example?

9 A. Exhibit 5.

10 Q. All right, sir.

11 A. Again, a Chevron example, Section 35.
12 This is a 640-acre proration unit. This one is not
13 quite as clean as the previous two. The original
14 well was well #20 in Unit E completed in 1956. In
15 this example, there were several wells brought on
16 line in the 1970's, one well in early 1980, and one
17 recently in 1991, but, again, if I refer you to
18 Exhibit 6, which is the production decline curve for
19 this total lease, you see a series of incremental
20 production increases associated with the infill
21 development. The most recent since the allowable
22 increase has resulted in an additional 2.4 Bcf, 2.4
23 Bcf additional recovery.

24 Q. Do you have an opinion as to whether 600
25 Mcf a day as the minimum gas allowable is an

1 appropriate rate for this reservoir?

2 A. Yes, I feel it is appropriate.

3 Q. As an incentive to do additional work and
4 thereby recover additional gas?

5 A. That is correct.

6 Q. What is your opinion?

7 A. I feel that the 600 minimum gives a base
8 to work your economics off of, to look at your
9 projects, and if you have the economic incentive to
10 do them, then you go ahead and proceed with that, but
11 also the 600 Mcf a day does not allow for
12 overdevelopment. It does apply some brakes to
13 development. You can't go out and drill a 40-acre
14 proration unit and expect a one-year payout on it.
15 You'll have to suffer the three- or four-year payout
16 to do that.

17 Q. Have you gone back and examined the past
18 work to see if the 600 Mcf a day was in fact an
19 incentive for the work?

20 A. Yes, I have.

21 Q. What conclusion did you reach?

22 A. In the previous examples I've shown you,
23 we saw an increase in development activity in all
24 three sections that occurred at or beyond the 600 Mcf
25 a day allowable increase. And also in Conoco's case,

1 I have three samples to show you, exhibits, where the
2 600 Mcf a day has supplied sufficient economic
3 incentive to do work that otherwise would not have
4 been done.

5 Q. We've seen an increase in ultimate
6 recovery. Let's examine now whether it is economic
7 for you to increase that ultimate recovery. If
8 you'll look at Exhibit 7, describe for us what you're
9 showing.

10 A. Exhibit 7 is just a summary slide that
11 shows economic parameters that I looked at in
12 evaluating a remedial opportunity on the State C-16
13 No. 1.

14 Q. This is a well for which the work has
15 already been done?

16 A. That's correct.

17 Q. Describe for us the cost of the work and
18 what the work was.

19 A. This was a simple stimulation of an
20 existing producer in the Eumont Gas Pool. We went in
21 and CO₂ sand frac'd the Queen completion.

22 Q. What was the cost of doing that work?

23 A. \$90,000.

24 Q. Before we had the incentive of minimum
25 allowable of 600 Mcf a day and you were using the

1 base allowable of 300, would that project have been
2 economic?

3 A. No, it would not. Under the prior base
4 allowable, the third paragraph down in this data set,
5 you'll see a project payout of over nine years.
6 There was not sufficient economic incentive to
7 stimulate this well under the prior base allowable.

8 Q. The payout was too long?

9 A. Correct.

10 Q. Under the incentive allowable, the 600 Mcf
11 a day minimum, what is the economic analysis?

12 A. As I've shown there, the payout is 1.5
13 years.

14 Q. Was that sufficient to cause the work to
15 be done?

16 A. Yes. We did this work in November 1993.

17 Q. Do you have any other examples?

18 A. I've got two more examples. The next
19 example, Exhibit No. 8, is a recompletion evaluation,
20 again, same type of demonstration. Under the prior
21 base allowable, there was no economic incentive to do
22 this work. This is the recompletion of the State
23 C-20 No. 7, which we showed you in the first slide,
24 back in Exhibit 1. This is the State C-20 lease.

25 Q. The recompletion on this well involves

1 doing what?

2 A. On this well, it was temporarily
3 abandoned, having produced a depleted deeper oil
4 zone. All we did was perforate and sand frac the
5 Eumont in two stages.

6 Q. The cost of that project?

7 A. \$167,000.

8 Q. Would that have been economic at 300 Mcf a
9 day?

10 A. No. We had no economic incentive to do
11 that work under the base allowable because current
12 production was actually above the base allowable of
13 300 Mcf a day.

14 Q. So you could have done the work and not
15 had enough allowable left over to allow the well to
16 produce?

17 A. Well, if we would have done the work, we
18 would have shut the well in. There would have been
19 no reason for us to produce it. We would have been
20 overproduced, that's correct.

21 Q. So with a 600 minimum allowable, what is
22 the economics?

23 A. It's a half-year payout, .5 year payout.

24 Q. And that matched Conoco's economics?

25 A. Yes.

1 Q. And you did the work?

2 A. That's correct.

3 Q. Any other examples?

4 A. One final example, Exhibit No. 9. This is
5 a drilling economic analysis. Again, a simple payout
6 calculation on the Meyer B-8 lease. That is a
7 160-acre proration unit. Under the prior base
8 allowable, the payout on this project would have been
9 2.67 years. Under the current base allowable, 600
10 Mcf a day, the payout was one year, 1.0 years, and we
11 did the work. December 30, 1993, this well was
12 hooked up to sales, producing approximately 700 Mcf
13 per day.

14 Q. Are these unusual examples in the Eumont?

15 A. No. These are fairly typical.

16 Q. Let's turn now and have you review for us
17 the level of activity that your company has
18 undertaken for '93 and what you have planned for '94
19 if the Division continues or makes permanent the
20 minimum gas allowable incentive?

21 A. In Exhibit 10 I've summarized the work that
22 we did in 1993. Conoco undertook 16 recompletion
23 remedials, 4 drilling wells, resulting in production
24 increase of 8.4 million cubic feet per day and an
25 additional -- we're estimating additional recovery of

1 some 15 Bcf for this work.

2 In 1994, we're actually increasing the
3 pace of development. We have some 15 to 20
4 recompletion remedials planned, 6 drilling wells,
5 and, again, I've shown the investment and associated
6 additional recovery for this work.

7 Q. Is the '93 work work that would have been
8 done in the absence of an incentive?

9 A. Some of that work would have been done,
10 yes, but not all of it.

11 Q. And the planned work for '94, is that a
12 direct result of having the expectation that this
13 incentive continues?

14 A. That's correct.

15 Q. Are you experiencing any gathering line
16 problems, any capacity problems within the pool in
17 order to take the additional gas out of the
18 reservoir?

19 A. No, we are not.

20 Q. Are you aware of any kind of marketing
21 difficulties for your company to take this additional
22 gas and take it to market?

23 A. No. The gas pipeline, the gathering
24 pipelines have become very competitive in the area,
25 and we have no problem selling our gas.

1 Q. Do you have a recommendation to the
2 examiner concerning this issue of the continuation of
3 the 600 Mcf a day minimum gas allowable incentive?

4 A. Conoco supports permanent adoption of the
5 600 Mcf per day minimum allowable.

6 Q. Why do you urge the Division to adopt this
7 on a permanent basis?

8 A. As you can see, the results have been
9 favorable. We see no reason why the results would
10 not be favorable from here on out for this pool.

11 Q. Does the making permanent of the minimum
12 allowable provide any type of regulatory stability so
13 that you can count on a certain volume of gas being
14 available, that if the wells will produce that, you
15 can in fact take it to market?

16 A. Yes, it does.

17 Q. So if the minimum allowable continues, you
18 don't have to worry about what that allowable is
19 going to be in order to have some incentive to do the
20 work?

21 A. That's correct. And, again, it supplies a
22 base economic evaluation platform to look at our
23 work, to evaluate and plan our work.

24 MR. KELLAHIN: That concludes my
25 examination of Mr. McClelland. We move the

1 introduction of his Exhibits 1 through 10.

2 EXAMINER STOGNER: Are there any
3 objections? Exhibits 1 through 10 will be admitted
4 into evidence. Thank you, Mr. Kellahin.

5 Mr. Carr, your witness?

6 MR. CARR: No questions.

7 EXAMINER STOGNER: Mr. Gallegos?

8 MR. GALLEGOS: No questions.

9 EXAMINER STOGNER: Mr. Morrow?

10 EXAMINATION

11 BY EXAMINER MORROW:

12 Q. I wanted to ask you about the decline
13 curve that you constructed. Did you take into
14 consideration the effect that gas proration might
15 have had on those declines? Did you look and see if
16 the decline might have been affected, be lower than
17 you really wanted prorationed?

18 A. No, I did not. I did look at the
19 individual well declines on each lease, though.

20 Q. You felt like the well was actually
21 declining in capacity instead of just declining in
22 ability to produce because of proration?

23 A. That's correct. The wells had a fairly
24 stable decline to them. I didn't feel like it was
25 market restricted.

1 Q. Or proration?

2 A. Proration restricted.

3 Q. Does that indicate to you that one well to
4 160 probably wouldn't properly drain the acreage that
5 you looked at here; is that correct?

6 A. That is what we're finding in our leases.
7 We're really targeting some 80-acre development
8 currently, and we're having a lot of success drilling
9 80-acre diagonal offsets to wells that have been
10 producing since 1955.

11 I think a combination -- there is another
12 factor, and that's completion efficiency. I think
13 our completions today are more efficient. They
14 result in lower producing bottomhole pressures. And
15 we're getting better drains on our new wells than we
16 are in our older completions.

17 Q. More compression, I guess? I believe you
18 feel like 600 would hit it just right with 600? Is
19 that your feeling?

20 A. That is my feeling.

21 Q. I believe you indicated that you didn't
22 think it ought to be more than that, the minimum,
23 because it would cause too dense a development?

24 A. That's correct.

25 Q. There was one of the workovers where you

1 said I believe it was shut in, No. 8 -- No. 7 was
2 shut in before the workover. Was that --

3 A. That's correct.

4 Q. And I guess you wouldn't have done that?
5 You would have let the other wells produce it? Would
6 that have been your decision if we had not had the
7 600?

8 A. That's correct.

9 EXAMINATION

10 BY EXAMINER STOGNER:

11 Q. With that line of questioning, referring
12 to your Exhibit No. 10, in 1993, you had 16
13 recompletions and remedials. Of the recompletions,
14 were those wells currently producing from the lower
15 zone, or were they shut in or plugged and abandoned?

16 A. Some of those wells were T & A'd. The
17 majority of those wells were T & A'd wells that we
18 came into. A lot of these wells had produced at
19 Grayburg, a deeper Grayburg zone, and watered out.

20 Q. So they were existing wellbores that had
21 no production?

22 A. That's correct.

23 EXAMINER MORROW: Did you say what your
24 production is now compared to what it was in December
25 of '91?

1 THE WITNESS: In December '91, our
2 production was approximately 14 million cubic feet
3 per day. Right now, we are just now starting to show
4 a production incline, and we're about back up to
5 around 14 million per day. We declined from 1990 all
6 the way down through mid-1993. We reached a low of
7 about 9.3 million cubic feet a day. So since we're
8 starting to turn that back around and start inclining
9 production.

10 Q. (BY EXAMINER STOGNER) Under example for
11 Exhibit No. 1 -- the reason I choose that one because
12 that's about the only you show that Conoco had -- you
13 had four wells on a 320-acre proration unit with the
14 first one, No. 5, being in 1947, and then the second
15 one, the No. 6 in 1975, and you had '93 and a '94
16 completion with Nos. 7 and 8, were those
17 recompletions, or were those new drills?

18 A. Those were both recompletions. Both
19 wellbores were T & A'd at the time.

20 Q. On your new drill program, what would the
21 factors be to drill a new well, other than the
22 obvious, that there's not a present T & A'd well out
23 there at that particular location?

24 A. The factors that I look at are, number
25 one, how the current well in that proration unit is

1 doing; what it will recover; how it was stimulated or
2 completed; what the offset activity is; what the
3 shut-in wellhead pressure is on the current well in
4 that proration unit. Those are some of the factors
5 I'd look at in making an evaluation.

6 You have to make a decision whether or not
7 it's worth trying to stimulate your existing wellbore
8 or your money, you had to go ahead and drill yourself
9 a new wellbore. With a new wellbore, you can do
10 larger stimulations and get a little better
11 completion on the new wellbore than you can an older
12 wellbore.

13 Q. On Exhibit No. 10 again, you showed the
14 1994 work plan with 15 to 20 recompletions or
15 remedials, and then 6 to 10 new wells. Is this
16 pretty much the program that Conoco plans to follow
17 at this present time?

18 A. Yes. Currently, we have a six-well
19 package that we expect to spud on March 1st. In
20 addition, we have 12 workovers; that is, remedial
21 recompletion-type projects that are either being
22 AFE'd or out to partners for approvals.

23 EXAMINER STOGNER: Any other questions of
24 this witness? He may be excused.

25 Mr. Kellahin, do you have anything

1 further?

2 MR. KELLAHIN: No, sir.

3 EXAMINER STOGNER: Mr. Gallegos?

4 MR. GALLEGOS: Mr. Examiner, at the outset
5 we would like to request that the Examiner take
6 administrative notice of the testimony and exhibits
7 that were presented in this case on, I believe it was
8 November 14, 1990, and be made part of the record
9 here.

10 EXAMINER STOGNER: That was the hearing
11 which resulted in Order No. R-8170-J?

12 MR. GALLEGOS: That's correct.

13 EXAMINER MORROW: I thought there were two
14 different hearings, Mr. Gallegos. That's my memory
15 of the Jalmat and Eumont.

16 MR. GALLEGOS: What I referred to would be
17 the hearing that was in Case 10111, which was the
18 Jalmat case.

19 EXAMINER STOGNER: Just the Jalmat
20 portion; is that correct?

21 MR. GALLEGOS: Yes, that's correct.

22 EXAMINER STOGNER: I'll take
23 administrative notice of the record and the order
24 issued in that case.

25 MR. GALLEGOS: Doyle Hartman would call

1 two witnesses, Dr. Craig Van Kirk and Mark Perry.
2 Could we have them sworn at this time?

3 EXAMINER STOGNER: I believe they were
4 sworn earlier, were you not?

5 MR. GALLEGOS: Okay. We call Dr. Van Kirk.

6 CRAIG Van KIRK,
7 the witness herein, after having been first duly
8 sworn upon his oath, was examined and testified as
9 follows:

10 EXAMINATION

11 BY MR. GALLEGOS:

12 Q. State your name, please.

13 A. My name is Craig Van Kirk.

14 Q. Where do you live?

15 A. Near Denver, Colorado.

16 Q. Could you tell the Commission about your
17 education, please.

18 A. Yes. I've got three degrees in petroleum
19 engineering, bachelor's, master's, and Ph.D.

20 Q. What is your present occupation, Dr. Van
21 Kirk?

22 A. I'm a professor at Colorado School of
23 Mines in the Petroleum Engineering Department. I'm
24 also department head, and I'm a consultant also.

25 Q. You have not previously testified before

1 the New Mexico Oil Conservation Division, have you?

2 A. No.

3 Q. Just briefly, would you give your
4 experience in the industry.

5 A. I began my full-time employment in the
6 late '60's with Humble Oil and Refining Company,
7 which is now known as Exxon, in California. In 1969,
8 I moved to Denver, Colorado, and worked for Shell Oil
9 Company as a reservoir engineer for five years. And
10 in 1974, left Shell and worked in the consulting mode
11 with a large consulting firm internationally as a
12 reservoir engineer. And in 1978, I left industry to
13 go to Colorado School of Mines to be a professor.

14 Q. And have you been accepted as an expert
15 witness to give your testimony before regulatory
16 agencies or commissions in other states?

17 A. Yes.

18 Q. Are you familiar with the production
19 history of the Jalmat and Eumont Pools?

20 A. Yes, sir.

21 Q. Are you familiar with the processing
22 plants, gathering and other production area
23 facilities for those pools?

24 A. Yes.

25 Q. Are you familiar with this application

1 here that seeks continuation of the Special Rule 8
2 for the Eumont and Jalmat Pools?

3 A. Yes, I am.

4 Q. Are you employed by Doyle Hartman to
5 appear as an expert witness to give testimony in
6 behalf of those applications?

7 A. Yes.

8 Q. Is Doyle Hartman an operator of wells in
9 both those pools?

10 A. Yes, he is.

11 Q. Can you tell the Commission approximately
12 how many wells he operates, combined, in those two
13 pools?

14 A. I would estimate approximately 35.

15 MR. GALLEGOS: We tender Dr. Van Kirk as
16 an expert.

17 EXAMINER STOGNER: Dr. Van Kirk is so
18 qualified.

19 Q. (BY MR. GALLEGOS) Dr. Van Kirk, would you
20 take before you Exhibit No. 1? What does that show?

21 A. This is a cartoon, and I don't mean that
22 to be a comedy, but it's a schematic cross-sectional
23 view of the Jalmat Gas Pool on the south and the
24 Eumont Gas Pool on the north to show in
25 cross-sectional view the geological formations that

1 are productive in the areas.

2 The Jalmat Gas Pool produces from the
3 Tansill, Yates, and Upper 7-Rivers formations, and
4 the Eumont Gas Pool, not the Tansill, but the Yates,
5 Upper and Lower 7-Rivers, and also the Queen. So
6 there's a lot of overlap in the formations that they
7 produce gas from.

8 Q. Any other significance to this proceeding
9 demonstrated by that exhibit?

10 A. Not so terribly significant. You will
11 notice that the Langlie-Mattix Oil Pool underlying
12 Jalmat and the Eunice Monument Oil Pool underlying
13 the Eumont Gas Pool are oil reservoirs naturally
14 occurring underneath the gas caps.

15 Q. Are you familiar with what was believed to
16 be the initial recoverable reserves from these pools?

17 A. Yes. This area has been estimated to
18 contain reserves approximating 10 trillion cubic feet
19 of gas.

20 Q. What is calculated to be the present
21 reserves for the pool?

22 A. The remaining reserves can be estimated by
23 different people at different amounts but approaching
24 another Tcf, perhaps 700 Bcf.

25 EXAMINER MORROW: Is that both pools or

1 just the one?

2 THE WITNESS: That would be both of them
3 together.

4 EXAMINER MORROW: Thank you.

5 Q. (BY MR. GALLEGOS) Would you take side by
6 side and address jointly Exhibits 2 and 3, first
7 describing to the examiner what those exhibits show.

8 A. The Exhibit 2 is a depiction of the Jalmat
9 Gas Pool and its recent pressure history from 1970 up
10 through 1992. And the pressures are plotted on the
11 left-hand vertical axis, and you'll notice these are
12 shut-in wellhead pressures plotted versus cumulative
13 production from 1970. And after 1992, the most
14 recent information we have plotted on this graph, we
15 have extrapolated what we estimate to be a reasonable
16 trend of pressure versus cum production for the
17 future for the Jalmat Gas Pool.

18 The cumulative production from the Jalmat
19 at the end of 1992 was almost 2 Tcf. The remaining
20 reserves, you can see according to Exhibit 2, is
21 estimated at approximately 400 billion cubic feet of
22 gas, .44 Tcf.

23 Exhibit 3 shows a similar relationship for
24 the Eumont Gas Pool, again, its pressures from 1970
25 through 1992 plotted versus cum'd production, and its

1 cumulative production through 1992 of approximately 2
2 Tcf and remaining reserve there of nearly -- I
3 shouldn't say nearly -- I'd say about 800 Bcf. These
4 are estimates of remaining reserves in these two
5 pools.

6 Q. Dr. Van Kirk, do you draw any conclusions
7 from the early decline curves to what appears to be a
8 flattening of those curves?

9 A. Yes. It's a very interesting observation,
10 and it's common on earth in oil- and gas-producing
11 basins to notice as a gas reservoir or a gas field is
12 nearing depletion at low pressures, that it's a
13 common occurrence that the pressure decline does not
14 continue in a straight line.

15 And you'll notice these two exhibits show
16 that the pressure trends throughout the '70's did not
17 continue through the '80's, and we don't forecast it
18 to continue into the '90's either. The pressures are
19 declining less rapidly as time goes on, and
20 therefore, consequently, the estimated ultimate
21 recovery in remaining reserves that one would
22 estimate today are significantly higher than one
23 might have estimated in the 1970's.

24 Q. And what significance, in your opinion,
25 does that have as to the issues before this

1 commission concerning the minimum allowables?

2 A. These exhibits in themselves demonstrate
3 that there are significant reserves remaining, higher
4 than might have been estimated a few years ago.
5 We'll have to look at other exhibits and discuss
6 other things like allowables and production rates to
7 tie it all together.

8 Q. Have you had an opportunity to make some
9 observations and studies of the allowables and
10 production trends in these pools prior to 1991, prior
11 to this minimum allowable rule coming into place?

12 A. Yes.

13 Q. Just generally, I want to refer you to
14 some of the exhibits we have here, but do you have
15 some general observations as to the effect on that
16 pool and on the production rates as a result of the
17 way the allowables were impacting it prior to the
18 rule in January of 1991?

19 A. That's correct.

20 Q. What are your general observations in that
21 regard?

22 A. Well, I would refer you to Exhibit 4,
23 which is a group of pages stapled together, and also
24 Exhibit 5. In fact, I would first refer to Exhibit
25 5. This is a depiction of the production, actual

1 production rate from the Jalmat Pool going back to
2 1975. And that's shown on the upper curve. And you
3 can see it labeled on the upper left-hand corner of
4 the graph, Total Jalmat Pool Production.

5 And you'll notice that throughout the
6 middle to late '70's and into the early '80's, there
7 was a fairly predictable production decline trend at
8 that time, but then in the early 1980's, 1982 and
9 throughout the 1980's, wild fluctuations in the
10 actual production in Jalmat.

11 Now if you'll refer to Exhibit 4, this is
12 a depiction on the first page in the upper half of
13 this page, the nonmarginal allowables from 1980
14 through the '80's and up to the early part of 1994.
15 And you'll notice that in 1980, '81, and '82, the
16 allowables were fairly constant. And back to Exhibit
17 5 then you'll see that in those years also the actual
18 production from Jalmat was relatively constant,
19 continuing the decline trend that had been set up in
20 prior years in the 1970's.

21 The wild fluctuations in the middle of the
22 1980's shown on Exhibit 5 in a great part were a
23 result of fluctuations on the allowables shown on
24 Exhibit 4 in the middle 1980's. In fact, they fed
25 each other. With decreased production there were

1 decreased allowables, and then, naturally, with
2 decreased allowables there was decreased production
3 also.

4 Exhibit 4 also then shows that January 1,
5 1991, with the minimum allowable having been
6 increased to 600 Mcf per day at Jalmat. If you'll
7 look then on Exhibit 5, you'll see in 1991, 92, and
8 93, not only higher levels of production from Jalmat,
9 in great part resulting from the increased minimum
10 allowable, but also, again, a fairly steady decline
11 without wild fluctuations.

12 Q. Besides the mere fact of higher levels,
13 does the stability of these production levels have
14 some bearing on the development that will be
15 undertaken by operators in the pool?

16 A. I think the stability of the production
17 levels is a reflection of the confidence that
18 operators would have in developing wells and spending
19 money to drill new wells or recomplete old wells or
20 fix up handicapped wells.

21 The Exhibit 4, showing the constant or
22 fairly constant allowables from 1991, is the support
23 for the increased activity and resulting in higher
24 production rates that you see on Exhibit 5, 1991, 92,
25 and 93.

1 Q. Is there anything else of significance
2 that you want to point out on the first page of
3 either Exhibit 4 or Exhibit 5?

4 A. Well, Exhibit 5 also does show in the
5 lower portion of the graph Hartman's production
6 beginning in 1976, and increasing throughout the
7 '70's, and peaking in the mid-1980's. This shows
8 his portion of Jalmat production. And his activity,
9 naturally, was influenced by allowables through the
10 years, and his interest in continuing operations are
11 influenced by allowables, naturally.

12 Q. And does it show that the Hartman
13 production is tracking since about 1989 pretty much
14 on a parallel with the total pool production?

15 A. Yes. As a matter of fact, in February of
16 1989, these particular wells that Hartman had drilled
17 from 1976 through 1985 were sold to Meridian. And
18 this plot, Exhibit 5, shows that those wells continue
19 to produce, but they are now operated by Meridian.
20 They're no longer operated by Hartman.

21 Q. Would you go now to the second page of
22 Exhibit 5 and of Exhibit 4 and explain what those
23 show?

24 A. Yes. This is the same type of information
25 on both of the exhibits, but rather than for the

1 Jalmat Pool, the second pages reflect the same kind
2 of information for the Eumont Pool. And my
3 description of the allowable history for Eumont would
4 be very similar to the description for the allowable
5 history on the Jalmat Pool, which I just gave.

6 The second page in Exhibit 5 shows the
7 Eumont Gas Pool production from 1975 through 1993.
8 And you'll notice in the last few years, 1991, 92,
9 and 93, in fact the Eumont's production is not
10 declining. It's somewhat increasing, slightly
11 increasing.

12 Q. Is the rest of Exhibit 4, the third page,
13 simply an averaging of the two pools, showing the
14 same kind of information but averaging the Eumont,
15 Jalmat?

16 A. Yes. If you'll go to the third page in
17 Exhibit 4, what we've done here is plotted a weighted
18 average of the allowables from both the Eumont and
19 Jalmat Pools together. And those computations are
20 shown on the next several pages of tables. And the
21 conclusion that you reach from the weighted average
22 for the two pools combined is the same conclusion
23 you'd reach from looking at either pools
24 individually.

25 Q. Are you of the opinion that in order to

1 address allowables and rates of production, it's
2 reasonable and necessary to consider the pools
3 together in combination?

4 A. Yes. Geologically, they are the same
5 pool, only because of the way they were developed
6 many decades ago do they have different names and the
7 boundary between them, but in nature and in our
8 production practices, that boundary is not noticed.

9 Q. Let's turn, if you will, then, Dr. Van
10 Kirk, to Exhibit No. 6. As we look at that exhibit
11 and get into what is shown there, let me ask you this
12 question. Have you attempted to analyze on the issue
13 of a minimum allowable what is an optimum minimum
14 allowable for these pools?

15 A. Yes, I have addressed that question.

16 Q. Do you have a conclusion?

17 A. Yes.

18 Q. What is that?

19 A. It appears that 600 Mcf per day minimum
20 allowable is very close to an optimum. It is
21 impossible to mathematically compute an exact optimum
22 allowable, but it appears that 600 is quite close.

23 Q. Does the economic study illustrated on
24 Exhibit 6 support that conclusion?

25 A. Yes.

1 Q. Would you explain the exhibit?

2 A. Yes. The intention of Exhibit 6 and the
3 several pages attached is to demonstrate the effect
4 of the allowable rate on the economics of wells.

5 And we're looking at, for example, in this
6 Exhibit 6, a typical well or an average well. And if
7 you look at the left-hand column, the different
8 allowable rates, we've run several different cases.
9 In fact, I think there's six different cases that
10 we've run at different allowable rates, and then
11 estimated the gross reserves per well, the payout
12 undiscounted, the payout in years if you discounted
13 at 9 percent discount factor, the life of such a well
14 in years, and then the return on investment, again,
15 discounted at 9 percent.

16 These numbers shown here in the first page
17 of Exhibit 6 are a summary of several pages in the
18 back. In fact, if you go to the very back page of
19 this Exhibit 6, in the upper left-hand corner of that
20 page, the very upper left-hand corner, you'll see the
21 700 Mcf per day. That is the economic cash flow for
22 the scenario where we assumed 700 Mcf per day as the
23 minimum allowable.

24 And then in putting into this computer
25 program to do an economical calculation on an annual

1 basis, the estimated production rates, estimated cost
2 to drill and complete, the estimated prices of oil
3 and gas, we compute then the profit, the payout, the
4 return on investment, and the results of this run on
5 the last page of Exhibit 6 are summarized then back
6 on the first page of Exhibit 6 for the case allowable
7 rate of 700 Mcf per day.

8 So all of the pages in the very back of
9 this exhibit are the detailed computations that
10 result in the table on the first page of Exhibit 6.
11 And I'd like to discuss these results and what they
12 mean by referring to the second page of Exhibit 6
13 because it shows the table then plotted, and I think
14 it's a little bit easier to see and understand what
15 the computed results mean.

16 The second page of Exhibit 6, the left
17 axis is payout in years. These are numbers of years
18 it takes for a well to pay out under the different
19 allowable scenarios. The horizontal axis shows the
20 allowable rate, and we've assumed six different
21 cases, 200 Mcf per day being the minimum allowable
22 case, and 300, 400, 500, up to 700 as the maximum
23 case that we ran.

24 The right-hand vertical axis shows the
25 return on investment discounted at 9 percent.

1 The payout in years for these different
2 cases is shown in two different ways, either
3 undiscounted or discounted. Now, unfortunately, the
4 labeling that I've got in my copy and probably in
5 your copies is incorrect, and I'll have to show you
6 how to make it correct.

7 Q. Yes, let's make the correction there.

8 A. If you'll notice underneath the horizontal
9 axis, we've got a legend down here, solid black
10 square, payout in years, that should be
11 undiscounted. So we need to write "undiscounted"
12 underneath the black squares, payout in years.

13 And then the next portion of the legend
14 has a black circle, payout in years, it says
15 undiscounted. That's incorrect. You need to scratch
16 out undiscounted and put underneath that discounted
17 at 9 percent. Then we can read the graph, I think,
18 correctly.

19 If you'll look at the payout in years
20 discounted at 9 percent, the black circles, that
21 would be the top curve on this graph. And it shows
22 that if you had a minimum allowable of 200 Mcf per
23 day, the payout would be a little over six years.
24 That's the black circle. But if you increase the
25 minimum allowable to 300 Mcf per day, the payout

1 drops to a little less than four years.

2 And as you increase the minimum allowable
3 from 300 up to 400, 500, 600, and 700 Mcf per day,
4 you can see the payout decreases, and you can see
5 it's approaching 1-1/2 years at 700 Mcf per day
6 minimum allowable.

7 If you consider undiscounted payout at 200
8 Mcf per day minimum allowable, you see five years.
9 It's a little faster than if you discount the
10 moneys. Then the black squares, that curve continues
11 somewhat parallel to but converging with the
12 discounted payout curve. And over at 600 and 700 Mcf
13 per day, the two curves are converging and leveling
14 out.

15 Also then if you look at the return on
16 investment, the black triangles, if the minimum
17 allowable is only 200 Mcf per day, the return on
18 investment is read on the right-hand vertical axis as
19 being something slightly less than 3. And as the
20 minimum allowable increases towards 700, you can see
21 the return on investment increases, becoming
22 asymptotic, to approximately 3.5.

23 Q. Would it be your observation that once you
24 get into that 500 to 700 range, your economics are
25 beginning to not have that significant a difference?

1 A. That's correct. And that is why I
2 conclude that 600 Mcf per day, the minimum allowable
3 which has been in effect for the last three years, is
4 a reasonable, optimum value to choose. A number
5 slightly different from that would not make very much
6 difference, whether it be slightly more or slightly
7 less than 600.

8 Q. Does the third sheet of this exhibit, of
9 Exhibit 6, contain information on well cost and
10 development?

11 A. Yes. The lower half of the third page
12 lists the prices for gas and oil and the well costs
13 and operating costs that we have included in our
14 economic calculations.

15 Q. Let me, if I may, draw your attention to
16 Exhibit 7. I think you'll observe that it's the same
17 information, same data sheet, only presented as a
18 separate, freestanding exhibit, is it not?

19 A. Yes, that's correct.

20 Q. What is the purpose of Exhibit 7?

21 A. Exhibit 7, we have separated out,
22 primarily to show you some slight errors that we have
23 incorporated into the exhibits, just in case anyone
24 would want to look carefully, I have found a few more
25 mistakes in some of the numbers that are shown in the

1 exhibits, but they don't affect the conclusions in
2 any way, and they don't affect significantly the
3 economic computation results or anything else.

4 Q. What are those corrections?

5 A. They're in the oil and gas pricing that
6 you see in approximately the center of the page, the
7 lower half of the page. If you look at Item III, gas
8 pricing, in 1994, your Exhibit 7 shows the price of
9 gas used was \$2 per Mcf. That's not correct. What
10 we actually used was \$1.89 in these calculations.

11 In 1995, your exhibit shows \$2.12, and we
12 didn't really use that. We used \$2.00 even, \$2.00
13 per Mcf in 1995. In 1996, your exhibit shows \$2.25.
14 That is incorrect. It should be \$2.12. In 1997 your
15 exhibit shows \$2.39. That's incorrect. It should be
16 \$2.25. In 1998 your exhibit shows \$2.53. That's
17 incorrect. It should be \$2.39.

18 You can see that in fact the error was
19 that in transferring the information from our actual
20 economic runs, the prices were offset by a year by
21 accident.

22 Q. Did the same thing happen on the oil
23 prices?

24 A. Yes. They're offset by a year also.

25 Q. So what should have been the beginning

1 1994 oil price that was used?

2 A. Instead of the \$15.90 shown on your
3 Exhibit 7, it was \$15 even.

4 Q. And then each one would be moved a space?

5 A. Yes. If you'll take the \$15.90 and simply
6 move it to the right for 1995, that would be the
7 correct value for 1995, and move all of the numbers
8 to the right one year.

9 Q. In your opinion, does this error just
10 serve to simply make your economic evaluations a bit
11 more conservative?

12 A. That's right. The difference that it
13 would make in the economic computations, I have done
14 those calculations prior to today's hearing, and it
15 makes a difference of 3 percent in the present value
16 profit, and it would shift all the curves that we've
17 been discussing on Exhibit 6, it would affect those
18 economic results by approximately 3 percent. And
19 that is relatively insignificant, and in fact each of
20 the cases would be affected approximately the same.
21 So the conclusion would be the same. 600 Mcf per day
22 is approximately the optimum minimum allowable.

23 I apologize for the mistake in the
24 transferring of the numbers.

25 Q. If you would, Dr. Van Kirk, let me draw

1 your attention to Exhibit 8 and ask you to explain to
2 the examiner what that shows?

3 A. Exhibit 8 is a multi-page tabulation of
4 the work that's been done in the Jalmat Pool and
5 Eumont Pool since January 1, 1991. You can see
6 they're listed chronologically, the operator, the
7 lease, well location, and then the pool, whether it
8 be Jalmat or Eumont.

9 Q. Does this also describe what type of work
10 was done, whether it was a new well, remedial, that
11 kind of thing?

12 A. Yes. You can see on the right portion of
13 the page, the type of operation is listed here as
14 recompletion or remedial or new well.

15 Q. Does this serve to demonstrate that since
16 Order R-8170-J was entered in January of 1991, that
17 there has been an increase in activity, new drilling,
18 remediation and that type of thing?

19 A. Yes. This exhibit itself shows a high
20 level of activity, and if you refer back to the
21 exhibits we talked about a little earlier showing the
22 actual production histories from Jalmat and Eumont,
23 you'll see the production has increased in the last
24 three years because of this higher allowable.

25 Q. Does the last page of Exhibit 8 have sort

1 of a total of these activities?

2 A. Yes. This is a summary of the prior pages
3 in Exhibit 8 that show the total number of wells then
4 that have been either new drills or reworks or
5 remedials. If you look in the lower right-hand
6 corner of the last page, you'll see 327. That is the
7 summation of all of that activity in those three
8 years. And then we've broken it out between Eumont
9 and Jalmat separately. The Eumont activity has been
10 approximately 221 wells, and Jalmat approximately
11 106.

12 Q. Have you formed an opinion as to what
13 would be the probable effect on completions if the
14 minimum allowable order were made permanent?

15 A. Yes. I believe that if the allowable of
16 600 Mcf per day were continued and made permanent,
17 that this level of activity would continue for some
18 years in the future.

19 Q. Let me ask you to now take before you your
20 last exhibit, Exhibit 9, Dr. Van Kirk, and tell the
21 examiner what that shows.

22 A. This one-page exhibit is a summary of
23 Hartman's leases that he has available at this time
24 and is ready to develop in the very near future. And
25 there are ten total on this page. And in Hartman's

1 past, in normal years of activity for him, he has
2 developed approximately eight to ten wells per year.

3 Q. These are properties, leases that are
4 ready to go as apart from acquisition programs of Mr.
5 Hartman?

6 A. That's right. These are inventory, the
7 legal work has been done, and these are ready. And
8 they represent properties in Eumont and Jalmat over
9 approximately a 40-mile stretch, north and south.

10 Q. Dr. Van Kirk, what is your opinion of the
11 pre-1991 allowable policies on these pools that
12 resulted in decreasing allowable levels and rather
13 dramatic fluctuations in production levels?

14 A. Well, it's unfortunate, with the
15 fluctuating allowables throughout the mid-'80's up
16 until January 1991 and the fluctuating production
17 from a pool like this, it's unfortunate that a pool
18 like this was limited in what it could show and what
19 it could do. It was not very healthy. It was sick
20 during the 1980's.

21 Q. Would you compare, with a view toward
22 correlative rights, would you compare that kind of a
23 policy as opposed to having this minimum allowable
24 and what we have seen has been the performance under
25 that minimum allowable for some three years now?

1 A. I think the three years' performance
2 history, the last three years under the minimum
3 allowable of 600 Mcf per day has demonstrated a very
4 healthy level of development activities, very healthy
5 reservoir again coming back to life.

6 Q. Do you believe that serves the interests
7 of prevention of waste and protection of correlative
8 rights?

9 A. Absolutely, not only prevention of waste,
10 and by that we mean more recovery and less gas left
11 in the ground.

12 Q. Were Exhibits 1 through 9 prepared by you
13 or under your direction and control?

14 A. Yes, sir.

15 MR. GALLEGOS: We move Exhibits 1 through
16 9 in evidence and pass the witness for
17 cross-examination.

18 EXAMINER STOGNER: Exhibits 1 through 9
19 will be admitted into evidence at this time.

20 Mr. Carr, your witness.

21 MR. CARR: I have no questions of Dr. Van
22 Kirk.

23 EXAMINER STOGNER: Mr. Kellahin?

24 MR. KELLAHIN: No questions.

25 EXAMINER STOGNER: Mr. Morrow?

1 EXAMINER MORROW: I wanted to ask a couple
2 of questions.

3 THE WITNESS: Sure.

4 EXAMINATION

5 BY EXAMINER MORROW:

6 Q. On Exhibit 5, the second page, one of the
7 curves is marked oil, and I didn't hear you discuss
8 that. What's the significance of that on this
9 exhibit?

10 A. You didn't hear me discuss it because I
11 didn't.

12 Q. No, I didn't. I must have dozed off.

13 A. You didn't miss anything. I didn't
14 discuss oil.

15 Q. Okay.

16 A. I don't know that the significance of the
17 oil curve is exactly the same as the significance of
18 the gas curve, but let's discuss it. Let's consider
19 what it looks like.

20 Its shape doesn't parallel the gas curve
21 that we described a few minutes ago, but I think its
22 shape is interesting. If you'll notice, in 1986, the
23 oil production dropped off significantly, as did the
24 gas production, and that was a result of allowables
25 and market situations and purchasers' practices

1 during that time. And the oil production remained
2 quite low and fluctuating quite a bit after 1986, but
3 in 1991, it is up significantly, and in '92 and '93,
4 the levels are higher than they have been. In the
5 last three years, with increased gas allowables, the
6 oil rates are higher than they had been in some
7 years. I think that's also healthy and beneficial
8 for oil production and oil recovery.

9 Q. I assume the left-hand axis are the
10 numbers for the oil; is that correct?

11 A. I believe that's correct, yes.

12 Q. Do you know if this is oil from oil well
13 completions in those two pools, or is it from both
14 the gas wells and the oil wells?

15 A. I believe, but I'm not positive, but I
16 believe that this curve shows production only from
17 the Eumont Gas Pool, but there would be some wells in
18 there that could be classified as oil wells in those
19 intervals.

20 Q. I wondered if it included whatever
21 condensate the gas wells produced, I guess?

22 A. I believe it does, yes.

23 Q. All liquids then?

24 A. Liquids from gas wells, oil from oil wells
25 in the Eumont Gas Pool, but it does not include the

1 deeper oil pools, the deeper geologic formations.

2 Q. On Exhibit 6, I wanted to ask you to
3 explain how the allowable rate affected the growth
4 reserves.

5 A. In doing this calculation, we chose not to
6 have the estimated ultimate recovery dependent upon
7 the allowable rate because we were using a
8 hypothetical typical or average well. And in theory,
9 the ultimate recovery from a well shouldn't depend on
10 its allowable rate because it's going to -- whether
11 it produces at 200 Mcf per day for a long time and
12 then declines or 600 Mcf per day for a shorter time
13 and then declines, its ultimate recovery shouldn't
14 depend very much on that allowable practice.

15 Q. You meant for those to be essentially the
16 same?

17 A. That's correct, so that the economic
18 calculations would not reflect significant difference
19 in ultimate recovery. It would reflect the time
20 value of money, which is totally a function of the
21 allowable rate.

22 Q. And 600, you think, too, is an optimum.
23 As a minimum, do you have any feeling about getting
24 the allowables too high, set too high that they would
25 be detrimental to the recovery out there?

1 A. You mean might there be reservoir damage
2 or --

3 Q. Well, or overdevelopment?

4 A. I think that could happen at very high
5 allowables but not at 600.

6 Q. Not at 600 or 900 or 1,200?

7 A. I think not at 900 either.

8 Q. Okay.

9 A. There's plenty of history of both Jalmat
10 and Eumont wells in the 1930's and '40's and '50's
11 producing at millions of cubic feet per day. Now
12 that in itself doesn't prove that that wasn't
13 wasteful, but these wells are quite capable, they are
14 really quite capable. And down here at 600 Mcf per
15 day, there's no reservoir damage being done.

16 Q. Did anybody add up an estimated economic
17 impact of the work that was done as shown in Exhibit
18 8, how much it might have cost, how much was pumped
19 into the economy down there?

20 A. Exhibit 8?

21 Q. That was all the workovers that had been
22 done.

23 A. I have not done that prior to now, but I
24 think we could make an estimate probably within 30
25 seconds.

1 Q. Okay. That's quick enough.

2 A. Three hundred wells. If each well cost --
3 let's just consider the money spent in the area. If
4 each well would cost \$1 million, which they don't,
5 they don't cost \$1 million, but if each well cost \$1
6 million, that would be over \$300 million into the
7 economy.

8 Q. Okay. Well, those weren't all drilling
9 wells?

10 A. That's right, but each well doesn't cost a
11 million, but let's start out with a million because
12 it's an easy estimate. Each well costs several
13 hundred thousand dollars. It depends on the operator
14 and their practices, the size frac job they want to
15 use, and it depends on the type of operation. Is it
16 a new well being drilled which could cost a half a
17 million dollars, or is it a remedial that might only
18 cost \$100,000?

19 So I think you and I right now can
20 estimate a fair, quick, and dirty rough estimate of
21 the average cost, a typical cost of these wells.
22 Let's say a quarter of a million dollars, not a
23 million dollars but a quarter of a million dollars
24 per well. So if there were 300 of them, rather than
25 that having an impact of \$300 million on the

1 community, it would have an impact of about a quarter
2 of that. Would that be 750 or \$75 million dollars?

3 Q. Thank you, sir. Are these proposed wells
4 of Hartman's, are they wells to be drilled, or are
5 some of them workovers?

6 A. Some of them are new drills, and some of
7 them are workovers or recompletions.

8 EXAMINER MORROW: Thank you, sir.

9 THE WITNESS: You're welcome.

10 EXAMINER STOGNER: Oh, no, not me, I don't
11 have any questions. You asked all the ones I was
12 going to ask. No other questions of Dr. Van Kirk?
13 He may be excused.

14 Mr. Gallegos?

15 THE WITNESS: Thank you.

16 MR. GALLEGOS: We call Mark Perry.

17 MARK PERRY,
18 the witness herein, after having been first duly
19 sworn upon his oath, was examined and testified as
20 follows:

21 EXAMINATION

22 BY MR. GALLEGOS:

23 Q. State your name, please.

24 A. Mark A. Perry.

25 Q. Where do you live, Mr. Perry?

1 A. Tulsa, Oklahoma.

2 Q. What is your occupation?

3 A. I am presently president of Windward
4 Energy & Marketing Company located in Tulsa and a
5 co-founder of Energy, Economic, and Environmental
6 Consultants located in Albuquerque, New Mexico.

7 Q. What is the business of Windward Energy &
8 Marketing Company?

9 A. Windward Energy & Marketing Company is a
10 natural gas marketer. We've marketed gas on El Paso,
11 Northern Natural, Natural Gas Pipeline to customers
12 in California and intrastate Texas and in the Midwest
13 and Northeast.

14 Q. Does that include supply areas in the
15 southwestern United States?

16 A. Yes.

17 Q. How long has Windward Energy & Marketing
18 Company been in that business?

19 A. Since 1986.

20 Q. Prior to that time, did you have
21 experience in the natural gas marketing industry?

22 A. I co-founded Vesta Energy Company also
23 located in Tulsa, Oklahoma.

24 Q. In what year?

25 A. 1983.

1 Q. What did you do at Vesta?

2 A. I was at first the director of market
3 development and when I left vice president of
4 marketing.

5 Q. What is the business of Energy, Economic &
6 Environmental Consulting?

7 A. It's an analysis of energy and
8 environmental resource market issues.

9 Q. Do you stay current on a daily basis on
10 gas markets in the United States?

11 A. Yes, I do.

12 Q. How do you do that?

13 A. We take about ten publications in the
14 natural gas industry. We also have access to
15 information by computer to the Department of Energy.

16 Q. Are you familiar with market demand for
17 natural gas produced in Permian Basin, New Mexico, in
18 particular being produced in the Jalmat and Eumont
19 gas fields?

20 A. Yes, I am.

21 Q. Are you familiar with the production area
22 facilities serving those pools?

23 A. Yes, I am.

24 Q. Are you familiar with the mainline
25 facilities serving that area?

1 A. Yes, I am.

2 Q. Are you employed by Doyle Hartman to
3 appear to give to this Commission expert testimony on
4 natural gas markets and demands that would exist for
5 gas produced in the Eumont and Jalmat Pools?

6 A. Yes, sir, I am.

7 MR. GALLEGOS: We tender Mr. Perry as an
8 expert witness on that subject.

9 EXAMINER STOGNER: Are there any
10 objections? Mr. Perry is so qualified.

11 Q. (BY MR. GALLEGOS) Mr. Perry, are you
12 familiar with the January 1991 OCD order allowing the
13 minimum allowable of 600 Mcf a day per acreage factor
14 of 1 for wells in the Eumont Pool and the Jalmat
15 Pool?

16 A. Yes, sir, I am.

17 Q. And you understand that this proceeding
18 seeks to require Doyle Hartman to continue those
19 minimums in effect on a permanent basis?

20 A. Yes.

21 Q. If you assume that that minimum allowable
22 has increased production of gas from those pools by
23 reason of new wells drilled, recompletions,
24 workovers, do you have an opinion whether there
25 exists a market demand for the gas from the Jalmat

1 and Eumont Pool?

2 A. There is a market demand for the gas that
3 far exceeds the well's ability to produce.

4 Q. Would you describe the basis for that
5 opinion?

6 A. In the last several years, the gas in the
7 Permian Basin has been redirected from the California
8 market on El Paso to the Midwest and the Gulf Coast
9 areas. Northern Natural Gas is short of gas in the
10 Permian Basin, as is Transwestern and Natural Gas
11 Pipeline.

12 Q. Would you go so far as to say there is a
13 clear undersupply of southeast New Mexico gas?

14 A. There is a significant undersupply of
15 southeast New Mexico gas.

16 Q. Has that been reflected in terms of price
17 behavior of gas in that area?

18 A. Yes, it has.

19 Q. Let me ask you if you will take before you
20 what has been marked as Exhibit 11 in this proceeding
21 and tell the examiner what that is.

22 A. This is a comparison of the Inside FERC
23 prices compiled by McGraw Hill, prices reflecting San
24 Juan Basin gas and Permian Basin gas from January
25 1991 to the present day.

1 Q. Do you have some reflections on that price
2 behavior where we see in a period of time Permian
3 prices above San Juan and then they're coming into a
4 convergence and then departing again?

5 A. Yes. In the January of 1991 era to
6 January of 1992, El Paso Natural Gas was in the
7 process of building or reconstructing its San Juan
8 crossover facilities to accommodate additional coal
9 seam volumes movement from the San Juan Basin east to
10 Plains on their system and off their system into
11 Texas and the Midwest.

12 At the time that those facilities are
13 completed in May of 1992, Permian Basin prices are
14 below San Juan Basin prices for the first time in
15 several years, reflecting San Juan Basin gas
16 augmenting Permian Basin supplies going east.

17 And then starting in approximately July of
18 1993, prices for Permian Basin gas again increase
19 above the San Juan Basin prices and are continuing
20 that in a more strong trend today. In fact --

21 Q. What accounts for that?

22 A. El Paso has limited capability, as do the
23 other pipelines in the area, to transmit gas to the
24 East and the Midwest. They're capacity limited.

25 Q. Is there a particular advantageous

1 positioning of this southeast New Mexico gas in terms
2 of market?

3 A. Well, in terms of the previous commitment
4 to California, the Permian Basin is the fulcrum point
5 upon which all gas prices center now. Gas from the
6 Permian Basin goes to meet demand in the Gulf Coast
7 and Midwest first, and because of the lack of ability
8 to bring San Juan Basin gas in toto to the Permian
9 Basin, the Permian Basin gas goes first, and there's
10 not enough ability to produce Permian Basin gas to
11 substitute for San Juan Basin gas.

12 Q. Is Permian Basin gas also being utilized
13 to satisfy backhauls of San Juan Basin-produced gas?

14 A. That's what I was just previously
15 referring to. There's approximately 650 million a
16 day of gas that is backhauled by El Paso Natural Gas
17 on behalf of Amoco and Meridian to the Valero Waha
18 and Lonestar Waha facilities. That gas is actually
19 an exchange of Permian Basin gas that goes off at
20 Waha. That San Juan Basin gas actually ends up going
21 up El Paso's facilities in the Permian and into the
22 Anadarko Basin and off at Dumas, Texas.

23 Q. Is there still a call on demand for
24 southeast New Mexico gas to provide a supply for the
25 south line of El Paso to the west to California?

1 A. Yes, there is. Currently, I'd estimate
2 this month the demand for gas at the interconnect at
3 Blythe with SoCal Gas is approximately 750 million a
4 day. So El Paso has to have enough gas in its south
5 line to satisfy that demand, as well as all of its
6 other commitments to the east.

7 Q. Do you agree with the witness, I believe
8 Mr. Green from Chevron, who testified that he thought
9 Permian gas demand was particularly strong because of
10 the flexibility to go north, east, west or south?

11 A. Definitely.

12 Q. Mr. Perry, do you have an opinion as to
13 what would occur if the allowables were reduced in
14 southeast New Mexico in terms of that having an
15 adverse impact on production levels in the San Juan
16 Basin?

17 A. As I previously stated, the San Juan Basin
18 gas currently is being backhauled in the Permian and
19 taken off system. To the extent -- and most of the
20 Permian gas is exchanged offsystem as well. If you
21 reduce the allowables below the 600 Mcf a day
22 significantly, you would actually impact the ability
23 to flow eastward of gas out of the San Juan Basin
24 because of capacity constraints in the El Paso
25 system.

1 Q. So in your opinion would that have an
2 adverse domino effect? It would not only adversely
3 impact southeast New Mexico, but adversely impact
4 northwest New Mexico?

5 A. It would reduce flows in both basins.

6 Q. Does Exhibit No. 10 serve to describe and
7 to give some capacity information on the production
8 area facilities that are available to serve the
9 Jalmat and Eumont production?

10 A. Yes, it does.

11 Q. Mr. Perry, at my request, did you take the
12 opportunity to compare the information shown on this
13 Exhibit 10 to another similar exhibit that was
14 introduced in 1990 in this same proceeding to
15 illustrate these production area facilities?

16 A. Yes, I did.

17 Q. In making that comparison, what
18 observations did you make?

19 A. There's 30 million a day of less capacity
20 available in the Permian Basin. That means the
21 production levels are up about 30 million a day over
22 previous production levels.

23 Q. And did you observe that some of these
24 production area facilities, some of these plants have
25 increased in their capacities since 1990?

1 A. Yes, they have.

2 Q. Is there adequate capacity, in your
3 opinion, to serve increase in production from these
4 pools that we've seen in response to the 600 a day
5 minimum allowable?

6 A. More than adequate.

7 Q. Would you describe the pipeline facilities
8 that are available to carry gas away from this supply
9 area to markets?

10 A. Northern Natural Gas, Natural Gas
11 Pipeline, El Paso Natural Gas, and Transwestern.

12 Q. Is it your observation, do you have an
13 observation whether or not those pipelines have the
14 need for additional supplies of gas from southeast
15 New Mexico beyond what is being provided to them
16 presently?

17 A. All of them are currently supply short in
18 southeast New Mexico.

19 Q. Have you observed any actions by other
20 regulatory commissions that would reflect a somewhat
21 similar response to the issues that are being
22 presented to the New Mexico Commission here?

23 A. Yes. Kansas Corporation Commission
24 recently increased the allowables in the Hugoton
25 field from up to 15 percent. They raised them 15

1 percent, and they allowed increased density drilling.

2 Q. Of this demand and lack of sufficient
3 supply that you've described for southeast New
4 Mexico, has it resulted in any unusual steps being
5 taken by interstate pipelines to attempt to stimulate
6 that supply?

7 A. Yes. El Paso Natural Gas has discounted
8 recently its transportation rates for gas produced in
9 Permian and Anadarko Basins only for redelivery at
10 Topak, Arizona, which is to California customers.
11 And the reason they have done that is because they
12 need to attract gas supplies in the Permian and
13 Anadarko Basins into their systems so they can
14 exchange it for San Juan Basin gas which seeks to go
15 east.

16 Q. In your opinion, Mr. Perry, would the
17 permanent continuation of Special Rule 8 for the
18 Jalmat and Eumont Pools result in the recovery and
19 sale of gas that would not otherwise be produced?

20 A. Yes, it would.

21 Q. Were Exhibits 10 and 11 prepared by you,
22 Mr. Perry, or under your direction and control?

23 A. Yes, they were.

24 MR. GALLEGOS: I move the admission of
25 Exhibits 10 and 11 and pass the witness for

1 cross-examination.

2 EXAMINER STOGNER: Are there any
3 objections? Exhibits 10 and 11 will be admitted into
4 evidence. Mr. Carr?

5 MR. CARR: No questions of Mr. Perry.

6 EXAMINER STOGNER: Mr. Kellahin?

7 MR. KELLAHIN: No questions.

8 EXAMINER STOGNER: Mr. Morrow?

9 EXAMINATION

10 BY EXAMINER MORROW:

11 Q. Inside FERC, that's just out of the
12 publication; is that what that means?

13 A. That's correct.

14 Q. The Waha interconnect, where is that
15 located?

16 A. Texas.

17 Q. In Pecos County or somewhere?

18 A. Yes, it's in Pecos County.

19 Q. How does it operate? Do several companies
20 use it or --

21 A. Well, actually, it's the tailgate of a
22 Mobil processing plant, and it's kind of grown to, I
23 guess, a header system where there are a number of
24 different pipelines which interconnect. American
25 Central Gas Company has bought Odessa Natural

1 Gasoline from El Paso several years ago and built
2 that into a Waha header system which has connections
3 to Lonestar and several other pipes down there so
4 that more gas can move east than previously did.

5 It used to be, about six years ago, that
6 intrastate Texas pipelines would dump their gas to go
7 west on El Paso and Transwestern, and Northern would
8 actually backhaul gas from Ventura, Iowa, Canadian
9 gas from Ventura, Iowa, down to Keystone and move it
10 west on El Paso and Transwestern, but that is no
11 longer the case. They're actually supply short, and
12 they're pulling gas from Permian east and to the
13 Midwest, and San Juan Basin gas is being backhauled
14 to the east.

15 EXAMINER MORROW: That's all.

16 EXAMINER STOGNER: I have no other
17 questions, or I have no questions of this witness.
18 He may be excused.

19 Mr. Gallegos?

20 MR. GALLEGOS: We have nothing further,
21 Mr. Examiner.

22 EXAMINER STOGNER: With that, does anybody
23 else have anything further in either of these
24 reopened cases?

25 MR. CARR: Mr. Stogner, Arco Oil & Gas

1 Company, now Arco Permian, has requested that I read
2 a brief statement into the record, if I may.

3 EXAMINER STOGNER: You may.

4 MR. CARR: "Arco Oil & Gas Company is in
5 support of maintaining a minimum gas allowable in the
6 Eumont Gas Pool of 600 Mcf per day. Arco completed
7 13 workovers or recompletions in the Eumont Gas Pool
8 in 1993 and drilled four Eumont Gas Pool wells in
9 1993. Arco is planning to work over four wells and
10 drill two wells in 1994 if minimum gas allowable is
11 maintained at 600 Mcf per day.

12 Although the current pool allowable for
13 October 1993 through March 1994 is above 600 Mcf per
14 day, the 600 Mcf per day minimum allowable is seen as
15 necessary for making a prudent investment in these
16 wells by providing a floor for future allowable.
17 These wells are expected to produce for a number of
18 years."

19 The statement as to the Jalmat Pool is
20 identical to that for the Eumont with the exception
21 that in the Jalmat Pool, Arco states that in 1993 it
22 completed 21 workovers or recompletions, and in 1994
23 is planning 14 additional workovers if minimum
24 allowables are maintained.

25 That's all I have.

1 EXAMINER STOGNER: Anything further in
2 either of these cases at this time? With that, I
3 will take both reopened Cases 10111 for the Jalmat
4 matter and reopened Case 10036, which is for the
5 Eumont matter, both under advisement at this time.

6 And with that, hearing adjourned.
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)


) ss.

COUNTY OF SANTA FE)

I, Deborah O'Bine, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that I caused my notes to be transcribed under my personal supervision, and that the foregoing transcript is a true and accurate record of the proceedings of said hearing.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL, February 28, 1994.



DEBORAH O'BINE
CCR No. 63

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 10036 and 10111 (L-14 heard by me on 17 February 1994. *Reopened*)

, Examiner
Oil Conservation Division