

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 CASE 10106 and CASE 10107
5
6

7 EXAMINER HEARING
8

9 IN THE MATTER OF:

10 Application of Conoco, Inc., for a Salt
11 Water Disposal, Lea County, New Mexico.
12 Application of Conoco, Inc., for a Salt
13 Water Disposal, Lea County, New Mexico.
14
15

16 TRANSCRIPT OF PROCEEDINGS
17

18 BEFORE: JIM MORROW, EXAMINER
19

20 STATE LAND OFFICE BUILDING

21 SANTA FE, NEW MEXICO

22 October 3, 1990
23

24
25 **ORIGINAL**

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL, ESQ.
Counsel to the Division
Post Office Box 2088
State Land Office Building
Santa Fe, N.M. 87504-2088

MICHAEL E. STOGNER
OCD Examiner/Engineer
Post Office Box 2088
State Land Office Building
Santa Fe, N.M. 87504-2088

FOR THE APPLICANT:

W. THOMAS KELLAHIN, ESQ.
Kellahin, Kellahin & Aubrey
Post Office Box 2265
Santa Fe, N.M. 87504-2265

1	I N D E X	
2		Page Number
3	Appearances	2
4	JERRY W. HOOVER	
5	Examination by Mr. Kellahin	5
6	Examination by Hearing Examiner	17
6	Examination by Mr. Stovall	18
7	Certificate of Reporter	21
8	E X H I B I T S	
9	APPLICANT'S EXHIBITS:	
10	Exhibit 1	6
	Exhibit 2	6
11	Exhibit 3	7
	Exhibit 4	8
12	Exhibit 5	9
	Exhibit 6	12
13	Exhibit 7	12
	Exhibit 8	13
14	Exhibit 9	14
	Exhibit 10	14
15	Exhibit 11	14
	Exhibit 12	15
16	Exhibit 13	15
	Exhibit 14	16
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 EXAMINER MORROW: Call Case 10106.

2 MR. STOVALL: Application of Conoco, Inc.,
3 for salt water disposal, Lea County, New Mexico.

4 MR. KELLAHIN: Mr. Examiner, I'm Tom
5 Kellahin of the Santa Fe Law Firm of Kellahin,
6 Kellahin & Aubrey, appearing on behalf of the
7 applicant.

8 We would request, Mr. Examiner, that this
9 case be consolidated for hearing purposes with the
10 next case. Both of them deal with salt water disposal
11 wells and they are in the same vicinity, by the same
12 operator, and I think the same fact situation applies
13 to both.

14 EXAMINER MORROW: All right; we'll call
15 Case 10107.

16 MR. STOVALL: Application of Conoco, Inc.,
17 for a salt water disposal, Lea County, New Mexico.

18 EXAMINER MORROW: And we'll consolidate
19 these two cases today for hearing purposes.

20 MR. KELLAHIN: Mr. Examiner, I have one
21 witness, Mr. Jerry Hoover. Mr. Hoover is a petroleum
22 engineer with Conoco, Inc.

23 EXAMINER MORROW: Mr. Hoover, would you
24 please stand to be sworn.

25

1 JERRY W. HOOVER

2 the witness herein, after having been first duly sworn
3 upon his oath, was examined and testified as follows:

4 EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Hoover, for the record, would you
7 please state your name and occupation?

8 A. My name is Jerry Hoover. My current
9 position with Conoco is regulatory coordinator.

10 Q. Are you also a petroleum engineer by
11 education and experience, Mr. Hoover?

12 A. That is correct.

13 Q. On prior occasions have you testified
14 before the Division in both your capacities for your
15 company on salt water disposal cases?

16 A. Yes, I have.

17 MR. KELLAHIN: We tender Mr. Hoover as an
18 expert witness.

19 EXAMINER MORROW: He's accepted.

20 Q. Mr. Hoover, let me have you take a moment,
21 sir, and tell us what you're seeking to accomplish
22 with the two consolidated cases that are on the docket
23 this morning?

24 A. Yes. Conoco seeks to convert its Southeast
25 Monument Unit Well #95 to salt water disposal. It's

1 currently a shut-in oil well in the Weir Drinkard
2 pool.

3 It also seeks to reactivate its Southeast
4 Monument Well #9 which is a shut-in disposal well, to
5 active salt water disposal, both of these to be
6 disposing into the San Andres formation.

7 Q. Would you direct your attention to what is
8 marked as Exhibit No. 1 and identify that?

9 A. Exhibit 1 is the OCD Form C-108, the
10 authority to inject, and the remainder of the exhibits
11 are attachments to this form meeting its requirements.

12 Q. Have you submitted for the Examiner's
13 consideration a copy of the Division form that shows
14 the specific well location for the Unit 95 well?

15 A. Yes, I have. That is Exhibit 2-A.

16 Q. And what is the footage location for the
17 well?

18 A. This well is located 2130 feet from the
19 south line, 1980 feet from the east line of Section
20 23, Township 20 South, Range 37 East of Lea County.

21 Q. The status of this well is currently a
22 shut-in oil well?

23 A. That is correct.

24 Q. From what formation did it produce when it
25 was a producing oil well?

1 A. Drinkard.

2 Q. And the disposal formation is San Andres?

3 A. That's correct.

4 Q. Do you have information for the Examiner on
5 the location for the #9 well?

6 A. Yes, I do. Exhibit 2-B is the only form
7 that either Conoco or the NMOCD could find in their
8 files regarding the official location of this well.
9 It was drilled in 1945. I don't know whether that
10 predates the well location plat or not, but neither
11 the State nor Conoco had a location plat. But this
12 gives the official location as it was approved by the
13 OCD.

14 Then, Exhibit 2-C is the location plat
15 which we've drawn up based on that information.

16 Q. Let's talk about the #9 well for a minute.
17 Give us some of its background. Let me direct your
18 attention to Exhibit No. 3 and give us some of the
19 background on that well.

20 A. Yes. The SEMU Well #9 has previously been
21 a salt water disposal well, and Exhibit 3 is an OCD
22 order which approved salt water disposal into this
23 well. You'll notice it's dated May 7, 1963.

24 This well was shut in to disposal in 1971,
25 and because of the 25-year age of the permit and since

1 we haven't put any water in the well since 1971, we
2 felt like we ought to include this in our application
3 to be sure it meets all the qualifications currently.

4 Q. Mr. Hoover, have you prepared a schematic
5 of the #9 wellbore as well as the #95 wellbore?

6 A. Yes. Exhibit 4-A is the schematic for Well
7 #95. It includes your wellbore schematic, casing and
8 cement information across the top. The lower section
9 is a completion history.

10 And Exhibit 4-B is the same information for
11 Well #9.

12 Q. For both wells, your proposed zone of
13 disposal is going to be the San Andres formation?

14 A. That is correct.

15 Q. Give us the footage for that disposal
16 interval in each of the wells.

17 A. That interval between the two wells will
18 range from 4100 feet to 5100 feet.

19 Q. And this is going to apply to each of the
20 two wells?

21 A. That's correct. The 4100 feet will catch
22 the uppermost interval in one of the wells and 5100
23 will cover the base in both of them.

24 EXAMINER MORROW: You're saying 5100 or
25 6100?

1 THE WITNESS: 5100.

2 Q. What is the current status of each well?

3 A. Well 95 is currently shut in, as is #9.

4 Q. Have you completed any of the work
5 necessary in order to have the down-hole arrangement
6 on the wells conform to the schematic as shown on
7 Exhibits 4-A and 4-B?

8 A. No, the work has not been done. This is
9 the proposed schematic.

10 Q. When the work is completed pursuant to
11 these schematics, will you have two wellbores, each of
12 which has isolated the proposed San Andres disposal
13 zone from any other formation?

14 A. Yes, they will.

15 Q. In your opinion, will they be adequate to
16 isolate that injection water disposed of in the San
17 Andres formation from any potential fresh water sands?

18 A. Yes, I believe they will.

19 Q. Let me direct your attention now, Mr.
20 Hoover, to Exhibit No. 5.

21 A. Exhibit 5 is a map showing the two proposed
22 wells spotted in red in the middle of the map, 9 and
23 95. Those are surrounded by a red outline which
24 indicates the half-mile radius of review.

25 Then all wells and operators within a

1 two-mile radius are shown outlined in green. The
2 dashed blue line on the map outlines our Southeast
3 Monument Unit. You'll note that the area of review
4 for these two wells lies totally within that unit and
5 within Conoco operations.

6 Q. What is the source of the proposed water to
7 be injected into either one of these wells?

8 A. The source of water is a mixture of
9 produced waters that comes together in a disposal
10 system in our unit. Water comes from the SEMU Permian
11 waterflood which is on the right half of this green
12 circle area. You'll see some injection wells
13 indicated there. That's the SEMU Permian waterflood.

14 The Warren McKee waterflood just outside of
15 that green area, where you see additional injection
16 wells to the right there, also contributes to that
17 system. And then to the right of this map, but not
18 shown, is our Warren Unit, which includes Blinebry,
19 Tubb and Drinkard oil wells.

20 So the produced waters from those three
21 areas come together into one system and will be
22 disposed of in these wells.

23 Q. The specific formations from which the
24 water is produced would include the Blinebry, the
25 Tubb, the Drinkard and what others?

1 A. The McKee. That's the deep zone. And then
2 the most shallow would be the Penrose and Upper
3 Grayburg.

4 Q. What is Conoco currently doing with the
5 water produced from those formations?

6 A. Currently we're disposing of it into a salt
7 water disposal well. If you'll look at your map one
8 more time, on the extreme right-hand side find Section
9 29, second section up from the bottom. You'll see a
10 salt water disposal symbol on Well #24 in Section 29.

11 That well is currently disposing of this
12 same mix of produced waters and has been for the last
13 13 years. Our anticipated pressures and rates for
14 these two wells are based on our experience in this
15 well. Disposal is also into the San Andres formation
16 in that well.

17 Q. Over that 13-year period, did Conoco
18 experience any difficulty with the #24 salt water
19 disposal well?

20 A. We have not, nothing more than just what
21 would be considered normal maintenance on a disposal
22 or injection well that's taken place in this well.

23 Q. When we look at your Exhibit No. 5, the
24 area contained within the red-ellipsed pattern, have
25 you identified and tabulated the wellbore information

1 for all wells within that area of review?

2 A. Yes, we have, and that is contained in
3 Exhibit 6. We've not only put into this table well
4 data from those actually within the red area, but
5 you'll notice there's several near but just outside
6 the boundary and we've included those, too, for your
7 information.

8 This table includes current status
9 completion intervals, casing cement programs, spud and
10 completion dates, and the completion formations for
11 all of these wells.

12 Q. Within this half-mile area of review, based
13 upon the information you have studied, can you reach a
14 conclusion as to whether or not any of those wellbores
15 pose a potential risk if either or both of these wells
16 are approved for disposal purposes?

17 A. We do not believe they will. All of the
18 wells within the outlined area of review do have
19 cement across the proposed disposal interval, the San
20 Andres.

21 Q. Have you tabulated the information for all
22 plugged and abandoned wells within the area of review?

23 A. Yes. Those are included as Exhibits 7-A
24 through E. These are wellbore schematics showing
25 completion and plugging information on these five

1 wells. There are three plugged wells actually in the
2 area of review and two others very near to the
3 boundary of that, so we've included the schematics for
4 all five of them.

5 Q. Summarize for us, Mr. Hoover, what your
6 plan of operation will be?

7 A. Our plan of operation, some of the details
8 of that are given on Exhibit 8. This is another
9 attachment to the Form C-108 and it specifically
10 answers questions from parts 7, 8, 9 and 10 of the
11 form.

12 We're anticipating that the average
13 injection rate will be about 4,000 barrels of water
14 per day with an upper maximum of 5,000 anticipated.
15 We expect the average surface pressure to be somewhere
16 around 650 pounds, but we would request that the order
17 establish a maximum pressure not to exceed the
18 two-tenths psi per foot, which is your standard.

19 This would mean that on Well 95, if we
20 calculate that from the top perf, that would be 832
21 pounds; on Well #9 it would be 909 pounds surface
22 injection pressure.

23 Q. Have you had exhibits prepared that show
24 the composition and compatibility of the waters to be
25 disposed of in either of these two injection disposal

1 wells?

2 A. Yes, we have. Those begin with Exhibit 9.
3 Exhibit 9 is a water analysis of the mixture of
4 produced water that we are currently putting into the
5 Warren McKee #24, and the same source would be used as
6 injection for these wells.

7 Then Exhibit 10 is a San Andres Water
8 Analysis. There are no producing San Andres wells
9 within several miles of this area. This water
10 analysis was taken from that same Warren McKee #24
11 well prior to its being converted to injection, some
12 13 years ago. It was being considered as a water
13 source and at that time we took this water sample from
14 it, and this is the analysis.

15 Since we cannot get a current sample,
16 Exhibit 11-A shows a comparison of these two analyses,
17 the current disposal water and this previous San
18 Andres water. It gives us a compatibility analysis,
19 which shows that there should be no problems. In
20 fact, Exhibit 11-B is a statement from the analyzing
21 company that, in their opinion, they do not believe
22 there will be any problem with the mixture of these
23 waters. Of course, we've had 13 years of experience
24 in the one disposal well with exactly the same program
25 without any trouble.

1 Q. I would direct your attention to Exhibit
2 No. 12.

3 A. Exhibit 12 is a type log in the area. If
4 you'll look at your map again, if you still have that
5 handy, let me show you where that well is identified
6 for you. Exhibit 5 is the folded map. All right.
7 You're looking in the center, just outside of the red
8 outline in the upper left-hand corner, Well #122?
9 All right. That's the well this type log was taken
10 from.

11 This simply is a reference for you, to show
12 the relationship of the various zones that we're
13 discussing, those from which the produced water is
14 coming from and the San Andres into which we will
15 inject.

16 Q. Is there any current San Andres oil
17 protection within the area of review?

18 A. No, there is not.

19 Q. Do you know what the nearest San Andres oil
20 producer is?

21 A. I don't know the exact location. I know
22 it's a matter of more than a mile.

23 Q. Would you identify and describe the Exhibit
24 13 information.

25 A. Exhibit 13-A is a letter which-- Well, let

1 me mention first that there were no offsetting
2 operators--Conoco offsets itself--so the only contact
3 we made was with the surface landowner, and this
4 letter is the letter we sent to SW Cattle Company, who
5 is the fee land surface owner.

6 We inadvertently gave the wrong date for
7 the hearing, so we sent a second letter, which is
8 Exhibit 13-B, correcting that date to show it is
9 October 3rd.

10 Then Exhibit 14 are the certified mail
11 receipts from the mailing of both of these letters.

12 Q. The oil and gas minerals for Section 23,
13 are those fee minerals or are they state or federal
14 minerals?

15 A. They are federal minerals.

16 Q. The area outlined in the blue, then, is the
17 SEM Unit?

18 A. That's correct.

19 Q. In your opinion, Mr. Hoover, will approval
20 of this application be in the best interests of
21 conservation, the prevention of waste and the
22 protection of correlative rights?

23 A. Yes, I believe it will.

24 Q. Will it afford to Conoco and the interest
25 owners the opportunity to dispose of produced water in

1 an efficient and economic manner?

2 A. Yes, it will.

3 MR. KELLAHIN: Mr. Examiner, in addition to
4 Mr. Hoover's notices to the cattle company, we have
5 also sent them a copy of the C-108 and the application
6 itself. That mailing to the cattle company was on
7 September 12, 1990, more than 20 days prior to the
8 hearing; so notwithstanding the fact that Mr. Hoover's
9 first letter to them gave them the wrong date, we had
10 also mailed notice to them, and I'll supply that for
11 the record at the conclusion.

12 That concludes my examination of Mr.
13 Hoover. We will move the introduction at this time of
14 his Exhibits 1 through 14.

15 EXAMINER MORROW: Exhibits 1 through 14 are
16 admitted.

17 EXAMINATION

18 BY EXAMINER MORROW:

19 Q. Mr. Hoover, did you tell us where the base
20 of the fresh water is in this area?

21 A. There are no known fresh water aquifers in
22 this area, and I believe we did neglect to mention
23 that there are no fresh water wells located within
24 this area of review that we're looking at.

25 In fact, I called the state engineer in

1 Roswell and had him research his records, and he did
2 not find any record of any fresh water wells in this
3 area.

4 Q. Have you reinjected any water into the
5 flood that you discussed over on east of these wells?

6 A. This same water is being injected into the
7 SEMU Permian waterflood at this time.

8 Q. I believe, if I understood your testimony
9 correct, you will take produced water from that
10 flood. Would you explain the reasoning behind that
11 plan?

12 A. We have currently the SEMU Permian flood.
13 Some of the wells are being phased out, it's in the
14 latter stages of the completion of the waterflood
15 there, so we will have less capacity for the disposing
16 of this water. We have excess produced water at this
17 point, plus the water from the McKee flood and also
18 the Warren Unit area. We're doing quite a bit of work
19 in the McKee area, which is increasing production.

20 Q. Is the McKee under flood?

21 A. The McKee is under flood, that's correct.

22 EXAMINATION

23 BY MR. STOVALL:

24 Q. Mr. Hoover, so it's in the record, and I'll
25 make you a copy of it, we do have a letter from SW

1 Cattle Company being opposed to the application. Of
2 course, this is not any sort of sworn testimony, but
3 they do reference numerous leaks and damages and loss
4 of dialogue between Conoco and the landowner.

5 Would you care to respond to that letter at
6 this time, Mr. Hoover?

7 A. All I can say, I'm not aware of any
8 dialogue from SW Cattle, at least, concerning this
9 application. After I sent notice to them we've not
10 heard from them with any problems or protest. I
11 cannot speak to specific past dialogue, without
12 checking with other persons in our company they might
13 have contacted.

14 As far as claims of leaks and damages, I'm
15 not aware of any specific problems that have been
16 brought to our attention.

17 EXAMINER MORROW: Will you contact him and
18 discuss that with him, then? That would probably be a
19 good plan.

20 THE WITNESS: All right.

21 EXAMINER MORROW: Anything more? The
22 witness may be excused.

23 MR. KELLAHIN: That concludes our
24 presentation, Mr. Examiner.

25 EXAMINER MORROW: Thank you. We'll take

1 these two cases under advisement, Case Nos. 10106 and
2 10107.

3 (Thereupon, the proceedings concluded.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER


1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)



I, Carla Diane Rodriguez, Certified
Shorthand Reporter and Notary Public, HEREBY CERTIFY
that the foregoing transcript of proceedings before
the Oil Conservation Division was reported by me; that
I caused my notes to be transcribed under my personal
supervision; and that the foregoing is a true and
accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative
or employee of any of the parties or attorneys
involved in this matter and that I have no personal
interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL October 14, 1990.


CARLA DIANE RODRIGUEZ
CSR No. 91

My commission expires: May 25, 1991


101063 - 10107
Oct 3 90

Oil Conservation Division