

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

JOHN UPCHURCH

Direct Examination by Mr. Kellahin	3
Cross Examination by Mr. Boyer	17
Cross Examination by Mr. Taylor	18
Cross Examination by Mr. Quintana	19

E X H I B I T S

Exhibit Number One, C-108 and attachments	4
Exhibit Number Two, Cross Section	9

1
2 MR. QUINTANA: We'll call Case
3 8526.

4 MR. TAYLOR: The application of
5 Phillips Petroleum Company for salt water disposal, Eddy
6 County, New Mexico.

7 MR. KELLAHIN: If the Examiner
8 please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing
9 on behalf of the applicant.

10 And I have one witness to be
11 sworn.

12 MR. QUINTANA: Are there other
13 appearances in Case 8526?

14 If not, sir, would you please
15 stand up and be sworn in at this time?

16 (Witness sworn.)

17 JOHN UPCHURCH,
18 being called as a witness and being duly sworn upon his
19 oath, testified as follows, to-wit:

20 DIRECT EXAMINATION

21 BY MR. KELLAHIN:

22 Q Mr. Upchurch, for the record would you
23 please state your name and occupation?

24 A My name is John Upchurch and I'm a petro-
25 leum engineer for Phillips Oil Company in Odessa, Texas.

1
2 Q Mr. Upchurch, have you previously testi-
3 fied before the Oil Conservation Division and had your qual-
4 ifications as an engineer accepted and made a matter of re-
cord?

5 A Yes, I have.

6 Q And pursuant to your employment by Phil-
7 lips Petroleum Company have you made a study of the facts
8 surrounding this application?

9 A Yes, I have.

10 MR. KELLAHIN: Mr. Quintana, we
11 tender Mr. Upchurch as an expert petroleum engineer.

12 MR. QUINTANA: He's considered
13 qualified.

14 You may proceed.

15 Q Mr. Upchurch, if you will turn to what we
16 have marked as Exhibit Number One, which is the Commission
17 Form C-108 and all the attachments, and have you turn, sir,
18 first of all, to the plat that shows the half mile radius
circle and the two-mile radius circle.

19 Would you explain to Mr. Quintana the
20 purpose for this disposal well? How did it come about?

21 A This well is a well that Phillips plans
22 to drill as a result of the Oil Conservation Division order-
23 ing us to shut down the current water disposal pit at the
Phillips Petroleum Company Artesia Plant.

24 The Commission has informed us that our
25 disposal of the waste water from the plant in an open pit is

1 not an acceptable means of disposal and we would have to
2 dispose of it in some other manner.

3 We looked at several alternatives and de-
4 cided that drilling a disposal well on the plant site would
5 be the most economical alternative.

6 Q What type of plant is this, Mr. Upchurch?

7 A It's a natural gas liquids plant, removes
8 the liquids from produced gas.

9 Q And prior to this time what was being
10 done with the water produced and discharged from the plant?

11 A It was pumped into an open pit and al-
12 lowed to evaporate.

13 Q And the water analysis from that water
14 has exceeded certain State standards with regards to what
15 elements, Mr. Upchurch?

16 A The water analysis from the plant waste
17 water is attached and it's exceeded the State standards for
18 five -- four elements and the total dissolved solids; the
19 four elements or compounds are chromium, chloride, fluoride,
20 and phenols.

21 MR. QUINTANA: Excuse me just a
22 second. I think another member of the OCD would like to sit
23 in on this and I forgot to inform him.

24 Q Mr. Upchurch, would you again describe
25 for us what brought about the need for Phillips Petroleum
Company to drill a salt water disposal well that's the sub-
ject of this application?

1
2 A Phillips was informed by the NMOCD that
3 the current method of disposal of the plant waste water in
4 an open pit was unacceptable and that we needed to find an
5 alternative method of disposal.

6 We investigated several different options
7 and decided that the drilling of a disposal well on the
8 plant site would be the cheapest alternative.

9 Q What will the location of the disposal
10 well be?

11 A The well will be located 2310 feet from
12 the east line and 13 -- and 330 feet from the south line in
13 Section 7, Township 18 South, R 29 East.

14 I might want to point out that on the
15 second sheet of the application, that the footage location
16 is in error. It's the -- the proper location is on this
17 wellbore sketch and a proper -- yes, that's the proper loca-
18 tion, and the proper location was also advertised in the Ar-
19 tesia paper.

20 Q All right. Let's turn to the wellbore
21 schematic of the proposed disposal well and at the same time
22 look at the well data sheet for the proposed well, Mr. Up-
23 church.

24 In determining a suitable disposal forma-
25 tion, can you identify for us and describe what in your
opinion will be a suitable disposal formation?

26 A Based on the other wells in the area, we
27 feel that we'll be able to dispose of the volume of water

1 that we're talking about only into the Lower San Andres and
2 possibly Upper Glorieta formation; the Lower San Andres at
3 approximately 3370 feet to 3975 feet underneath the plant.
4 The Glorieta formation is below that, approximately 4000
5 feet on down.

6 We feel that there's adequate porosity in
7 that area of the San Andres to dispose of the water that
8 we're -- that we need to get rid of.

9 Q When we look at the wellbore schematic,
10 you've indicated for us that there were certain elements in
11 the discharged water that exceeded the State standard.

12 Are there any hydrocarbons contained in
13 the discharged water?

14 A No, there are not.

15 Q In your opinion is the method of comple-
16 tion for the disposal well, using the plastic-lined tubing,
17 one that is engineered in a sound way to protect the integ-
18 rity of the wellbore in terms of the volumes of discharged
19 water and the elements contained in that water?

20 A Yes, I feel that it is.

21 Q This is a well to be newly drilled and is
22 not a conversion of an existing well.

23 A That's correct.

24 Q Will you fill the annular space between
25 the casing and the tubing with an inert fluid?

A Yes, we will.

Q And will there be a pressure gauge on the

1 surface?

2 A Yes, there will.

3 Q The pressure limitation guideline used by
4 the Commission of 0.2 psi per foot of depth, is that a
5 guideline that you can stay within?

6 A Based on what we know so far, we feel
7 that we should be able to inject at or below the 0.2 psi per
8 foot limitation. If, once we get the well drilled and com-
9 pleted, we find that that's not the case, we would like to
10 have included in this order a provision to administratively
11 increase that injection pressure based on the completion of
12 a step rate test.

13 Q All right, you're talking about using the
14 standard order language that requires you to coordinate with
15 the OCD District Office and conduct step rate tests for the
16 monitoring of pressures in excess of the standard?

17 A Yes, that's correct.

18 Q Let's turn to the area map, Mr. Upchurch,
19 and while looking at that map if you'll take the two page
20 tabulation of the offsetting wells within the half mile rad-
21 ius, first of all, within the area of review, Mr. Upchurch,
22 have you found any wells that produce below the proposed
23 disposal interval?

24 A Within the half mile area of review there
25 are no wells that produce from the zone that we want to in-
ject into or from any deeper zones, and on our original ap-
plication we so stated that and felt that there was no need

1
2 to include the offset wells, since none of them produce from
3 that zone.

4 The Commission decided that we should set
5 the case rather than administratively approving this appli-
6 cation; the case should be set for hearing and suggested to
7 me that we include a listing of the offset wells, and that's
8 what I prepared.

9 Q All right, this two page attachment,
10 then, shows all the wells within the half mile radius --

11 A Yes, that's correct.

12 Q -- regardless of the depth.

13 A That's correct.

14 Q All right. Let's stop for a moment now,
15 Mr. Upchurch, and direct your attention to the cross section
16 you've prepared, which is marked as Exhibit Number Two.

17 Before you explain the exhibit, sir,
18 would you simply identify for us -- the exhibit for us and
19 locate the wells that are on the cross section?

20 A Okay. This exhibit shows the porosity
21 logs from three wells in the area of the -- of our injec-
22 tion.

23 The first well is the Phillips Petroleum
24 Company Illinois Camp "A" No. 1.

25 The second -- and it's in Unit letter E
of Section 5.

The second well is an Aminoil drilled
well that was -- has been recompleted in the Grayburg. It's

1 in Unit letter J of Section 8.

2 And the last well is a shallow well that
3 was drilled in Unit letter I of Section 18.

4 Q Will you take one of the logs for one of
5 the wells and identify for the Examiner what the location is
6 for the disposal interval?

7 A Okay. The easiest one to see it on is
8 the Illinois Camp "A", the furthest to the left well, and
9 we're -- the zone that we're interested in is the zone that
10 appears in this well from approximately 3200 to 3550.
11 There's two large porosity zones which show a maximum of 22
12 and 24 percent porosity based on this neutron log.

13 That same zone correlates to
14 approximately 3500 to 3850 in the Aminoil well and it's not
15 present in the third well, because that well was not drilled
16 deep enough.

17 Q When we look at the tabulation of
18 wellbore information for the wells within the area of
19 review, would you identify for us generally that section or
20 interval that was tested or produces in these wells in
21 relation to the disposal interval?

22 A The presently producing wells in the area
23 of review produce from the Grayburg formation, which lies on
24 top of the San Andres. In the Illinois Camp Well that would
25 be at approximately 21 -- the base of that would be at
approximately 2100 feet, and at approximately 2350 in the
Aminoil well and at approximately 3000 feet -- excuse me --

1
2 2000 feet, more or less, in the third well.

3 Q All right, sir, let me direct your atten-
4 tion now before you leave the cross section to the schema-
5 tics of the four plugged and abandoned wells that are within
6 the area of review.

7 A All right, the first one I have on my
8 list is the Simpson Federal No. 1.

9 A Yes.

10 Q If you'll turn to the Simpson Federal No.
11 1. In your opinion is the Simpson Federal No. 1 Well a well
12 that has been adequately plugged and abandoned?

13 A Yes, I feel that it is adequately plug-
14 ged.

15 Q All right, let's turn to the Texaco State
16 No. 1 schematic.

17 A In your opinion is this wellbore ade-
18 quately plugged and abandoned?

19 A This wellbore doesn't meet current State
20 standards. If we were plugging today we wouldn't do it
21 exactly this way, or whoever owned it wouldn't do it this
22 way, but I feel that it is adequately plugged to prevent mi-
23 gration of fluids that we'll be injecting into the Lower San
24 Andres into any fresh water strata or into any other strata
25 in the area.

26 Q Let's look at the wellbore for the Texas
27 State No. 1 in terms of the disposal interval. Can you tell
28 me the approximatel difference between the interval in the

1
2 Texaco well and the disposal interval in your well?

3 A The Texaco State No. 1 Well is drilled to
4 a depth of 2265, which is approximately 1000 or 1100 feet
5 above the zone that we want to inject into.

6 Q So even if this wellbore is not plugged
7 and abandoned consistent with current standards, it's still
8 some 1000 feet above the proposed disposal interval?

9 A Yes, that is correct.

10 Q All right. Let's go to the Simpson No.
11 2, Mr. Upchurch.

12 In your opinion is this wellbore ade-
13 quately plugged and abandoned?

14 A Yes, I feel that this well is plugged in
15 sufficient manner to protect from fluids migrating from the
16 Lower San Andres into the fresh water or any other strata in
17 the area.

18 Q And again this wellbore is only 1795 feet
19 deep.

20 A Yes, that's correct. It's over 15-1600
21 feet away from our injection interval.

22 Q Okay, and then the last wellbore is plug-
23 ged and abandoned well State "E" No. 1.

24 In your opinion is this wellbore ade-
25 quately plugged and abandoned?

26 A Yes, I feel that it is. There are plugs
27 -- there -- there are sufficient plugs in here to prevent
28 migration of fluids into the fresh water strata.

1
2 The well is drilled to a total depth of
3 3020 feet, which is, if you bring it on depth with where our
4 injection well is going to be, it would TD at approximately
5 2950, which again is over 400 feet away from our injection
6 interval.

7 Q All right, there is some 400 feet verti-
8 cal separation between the two intervals?

9 A Yes, that's correct.

10 Q I might also point out on the cross sec-
11 tion, it's very obvious on the Aminoil Well and on the Illi-
12 rois Camp Well, approximately 100 feet above the zone that
13 we wish to inject into is a zone that basically has a zero
14 percent porosity, which would prevent fluids from migrating
15 from the injection zone up in the San Andres formation.

16 Q All right, let me direct your attention
17 now to the water analyses that were conducted for this ap-
18 plication, and I believe there are four.

19 A Yes, that's correct.

20 Q All right, sir, if you'll set all four of
21 those out in front of you, let's talk about them.

22 First of all, if you'll identify each of
23 the four and tell us what we're looking at.

24 A Okay. Well, actually there's five.
25 There's -- the first one, there's two on this one sheet with
the compatibility test. There are two actual samples on
there.

The first one is the analysis of the

1 waste water from the plant.

2
3 The second one, second and third ones are
4 a compatibility test done by UniChem International in Hobbs,
5 comparing plant -- a sample that's 90 percent plant pro-
6 duced, plant water, with San Andres produced water, and
7 showing a sample of San Andres water with no plant water,
8 and then there's two additional samples taken from fresh
9 water wells within approximately a half to a quarter mile of
the proposed injection well.

10 Q All right, let's turn your attention
11 first of all to the fresh water analysis.

12 Can you generally identify for us the lo-
13 cation of these fresh water sources?

14 A Yes, the first one, labeled Artesia West
15 Windmill, is approximately one-quarter mile north northwest
16 of the proposed injection well, and the second one, labeled
17 Artesia Upgrade Windmill, East Windmill, is approximately
one-half mile east northeast of the proposed injection well.

18 Q Do you know what the approximate depth is
19 of the fresh water produced in the Artesia West Windmill?

20 A The depth in both wells, total depth of
21 the wells are approximately 250 feet. They produce from the
Ogallala, as far as the exact depth, I'm not sure.

22 Q All right. You're going to set surface
23 casing and cement back up to the surface a vertical distance
24 in excess of plus or minus 350 feet?

25 A Yes, that's correct.

1
2 Q And that, in your opinion, would be ade-
3 quate to isolate any fresh water sands in the area?

4 A Yes, that's correct.

5 Q All right. Let's go back, then, to the
6 analysis of the compatibility test between the San Andres
7 and the plant water. It was from this exhibit that you
8 identified certain elements or components that exceeded the
9 State standard?

10 A No. The analysis that we used for the --
11 to determine which elements exceeded the State standard is
12 the plant waste water sample. It's a more detailed analysis
13 than the compatibility test.

14 Q All right. In your opinion, Mr. Up-
15 church, is the proposed use of this disposal well the most
16 effective and efficient means by which to dispose of this
17 produced water?

18 A Yes, I feel that it is.

19 Q Let me direct your attention now to the
20 notice provisions in the C-108 Form, and have you identify
21 whether or not you have notified the surface owner at the
22 location?

23 A The surface owner at the location is
24 Phillips Petroleum Company.

25 Q Have you also notified by certified mail
any of the offset operators within the half mile radius?

A Yes, we have. There's a listing of the
offset operators attached to the C-108, along with a copy of

1 the certified mail that we sent out to each of those opera-
2 tors.

3 We sent this entire package to all of
4 them.

5 Q Based upon your studies and investiga-
6 tions, Mr. Upchurch, do you find any faulting or other hy-
7 drologic connections by which water disposed of in this for-
8 mation could potentially migrate up into shallower fresh
9 water sands?

10 A No, I don't find any faulting at all --
11 at all in the area.

12 Q In your opinion will the water disposed
13 of in the Lower San Andres and Glorieta interval requested
14 remain confined in that formation?

15 A Yes, I feel that it will.

16 Q Would you identify for the Examiner the
17 approximate rates at which you will dispose of water into
18 this well?

19 A We plan to dispose of the waste water
20 from the plant at approximately 1200 to 1500 barrels a day
21 with a maximum rate of 2000 barrels a day. The rate varies
22 depending on the plant requirements.

23 Q Was the C-108 prepared under your direc-
24 tion and supervision and Exhibit Number Two, the cross sec-
25 tion also prepared under your direction?

A Yes, they were.

MR. KELLAHIN: That concludes

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

our examination of Mr. Upchurch, Mr. Quintana.

We move the introduction of Exhibits One and Two.

MR. QUINTANA: Exhibits One and Two, did you say?

MR. KELLAHIN: Yes, sir.

MR. QUINTANA: One and Two will be entered as evidence.

Mr. Boyer, do you have questions of Mr. Upchurch?

MR. BOYER: I just have one question.

QUESTIONS BY MR. UPCHURCH:

Q The compatibility sample that is shown, when was that taken and where was the location? Do you have information on that?

A I'm not positive of the date. It was prior to when we made our original application, approximately November, December. The produced water sample was taken from the Burch A Lease, which is in Section 18 of Township 17 South, Range 29 East. We felt that that was the best sample to use because, first of all, we didn't have any San Andres production. Nobody has any San Andres production in the area, and we don't have any production at all.

We thought that it was better to take a San Andres sample rather than a Grayburg sample.

1
2 Q Well, my concern was the difference be-
3 tween the total dissolved solids of the Artesia Plant water
4 given in that analysis and the earlier analysis that was
5 done in 1983.

6 A Well, the total dissolved solids on this
7 compatibility test are comparing 10 percent San Andres pro-
8 duced water and 90 percent plant water, so I think that the
9 total dissolved solids that you see in there are coming from
10 the San Andres, not from the plant water.

11 Q Okay.

12 MR. BOYER: That's all.

13 CROSS EXAMINATION

14 BY MR. TAYLOR:

15 Q What letter did you send --

16 A Okay, we --

17 Q -- to the other surface owners with the
18 notice?

19 A I didn't include that in the packet. It
20 was --

21 Q Was it just a cover letter?

22 A It was just a cover letter saying --

23 Q Could you make a copy of it for our file?

24 A Yes.

25 Q It was the same letter that's submitted
with the original application.

Q Okay, it just went out to everybody.

1
2 A That's right. Carbon copies went to all
3 the offset operators.

4 MR. QUINTANA: I have one ques-
5 tion for you, Mr. Upchurch.

6 A All right.

7 CROSS EXAMINATION

8 BY MR. QUINTANA:

9 Q Produced water coming from this plant,
10 what is the source of that water?

11 A It's fresh water that's piped into the
12 plant and it comes from the Loco Hills area. It comes from
13 the Ogallala. Exactly where it comes from, I don't know.
14 We purchase it.

15 Q What is the purpose of the water at the
16 plant?

17 A It's used for cooling purposes. It's run
18 through the plant cooling towers, which is where it picks up
19 the contaminants, and we use it to cool the gas down in the
20 -- in the processing procedure.

21 One of the things we have to do to the
22 gas in order to process liquids out of it is compress it,
23 and when we compress it, it builds up a lot of heat, which
24 then has to be dissipated, so we run it through a liquid,
25 gas/liquid heat exchanger and take the heat off with the --
with the water.

26 Q All right, is there any produced water

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

from dehydration of the gas?

A No.

Q Thank you, sir.

MR. QUINTANA: Any further questions of the witness?

If not, the witness may be excused.

Case 8526 will be taken under advisement.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a correct and true copy of the transcript of the hearing held on the _____ day of _____, 1985, at _____, Texas, before me, the undersigned, a duly qualified and sworn Hearing Officer of the Oil Conservation Division.

MARCH 13 8526
85-
Gilbert P. Quintana Examiner
Oil Conservation Division