

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
State Land Office Building
Santa Fe, New Mexico

31 July 1985

EXAMINER HEARING

IN THE MATTER OF:

Application of McCasland Oil Disposal CASE
System Partnership for salt water 8661
disposal, Lea County, New Mexico.

BEFORE: Gilbert T. Quintana, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation Division:	Jeff Taylor Legal Counsel to the Division Oil Conservation Division State Land Office Bldg. Santa Fe, New Mexico 87501
---------------------------------------	--

For the Applicant:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. QUINTANA: We'll call Case 8661.

MR. TAYLOR: the application of McCasland Oil Disposal System Partnership for salt water disposal, Lea County, New Mexico.

The applicant has requested that this case be continued.

MR. QUINTANA: Case 8661 will be continued till August 28th, 1985.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I hereby certify that the foregoing is a true and correct copy of the transcript as heard by me on July 31 1985.
Gilbert P. Quintana Examiner
Oil Conservation Division

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

GARY FONAY

Direct Examination by Mr. Kellahin	3
Cross Examination by Mr. Stogner	15

E X H I B I T S

McCasland Exhibit One, Plat	4
McCasland Exhibit Two, C-108	6
McCasland Exhibit Three, Schematic	6
McCasland Exhibit Four, Well Data	8
McCasland Exhibit Five, Schematic	8
McCasland Exhibit Six, Schematic	8
McCasland Exhibit Seven, Schematic	8
McCasland Exhibit Eight, Water Sample	10
McCasland Exhibit Nine, Water Analysis	11
McCasland Exhibit Ten,	
McCasland Exhibit Eleven,	
McCasland Exhibit Twelve,	
McCasland Exhibit Thirteen, Correspondence	13
McCasland Exhibit Fourteen, Return Receipts	14
McCasland Exhibit Fifteen, Return Receipts	14

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STOGNER: Call next Case
Number 8661.

MR. TAYLOR: Application of
McCasland Oil Disposal System Partnership for salt water
disposal, Lea County, New Mexico.

MR. KELLAHIN: If the Examiner
please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing
on behalf of the applicant and I have one witness to be
sworn.

MR. STOGNER: Are there any
other appearances in this matter?

Will the witness please stand
and be sworn?

(Witness sworn.)

GARY FONAY,
being called as a witness and being duly sworn upon his
oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q Mr. Fonay, for the record would you
please state your name and occupation?

1 A Gary Fonay. I'm with Lynx Petroleum Con-
2 sultants, Incorporated, acting as a consultant for McCasland
3 Disposal Systems in this case.

4 Q Mr. Fonay, have you previously testified
5 before the Oil Conservation Division?

6 A Yes, sir, I have.

7 Q And in what capacity was that?

8 A As a consultant or as independent opera-
9 tor.

10 Q Do you hold any professional degrees, Mr.
11 Fonay?

12 A Yes. I have a BS in petroleum engineer-
13 ing from Colorado School of Mines?

14 Q Pursuant to your employment as a consul-
15 tant on behalf of McCasland Oil Disposal Systems Partner-
16 ship, have you made a study of the facts surrounding this
17 application for salt water disposal?

18 A Yes, sir, I have.

19 MR. KELLAHIN: If the Examiner
20 please, we tender Mr. Fonay as an expert petroleum engineer.

21 MR. STOGNER: He is so quali-
22 fied.

23 Q Mr. Fonay, let me direct your attention
24 first of all to the plat which is marked as Exhibit Number
25 One, and have you orient the examiner as to the site of the

1 proposed disposal well and the type of wells that are des-
2 cribed on Exhibit Number One.

3 A The Exhibit One is a lease map of all
4 wells in the area. The arrow points to the proposed well,
5 the Steve State No. 1, located in Unit letter F of Section
6 1, 22 South, 35 East, Lea County, New Mexico.

7 It's about seven miles southwest of Eun-
8 ice.

9 As I said, the map shows all wells in the
10 area. The majority of the wells in the general vicinity are
11 shallow Yates-Seven Rivers-Queen tight producers.

12 Q Would you identify for the examiner what
13 the current status is of the proposed injection well?

14 A It's currently a shut-in gas well.

15 Q Would you describe for the examiner what
16 the McCasland Disposal System constitutes and how this well
17 will be integrated into the system?

18 A MsCasland Disposal System currently oper-
19 ates three disposal wells in the immediate vicinity, the Day
20 No. 1 and Day No. 2, located in Unit letter C and D of Sec-
21 tion 6, 22, 36, and ATHA No. 1, located in Unit letter N of
22 Section 31, 21 South, 36 East.

23 Q This is a commercial disposal system for
24 McCasland?

25 A Yes, it is. He disposes of produced --

1 trucked produced water from throughout the area to this fa-
2 cility and disposes into these three wells.

3 Q And how will the subject well be inte-
4 grated into the existing system?

5 A Proposed to lay a pipeline from the
6 existing facility located by the ATHA No. 1 to the Steve
7 State No. 1 to integrate it into the system for additional
8 disposal capacity.

9 Q All right, sir. Did you, sir, prepare
10 the Commission Form C-108 and all the attachments thereto?

11 A Yes, sir, I did.

12 Q All right. Let's turn now to Exhibit
13 Number Two, which is a copy of the C-108 form, and you exe-
14 cuted this on behalf of McCasland Oil Disposal System?

15 A Yes, sir, I have.

16 Q All right, let's turn now to Exhibit
17 Three and have you discuss for us the way the disposal well
18 will be recompleted for disposal.

19 A Okay. It's shown there, as I stated,
20 this well was spudded December 29th, 1980, and was original-
21 ly drilled as an attempt at a potential gas producer in the
22 Jalmat Pool.

23 Surface casing, 8-5/8ths was set at 417
24 feet and cement was circulated to surface.

25 Long string was set at 4300 feet, 5-1/2

1 inch string, cemented with 700 sacks of cement, was also
2 circulated to surface on this string. So good cement on
3 both strings.

4 The gross perforated intervals are listed
5 there. These zones were tested selectively.

6 From 3243 to 4248 tested water and there
7 is currently a cast iron bridge plug over those perfs.

8 The interval from 4250 to 4181 tested
9 water; case iron bridge plug and 35 foot cement was put over
10 these perfs.

11 Interval from 3824 to 3918 was tested as
12 a real weak gas well; IP'ed for 60 Mcf a day and 80 barrels
13 of water.

14 Currently the well is just shut-in.

15 What we propose to do would be to drill
16 out those cast iron bridge plugs to get back to the Seven
17 Rivers formation; open up all existing perforations; run 2-
18 7/8ths plastic-lined tubing set at approximately 3700 feet
19 with a packer set at 3700 feet; have packer fluid on the
20 back side and set up for disposal.

21 Q Do you have an opinion as to whether or
22 not this wellbore is suitable for disposal in the Yates and
23 Seven Rivers?

24 A Yes, it is. The wellbore is in good
25 shape; recently drilled and cemented properly, and the well-

1 bore is in good shape.

2 Q In your opinion is this wellbore capable
3 of production of gas or oil at this time?

4 A Not commercially, no, sir.

5 Q Let's turn now to Exhibit Number Four and
6 have you identify that exhibit for us.

7 A As per the C-102 requirements, the area
8 of review encompasses the half mile radius around the Steve
9 State No. 1.

10 There are three wells within that half
11 mile radius of review with their name and date spudded and
12 locations given on Exhibit Four. I think I've said all
13 these wells have been plugged and abandoned. The details of
14 the plug and abandonment of these three wells is shown on
15 Exhibits Five, Six, and Seven, all the details of each of
16 those plugged wells given on those exhibits.

17 Q All right. Let's go through the indivi-
18 dual schematics for each of the plugged and abandoned wells
19 and have you summarize for us the plugging method and render
20 an opinion as to whether or not these wells are adequately
21 plugged and abandoned to isolate the Yates-Seven Rivers dis-
22 posal formation from contamination of any other formations
23 through the plugged and abandoned wellbores.

24 A Okay. The first one is the Tenneco Amer-
25 ada State located in Unit letter B of the same section. It

1 was drilled in 1956 and plugged in '71; drilled similar to
2 the Steve State; surface casing set at 318 with cement cir-
3 culated. 5-1/2 string was set at 3858 with top of cement
4 shown at 3150. That was determined by temperature survey,
5 as indicated in the Oil Conservation records. A 25-sack
6 plug set above the perfs. Casing cut off and another plug
7 there at the surface casing shoe and another at the surface.
8 Plugged and abandoned properly; should be no problem.

9 Q All right, sir, turn then to Exhibit Num-
10 ber Six and describe that one for us.

11 A Exhibit Number Six is the Humble Oil and
12 Refining New Mexico State "AR" No. 1; similar again, surface
13 at 357 feet, circulated; casing set at 3,872, 5-1/2. Top of
14 cement is up in 5-1/2, 8-5/8ths annulus, determined by temp
15 survey.

16 It was completed open hole as well as
17 perforated. Upon abandonment in 1957 the cast iron bridge
18 plug was set above the perfs, cement on top, and another
19 plug at surface. Again properly plugged and abandoned; no
20 problem.

21 Q All right, sir, and Exhibit Number Seven.

22 A The final well within the radius of re-
23 view is the Continental Oil Company State F 1-A No. 1, and
24 it's located in Unit letter H of the same section.

25 This well was drilled somewhat older; was

1 drilled in 1939 and set an additional intermediate string.
2 Surface was set at 273 feet, circulated; intermediate at
3 1803 feet and then production string at 3726 feet.

4 The well was completed open hole to 3949.
5 Upon abandonment in 1947 a total of five plugs were set
6 coming out of the hole with cast iron bridge plug at surface
7 with 2600 foot of 5-1/2 and 670 foot of 7-5/8ths recovered.

8 Sufficient plugs and cement there should
9 cause no problems whatsoever.

10 Q Let me ask you some questions now, Mr.
11 Fonay, about Exhibit Number Eight in terms of the proposed
12 method for operating this disposal well.

13 Would you describe for us what you anti-
14 cipate to be the average daily volumes, the pressures, the
15 source of the disposal water, and the general information
16 depicted on Exhibit Number Eight?

17 A Okay. As stated earlier, McCasland cur-
18 rently operates three wells in the area; currently dispose
19 of about 60-70,000 barrels per month on a vacuum into the
20 Yates-Seven Rivers formation. This well would be added to
21 that system for additional capacity.

22 Average daily injection volume will be in
23 the range of 600, somewhere in that range, possibly less.

24 Run a closed system. Tanks are closed.
25 The maximum we'd expect would be 1250, in that range, and

1 anticipate -- do not anticipate putting any pressured water
2 into this system but request a maximum injection pressure of
3 700 if there was ever a need to -- for that type pressure to
4 get rid of acquired water.

5 Also, Step Number Four there in Exhibit
6 Number Eight refers to Exhibit Number Nine, and this is a
7 sample of water currently being disposed of in the existing
8 system. This produced water from throughout this area on
9 leases that are producing water are trucked to this system
10 and disposed of here; would be a variety of produced brines.
11 The sample doesn't show anything unusual as far as chloride
12 content or anything else and this water has been injected
13 into this same formatin for some time and there's been no
14 compatibility problem, and we would perceive none in the --
15 in the Steve State No. 1 out of the same formation.

16 Q Would you turn now to Exhibit Number Nine
17 and identify --

18 A Exhibit Number Nine is that water analy-
19 sis, as I said.

20 Q All right, and that is from the disposal
21 system that McCasland operates.

22 A Yes, sir.

23 Q You also have a fresh water analysis sub-
24 sequent in your exhibits.

25 A Yeah, we've got them later in the exhi-

1 bits.

2 Q All right. Let's go to Exhibit Ten,
3 then, at this point and have you describe for us the infor-
4 mation contained on that exhibit.

5 A Okay. Geologically, as I stated earlier,
6 disposal would be into the Yates and Seven Rivers forma-
7 tions. Now the Yates is a series of sandstone and dolomite
8 stringers, of a thickness about 400 feet thick in this area
9 with the top at 3,760 feet.

10 The Seven Rivers is dolomite and lime and
11 extends from its top at 4160 to TD. The majority of the
12 water would probably be into the Seven Rivers formation as
13 it's a more -- has higher porosity and permeability.

14 There is no fresh water wells within a
15 half mile radius of the Steve State No. 1 but there is some
16 fresh water just a little over a mile away in Section 6 of
17 22, 36. These wells produce from the Ogallala formation at
18 a depth of approximately 175 feet.

19 No specific stimulation program is plan-
20 ned. If the well doesn't satisfactorily take disposed
21 fluids, reperforation and acidizing may be required. The
22 other wells had to be acidized periodically.

23 I have analyzed all available engineering
24 and geological data available in the immediate vicinity and
25 found no evidence of any problem as far as open faults or

1 any other connection between the formation we intend to dis-
2 pose into and this Ogallala formation.

3 I have a sample here provided to me by
4 the State Engineer on the fresh water well in Section 6.
5 The date of this sample was November 16th, 1984, less than a
6 year ago. Chloride content was roughly 2000 and there's
7 been a good deal of disposal in this area for some time in
8 this formation, over 7-million barrels. This well is ob-
9 viously not being affected. We don't perceive any problem
10 there, either.

11 Q Have you caused to be -- have you caused
12 a search to be made looking for other fresh water wells in
13 the immediate area?

14 A Yes, sir, I have. I've contacted the
15 State Engineer's Office here in Santa Fe. I talked to Mr.
16 Frank Craig. His correspondence back to me is Exhibit
17 Number Thirteen, stating that, you know, he searched for the
18 wells, found none in the half mile radius and the only thing
19 in the area was these wells a little over a mile away in
20 Section 6.

21 Q In terms of the surface limitation
22 pressure for the disposal well, Mr. Fonay, will that be a
23 surface limitation pressure that meets the .2 psi per foot
24 of depth guideline of the Division?

25 A Yes, sir, it will.

1 Q And will your annular space at the
2 wellhead be equipped with a pressure gauge or some other
3 device to monitor the pressure on that annular space?

4 A Yeah, that will be no problem there.

5 Q All right.

6 MR. KELLAHIN: Mr. Examiner, at
7 this time we would also tender to you Exhibits Fourteen and
8 Fifteen, which are the certified mail return receipts for
9 notification of the offset operators.

10 For your information, we are
11 working with Ray Graham down in the Oil and Gas Division of
12 the Land Office. This wellbore, we believe, will require a
13 salt water disposal easement from the Commissioner, as well
14 as additional right-of-ways for pipeline and roads and we
15 would request that your approval of this disposal well be
16 contingent upon us also getting approval of the Commis-
17 sioner.

18 Like I said, we're working with
19 Mr. Graham and we have his cooperation in filling out the
20 necessary forms. We believe that we will accomplish that
21 shortly, but the Division is no good to us without Mr. Gra-
22 ham's approval and they ought to go hand in hand.

23 MR. STOGNER: What is the sta-
24 tus of those negotiations with the Land Office?

25 MR. KELLAHIN: Mr. Graham has

1 given us all the necessary forms. He's researched his file
2 and indicated to us hows to complete and file those docu-
3 ments.

4 MR. STOGNER: What kind of time
5 limit are you all looking at on that?

6 A We'll get it done pretty quick, Mr. Exa-
7 miner. It won't -- should be -- shouldn't be any problem.

8 MR. KELLAHIN: I would think
9 within ten days, Mr. Stogner.

10 MR. STOGNER: I'll be in con-
11 tact with Mr. Graham and (not clearly understood.)

12 MR. KELLAHIN: His approval is
13 contingent upon the Oil Division's approval, so it requires
14 that the two of you discuss this.

15 MR. STOGNER: Okay. Thank you
16 for notifying me on that.

17 Let's see, I'm looking at your
18 notices here. You have two sets of notices. This case was
19 amended, was it not?

20 MR. KELLAHIN: Yes, sir.

21

22 CROSS EXAMINATION

23 BY MR. STOGNER:

24 Q You have one in here, your first one, Ray
25 Pearce?

1 A It's the operator to the north.

2 Q In Section 36?

3 A Yes, sir.

4 Q Okay, and I show Gulf as being the opera-
5 tor in the southwest quarter, Mr. Pearce the operator in the
6 west half of the southeast quarter?

7 A Yes, sir.

8 Q Okay, you show -- yeah, R. A. Pearce, for
9 Crown Central, or something to that effect.

10 Warrior, Incorporated, they're
11 to your immediate --

12 A East.

13 Q -- east, are they not? East.

14 How about Amerada Hess?

15 A Amerada Hess has a lease to the southwest
16 and the half mile circle just barely clipped their 40-acre
17 tract in the northwest of the southeast of Section 2. I
18 went ahead and notified them.

19 Q Okay, now on the west half of Section 1,
20 where you're located, who's the leasehold on that, or is
21 that --

22 A Sol West and McCasland Disposal Systems
23 has assignment of that lease from Sol West to the McCasland
24 Systems that will be filed with Mr. Graham along with that
25 acquired business lease.

1 MR. TAYLOR: Is there a surface
2 user of that in the State, either grazing --

3 A Well, the State is the owner of the sur-
4 face and they were also notified by registered mail of this
5 application.

6 MR. KELLAHIN: There is no
7 grazing lessee that we could find.

8 Q In Exhibit Number Eight, Part No. 4, you
9 mention in there that offset wells currently are disposing
10 of this type of water into the Yates-Seven Rivers forma-
11 tions.

12 Where are some of the nearest disposal
13 wells?

14 A Okay, the nearest disposal wells would be
15 those three operated by McCasland Disposal Systems: The Day
16 No. 1 and Day No. 2, located in Unit letter C and D of Sec-
17 tion 6, 22, 36, and the ATHA No. 1, located in Unit letter M
18 of Section 31, 21, 36; just a little over a half mile away.

19 Q Okay, the water, as is shown in Exhibit
20 Number Nine, is the same water as is being disposed in those
21 three wells that you've just mentioned.

22 A Yes, sir.

23 Q Okay.

24 MR. STOGNER: I have nothing
25 further of this witness.

1 Is there anything else of Mr.
2 Fonay?

3 MR. KELLAHIN: Nothing other
4 than to admit Exhibits One through Fifteen, if you please.

5 MR. STOGNER: Yes, sir, Exhi-
6 bits One through Fifteen will be admitted into evidence at
7 this time.

8 Is there anything further in
9 Case Number 8661?

10 MR. KELLAHIN: No, sir.

11 MR. STOGNER: If not, this case
12 will be taken under advisement.

13

14 (Hearing concluded.)

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a correct and true copy of the proceedings in the Examiner hearing of Case No. 8661, heard by me on 28 August 1985.
Michael E. Stoyne, Examiner
Oil Conservation Division