



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. STOGNER: We will now call  
Case Number 8712.

MR. TAYLOR: Application of  
Kimbell Oil Company of Texas for Hardship Gas Well  
Classification, Rio Arriba County, New Mexico.

MR. STOGNER: At the  
applicant's request, Case Number 8712 will be continued to  
the Examiner Hearing scheduled for October 23rd, 1985.

(Hearing concluded.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 8712, heard by me on 25 September 1985.  
Michael E. Harp Examiner  
Oil Conservation Division

1 STATE OF NEW MEXICO  
2 ENERGY AND MINERALS DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BUILDING  
5 SANTA FE, NEW MEXICO

6 23 October 1985

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Disposition of cases without testi-  
10 mony from the docket for 23 October  
11 1985.

CASES 5777  
8730, 8731  
8733, 8711  
8719, 8735  
8736, 8737  
8733, 8712  
8721, 8689  
8739, 8732

12 BEFORE: Michael E. Stogner, Examiner

13  
14  
15 TRANSCRIPT OF HEARING

16  
17 A P P E A R A N C E S

18  
19 For the Oil Conservation  
20 Division:

Jeff Taylor  
Legal Counsel to the Division  
Oil Conservation Division  
State Land Office Bldg.  
Santa Fe, New Mexico 87501

21  
22 For the Applicant:  
23  
24  
25

1 STATE OF NEW MEXICO  
2 ENERGY AND MINERALS DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BLDG.  
5 SANTA FE, NEW MEXICO

6 6 November 1985

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Kimbell Oil Company CASE  
10 of Texas for hardship gas well 8712  
11 classification, Rio Arriba County,  
12 New Mexico.

13 BEFORE: David Catanach, Examiner  
14

15  
16 TRANSCRIPT OF HEARING

17  
18 A P P E A R A N C E S

19 For the Division: Jeff Taylor  
20 Attorney at Law  
21 Legal Counsel to the Division  
22 Energy and Minerals Dept.  
23 Santa Fe, New Mexico 87501

24 For the Applicant: Scott Hall  
25 Attorney at Law  
CAMPBELL & BLACK P. A.  
P. O. Box 2208  
Santa Fe, New Mexico 87501

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

2

I N D E X

SUE UMSHLER

Direct Examination by Mr. Hall	3
Questions by Mr. Chaves	21
Cross Examination by Mr. Catanach	31
Redirect Examination by Mr. Hall	32

STATEMENT BY MR. PAUL BURCHELL	32
--------------------------------	----

E X H I B I T S

Kimbell Exhibit One, Resume	4
Kimbell Exhibit Two, Application	5
Kimbell Exhibit Three, Notices	6
Kimbell Exhibit Four, Packet of Data	10
Kimbell Exhibit Five, Summary	19

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. CATANACH: Call Case 8712.

MR. TAYLOR: The application of Kimbell Oil Company of Texas for hardship gas well classification, Rio Arriba County, New Mexico.

MR. CATANACH: Are there appearances in this case?

MR. HALL: Mr. Examiner, my name is Scott Hall from the law firm of Campbell and Black, Santa Fe, on behalf of the applicant.

We have one witness this morning.

MR. CATANACH: Are there any other appearances in this case?

Will the witness stand and be sworn in, please?

(Witness sworn.)

SUE E. UMSHLER,  
being called as a witness and being duly sworn upon her oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. HALL:

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q For the record please state your name.

A Sue Umshler.

Q And where do you live?

A 1504 Camino Imparo, Northwest, Albuquerque, New Mexico.

Q How are you employed?

A I'm presently the President and Chief Engineer of Gulram, Incorporated, a consulting firm, and in this case we're engaged as a consultant to Kimbell Oil Company of Texas.

Q All right. I'm going to hand you what's been marked as Applicant's Exhibit One and ask you to identify that, please?

A This is a copy of my professional resume.

Q Ms. Umshler, have you previously testified before the Division?

A No, I have not.

Q If you'll refer to Exhibit One, would you please give us a brief summary of your background and qualifications?

A I received my Bachelor of Science degree from New Mexico Institute of Mining and Technology in 1975 and my Master of Science in civil engineering from UNM in 1979.

I've also attended various institutes in

1  
2 petroleum engineering.

3 I'm a Registered Professional Engineer  
4 with the State of New Mexico, Number 7307.

5 I have worked for approximately nine  
6 years for the U. S. Geological Survey Conservation Division  
7 as a Petroleum Engineer or Supervisory Petroleum Engineer.

8 That organization became the Minerals  
9 Management Service and Bureau of Land Management by my title  
10 and official duties did not change.

11 And in 1975 -- excuse me, in 1985 I  
12 started my own consulting firm.

13 Q All right, Miss Umshler, are you familiar  
14 with the application in this case and the subject well?

15 A Yes.

16 MR. HALL: Mr. Examiner, at  
17 this time we tender the witness as a qualified expert.

18 MR. CATANACH: The witness is  
19 so qualified.

20 Q Miss Umshler, I'm going to hand you  
21 what's been marked as Applicant's Exhibit Two and I'd ask  
22 you to identify that, please.

23 A This is a copy of the various applica-  
24 tions that have been filed in this particular request. It  
25 consists of three parts.

The first part is the administrative re-

1  
2 quest which was filed with the NMOCD on August 20th, 1985,  
3 requesting that this well be allowed to produce for a  
4 limited period of time each month to remove water.

5 This was followed on August 30th, 1985,  
6 with the completion and filing of the form application it-  
7 self, which was also filed with the Aztec Office.

8 And then this was supplemented by addi-  
9 tional material and a request for temporary relief on Sep-  
10 tember 10th, 1985, in Aztec, and September 12th, 1985, in  
11 Santa Fe.

12 Q And was the temporary relief granted?

13 A No, it was not. It was denied on 9-26-  
14 85.

15 Q All right. I'd ask you to refer to the  
16 plat contained in Exhibit Two, which is the last page, and  
17 if you would, please, identify the subject well on that  
18 plat.

19 A The subject well is the Salazar Well No.  
20 4-E, which is located in the southeast quarter northwest  
21 quarter of Section 34, Township 25 North, 6 West.

22 Q In what pool is this well completed?

23 A The Basin Dakota.

24 Q And is this a prorated pool?

25 A Yes, it is.

Q What is the present status of the well?

1  
2           A           This well was over-produced by a volume  
3 of 317,158 MCF in June of 1985.

4           Q           All right, what acreage is dedicated to  
5 the well?

6           A           It's dedication is the north half of Sec-  
7 tion 34, Township 25 North, 6 West.

8           Q           And is that a standard unit?

9           A           Yes, this is standard.

10          Q           All right. Looking at the plat again  
11 does it show the offsetting operators?

12          A           Yes, the plat does.

13          Q           All right, and has notice -- has notice  
14 been given to the offset operators?

15          A           Yes, it has.

16          Q           All right. This time I'll hand you  
17 what's been marked as Applicant's Exhibit Three and ask you  
18 to identify that, please.

19          A           This is a set of copies of the notices  
20 that were sent. Two of them were sent by Kimbell Oil Com-  
21 pany of Texas and two were sent by counsel to the offset  
22 operators and to the purchaser.

23          Q           All right, and did the notice contain the  
24 minimal sustainable producing rate which you seek --

25          A           Yes.

          Q           -- which you seek in the case?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A Yes, it contains that in the form application.

Q Okay, and what is that rate?

A The rate we're requesting is 13,550 MCF per month.

Q Could you explain to the Examiner how this rate was derived?

A The calculation of this minimum flow rate, which we feel is required to prevent damage, was performed by studying a pressure drop resulting from skin damage or formation damage to zero in the radial flow equation for gas.

The other data used in the formula are from the completion report and the June, 1985, pressure and flow tests. The results of this calculation are discussed in the engineering report, dated August 15th, 1985, which is a part of Exhibit Two and was submitted in the application originally.

Q All right, in your opinion will underground waste occur if production from this well is curtailed below the recommended producing rate?

A Yes. I believe that underground waste will occur.

Q And how will that occur?

A The Salazar 4-E was completed as a high

1  
2 productive potential well. It was produced fully upon com-  
3 pletion to remove the excess frac water immediately from the  
4 well (inaudible). This resulted in the overproduced status  
5 which cause the well to be shut in in June, 1985; however,  
6 this portion of the Basin Dakota Pool is subject to poten-  
7 tial irreversible formation damage, or skin damage, caused  
8 by in situ water interaction with the clay constituents of  
9 the reservoir rock, reducing the permeability of the reser-  
10 voir face in the wellbore.

11 The exact mechanism of damage is the sub-  
12 ject of many studies but the effect, irretrievable loss of  
13 producable reserves, is consistently documented.

14 It has also been shown that workovers of  
15 damaged wells cannot completely recover the lost permeabil-  
16 ity and producability of these wells. The best cure of this  
17 type of damage is prevention and the preventative measure  
18 that we seek for this well is regular production at suffi-  
19 cient volumes to effectively remove the water.

20 This is our objective in our request for  
21 hardship well classification. By preventing irreversible  
22 damage to the well, we seek to prevent the underground waste  
23 of reserves.

24 To support our request we will be pre-  
25 senting an analysis of productive histories of four Dakota  
wells in the immediate offset spacing unit to the Salazar 4-

1  
2 E. Our conclusion is that three of these wells have suf-  
3 fered formation damage which has resulted in premature aban-  
4 donment of two of them. One of the wells has not been  
5 damaged because it has had regular production throughout its  
6 life with the longest shut-in time period of four months.

7 Q All right, at this time I'll hand you  
8 what's been marked as Exhibit Four and ask you to identify  
9 that, please.

10 A This package contains the analysis  
11 material for the four offsetting wells and a summary of the  
12 well history of the Salazar 4-E.

13 The first page on this exhibit is a plat  
14 that I've identified each of the subject wells I'll be dis-  
15 cussing by a colored dot, and the first thing I would like  
16 to do is review the production history of the Salazar 4-E,  
17 which is the well in question and is the red dot on this  
18 plat.

19 The Salazar Well No. 4-E was completed on  
20 February 21st, 1984, with an initial potential of 4,98 MCF  
21 per day.

22 It began producing on May 12th, 1984, and  
23 was shut-in in June, 1985 being over-produced.

24 Pressure tests in 1984 and 1985, respec-  
25 tively, shut-in casing pressure of 1,337 and 1,332 psi, in-  
26 dicate that this well had not experienced irreversible form-

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ation damage as of June of this year.

The cumulative production has been 586,993 MCF with an average production rate of 1,947 MCF per day and 4.5 barrels of water per day. The gas/water ratio is 2.17 barrels per 1000 MCF.

The complete production table and plot are part of the initial application. Using a BHP/z versus cumulative production plot and a volumetric analysis of the existing data results in estimated original gas in place of 3.95 to 4.45 BCF. Assuming 85 percent recovery we estimate recoverable reserves to be 3.35 to 3.78 BCF.

If this well remains shut-in until the overproduction is reduced to zero, estimated to be approximately 12 additional months, damage could occur and reserves would be lost. This well has already been shut-in for the longest time period of any of the offset wells we examined, considering that damage has apparently occurred with lost reserves in three of these offsets, our conclusion is that the Salazar 4-E will experience irreversible damage, if it has not already done so this month, and it will certainly have formation damage if it continues to be shut-in for the twelve month period.

Based upon this analysis we feel that this well and the other wells in this area should not even have a single month of total shut-in.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

The next well I would like to examine is the Salazar No. 4. This is the green dot on Plat II.

This well was completed on October 23rd, 1958, with an initial potential of 2,878 MCF per day and was abandoned in 1983 with a cumulative production of 1.32 BCF.

This well is particularly interesting because it is the first well in the spacing unit to which the 4-E is dedicated as an infill well. One would expect a strong correlation between the production characteristics of the 4 and the 4-E.

The records available in the early life of this well indicate that it was allowed to produce a minimum of one to two days prolonged shut-in periods with only two months of total shut-in prior to 1965.

From 1965 to 1982 it had no months with a total shut-in. The production decline was sharp but not irregular.

In latter 1981 the well began to log off repeatedly and a swabbing unit was moved in. A swab test indicated that excessive water was coming into the wellbore, probably from a casing leak. The well was open but continually logged off during 1982 and '83. Production dropped dramatically from an average of 40.6 MCF per day in 1981 to 7 MCF per day in the 1982, and 1.14 MCF per day in 1983, and the zone was abandoned in March, 1983.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

This well was lost because the water could not be effectively removed from the wellbore. A BHP/z versus cumulative plot analysis indicates that the gas in place for this well is 1.75 BCF, which results in recoverable reserves of 1.4875 BCF, assuming an 85 percent recovery. This well actually produced 1.3176 BCF. That means that we lost approximately .1699 BCF, or 11.4 percent of the potentially producible reserves from this well.

This analysis is followed by the plots, the decline curves, and the production table for this well.

The next well I'd like to examine is the Federal Well No. 3, the blue dot on the plat.

This well was completed on October 26th, 1963, in the northwest quarter southwest quarter Section 34. It had an initial potential of 6,152 MCF.

This well has shown erratic production since 1981 because of the irregular shut-in periods, but overall has experienced a normal decline. The longest total shut-in period for this well has been four months and that occurred in 1983, but in its early life it was never shut-in for more than one month.

In 1968 this well developed casing leaks and was repaired by squeeze cementing. A production packer was installed at 6,403 feet to keep the water separated from the Dakota formation if other leaks developed.

1  
2 A decline curve analysis indicates that  
3 recovery has not yet been impaired for this well and that  
4 the preventative measures of 1968 and the regular production  
5 to date have been effective at preventing irreversible water  
6 damage to the producing zones.

7 The estimated gas in place is 8.5 BCF,  
8 which would be recoverable reserves of about 7.25, assuming  
9 85 percent recovery.

10 The decline analysis shows that recover-  
11 able production should be about 17.78 BCF, so this well has  
12 not been damaged to date.

13 These analyses indicate that this well  
14 has not lost productive potential despite erratic production  
15 since 1981. Regularity of production during prolonged shut-  
16 in periods, which has occurred throughout the life of this  
17 well, and the production packer, has prevented formation  
18 damage by effectively removing the water and separating it  
19 from the formation face.

20 This well demonstrates that regular pro-  
21 duction dictated by individual well characteristics during  
22 low demand periods and water removal from the wellbore can  
23 prevent irreversible formation damage and protect full  
24 potential of the well.

25 This analysis is also supplemented with  
the actual calculations and charts.

1  
2 The next well I'd like to examine is the  
3 Federal Well No. 3-E, which is the black -- the brown dot on  
4 the plat.

5 This well was completed in June of 1980  
6 in the northeast southeast quarter of Section 34. It had an  
7 initial potential of 2,227 MCF per day.

8 This well has experienced very erratic  
9 production with several four-month total shut-in periods.  
10 This appeared to have affected this well adversely as com-  
11 pared to the No. 3 with four-month shut-in periods, possibly  
12 because it is a new well, it is more sensitive to the  
13 extended shut-in period.

14 Comparing this well to the Salazar Well  
15 No. 4-E, which is also a new infill well, a four-month or  
16 greater shut-in period would be damaging, so the Salazar 4-E  
17 is on the verge of experiencing irreversible damage.

18 A BHP/z versus cumulative production  
19 analysis for this well indicates that gas in place is 1.1  
20 BCF and this may be low because the pressure information for  
21 this well is limited at this time.

22 This would yield a .935 recoverable re-  
23 serve with an 85 percent recovery.

24 The decline plot, which is also hampered  
25 by the erratic production, indicates that recovery will only  
be about .677 BCF. This means this well will have a pre-

1  
2 dicted loss of .258 BCF, or 27.6 percent of its producable  
3 reserves. This would indicate that this well is not being  
4 produced for long enough periods at sufficient volumes on a  
5 regular basis to remove the water adequately.

6 And the last well that I'd like to exa-  
7 mine is the Farming E Well No. 3-E, which is the yellow dot  
8 on the plat.

9 This well is located in the northwest  
10 quarter northwest quarter of Section 2, Township 24 North,  
11 Range 6 West. It was completed in 1981 and the completion  
12 data was unavailable for analysis.

13 We had a single flow test reported on Ap-  
14 ril of 1981, which indicated a flow rate of 11,720 MCF per  
15 day and a shut-in casing pressure of 1,445 psi.

16 This well only produced five months in  
17 1981 and one month in 1982 before the zone was abandoned.  
18 It's cumulative production was 134,421 MCF, 1100 barrels of  
19 oil, and 20,000 barrels of water.

20 Obviously this well was severely water  
21 damaged and had to be prematurely abandoned. Based on the  
22 single pressure test and the slope of the BHP/z plot to the  
23 Federal Well No. 3, which is the closest infill well drilled  
24 about the same time, one may conclude that the gas in place  
25 for this well was hypothetically .95 BCF. With an 85 per-  
cent recovery, this means that producable reserves would

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

have been .8075 BCF. This results in a loss to this well of

The attached plat, which is a part of this exhibit, indicates that this well was surrounded by much higher potential wells and that there is no geologic reason why it was a poor quality well. The producing offsets have averaged recovery of 1.74 BCF at the close of 1983, and the two wells that are on the same geologic trend to the northwest produce an average of 2.75 BCF.

The Salazar 4-E Well, the well in question, which was drilled in 1984 after this well was abandoned, as we have seen also has a potential of 4.0 BCF and all of these offset wells are still producing; therefore this well had an excellent potential for production. There is no other apparent reason for the poor performance except irreversible damage caused by the water alteration of the reservoir rock.

This well also proves that water damage is possible and probably in this portion of the Basin Dakota Pool if the water cannot be effectively removed from the wellbore and will result in the premature abandonment of these damaged wells.

Q Miss Umshler, what reasonable and economic attempts have been made by the operator to try to remedy the water situation on the 4-E?

A Well, the initial attempt to protect this

1  
2 well was to produce it fully to remove the excess frac  
3 water, and this would prevent foreign water intrusion into  
4 the producing zone.

5 Our current attempts have been directed  
6 toward establishing a minimum regular production rate, be-  
7 cause this is the most economic and effective method to re-  
8 move the potentially damaging formation water. This well  
9 has not been damaged in June of 1985 so no workover of com-  
10 pletion equipment were necessary or justified. Prevention  
11 by production, which is our goal, is the most cost effec-  
12 tive method to protect the reserves of this well.

13 Q All right, if you would refer back to Ex-  
14 hibit Two again, I believe there's a wellbore sketch in  
15 there. Are there any mechanical conditions that might limit  
16 the ability of the operator to eliminate the problem without  
17 a hardship classification?

18 A Not at this time. This well is a stand-  
19 ard Dakota completion and I do not know of any mechanical  
20 operation or equipment which would prevent potential damage  
21 to this well at this time. The damage will be caused by ex-  
22 cessively long shut-in periods that will be inadequate re-  
23 moval of the formation water and only production can solve  
24 the problem at this time.

25 If the well remains shut-in and is dam-  
aged then corrective operations and equipment will be con-

1  
2 sidered.

3 Q Now if the application for hardship clas-  
4 sification is not granted for the 4-E, could it result in  
5 the premature abandonment of the well?

6 A Yes, I believe so, as evidenced by the  
7 Salazar Well No. 4 and the Farming E Well No. 3-E, as we  
8 just examined.

9 Q All right, and what are the reserves that  
10 would be lost if the application is not granted?

11 In that connection I'll show you what's  
12 been marked as Exhibit Five and ask you to identify that,  
13 please.

14 A Exhibit Five is a summary of the material  
15 that we just went over for the four wells that we examined.  
16 This summarizes the losses that each of the wells has  
17 actually suffered or are projected to suffer based upon the  
18 calculations I've done.

19 Based upon the results of these wells I  
20 projected the loss of reserves for the Salazar Well No. 4-E  
21 at varying percentages.

22 At 10 percent the loss to this well would  
23 be 335,000 MCF.

24 At 15 percent there would be 502,500 MCF.

25 And at 20 percent it would be 670,000 MCF  
of loss. I believe that this is the probably range of loss

1  
2 to the Salazar 4-E based upon the results of the wells we  
3 analyzed, if the Salazar Well 4-E is to remain totally shut-  
4 in.

5 Q Now, Miss Umshler, in your opinion has  
6 Kimbell Oil Company acted in a responsible and prudent man-  
7 ner to eliminate the problems which will result from cur-  
8 tailing production from the subject well prior to requesting  
the hardship classification?

9 A Yes, I believe so.

10 Q And will the granting of this application  
11 prevent underground waste of natural gas?

12 A Yes.

13 Q Will the granting of the application be  
14 in the best interest of the conservation of gas?

15 A Yes.

16 Q Have all the offsetting operators been  
17 notified of this application the production rate sought?

18 A Yes, they have.

19 Q Okay. Were Exhibits One through Five  
20 prepared by you or through your direction and supervision?

21 A Yes, they were.

22 MR. HALL: Mr. Examiner, at  
23 this time we'd move the admission of Exhibits One through  
24 Five.

25 MR. CATANACH: Exhibits One

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

through Five will be admitted in evidence.

MR. HALL: And at this time this concludes our direct presentation.

QUESTIONS BY MR. CHAVEZ:

Q Miss Umshler, what is the current over-produced status of the well?

A I do not have the exact allowable figures but based on approximately 25,000 MCF as its allowable, and five months of shut-in, it's still overproduced by approximately 200 -- by approximately 100,000 MCF.

Q What is the average allowable for the month for this well?

A I do not have that information.

Q How did you calculate the time required for making up the over production without that information?

A That projection was given to us in June of 1985, that the well would be shut-in for eighteen months and that was given to us by other sources. The producer himself determined that and passed that information on to --

Q You referred to documentation that -- concerning formaton damage that had occurred to wells, I guess Dakota wells in the San Juan Basin.

What documentation are you referring to?

A Excuse me, I don't --

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q You said that the history of formation damage was documented.

A Oh, the --

Q What documentation are you --

A The documentation I was referring to was just the general literature on formation damage to wells that have clay constituents in the formation rock and have formation water associated with them.

Q Did you ask for permission to produce the well monthly under the proration rules that allow a well to produce up to 500 MCF a month?

A No, I do not believe we made that request.

Q You referred to a suspicion of a casing leak in the Well No. 4, the Salazar No. 4, and you said that there may have been water that came in from this casing leak.

A Yes.

Q Do you have an idea of where this water may have come from, what formation?

A No. No tests were run and I do not believe that the operator had any other information. I was privy to the entire well jacket and there was no information on where that water came from.

Q Could this well -- this water have caused

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

the formation damage?

A           Certainly the water did cause the formation damage.   Whatever its source, the fact that that water could not be removed was the damaging factor.   That is our fear with the Salazar 4-E is that if formation water is left to accumulate on the well face that damage will occur even though it is not coming from some other intrusive force.

Q           But if the water had been coming from a casing leak in the No. 4 it would have been foreign water to the Dakota formation, is that right?

A           Yes, but then the Salazar 4 was never shut-in for an extended period of time, either, so there would not have been damage from that source.

              But the Salazar 4 showed that water damage to the face can occur if that water is allowed to accumulate by any source.

Q           Do other Dakota wells in this area appear to be approaching an 85 percent recovery rate?

A           Yes, they do.

Q           You said that in the Federal E No. 3-E Well on your Exhibit Number Four, I think it was, yes, had obviously been damaged by water, and that's not operated by Salazar, is it -- I'm sorry, by Kimbell?

A           No, that was a Getty operated well and it has been recompleted.

1  
2 Q Did you get any information from Getty as  
3 to their opinion why the wellbore had been damaged?

4 A No. I was unable to obtain any informa-  
5 tion about this Dakota completion. A lot of people have  
6 misplaced their records because the well only produced for  
7 six months and they didn't keep a lot of the information  
8 around.

9 The well had such a tremendous volume of  
10 water that was produced, it certainly had to be a situation  
11 where it was water damaged.

12 Q You said there was no geologic reason why  
13 the -- why the well was a poor producer. Did you examine  
14 any logs on the 3-E to determine if they'd -- if they'd been  
15 completed in the water productive interval of the Dakota?

16 A What I examined was a general geologic  
17 picture of the area and my conclusion was that the Basin  
18 Dakota reservoir potential for that was equivalent to the  
19 other wells based on that general report. I did not do any  
20 in depth geologic analysis of this well, and as I said,  
21 there was no apparent geologic reason why this well was a  
22 poor producer to me.

23 Q Did you do an analysis of the logs on the  
24 subject well, the Salazar 4-E, to determine whether or not  
25 it had been perforated or completed in a water bearing in-  
terval?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A No, I did not.

Q If that could be determined, let's say a lower interval or some intervals were water productive in that zone, wouldn't it be possible, to perhaps squeeze those intervals?

A If that were possible but I believe from the operator's report and the production history of the Salazar 4-E that it is not making an excessive amount of water as compared to other Dakota wells in the area. So I do not believe that they've even considered that possibility.

Q Have you looked to see whether the non-water productive Dakota wells in the area have not been perforated in a zone that the Salazar 4-D is perforated?

A The analysis that I conducted showed that most of the wells in this area in the Dakota completions do produce some water. I did not examine non-water producing wells.

Q You said that the Salazar 4-E had been produced at a high rate to prevent foreign water intrusion.

A Initially.

Q Foreign water, what would be foreign water to you?

A The initial -- the initial activity was to remove any excessive frac water that may have still been in the wellbore.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q So not necessarily remove foreign water.

A Just to remove the frac water.

Q The water that would be causing the problem, then, would be water from the Dakota formation, itself.

A Right.

Q Why over time has not this water already damaged the formation?

A The problem that we're dealing here with is a reduction of the permeability at the well face. It's not the formation is being damaged internally to the formation, but that when you have penetrated the formation and created a new face the water can accumulate there and reduce the permeability of the gas to the wellbore right at the face of the well. It only occurs within the first few feet of the well itself. That's why the shut-in of the -- shut-in nature of the well causes the water accumulation to occur at that well face.

In situ or formation water can be damaging because it does alter the ionic characteristic of the clay constituents at that face. It doesn't have an impact very far radially from the wellbore itself.

Q If that's the case, then why doesn't the workover reduce that, say an acid job or a re-frac that would penetrate through the face?

A The reports that I read indicate that you

1  
2 can get some recovery re-established but you'd never be able  
3 to get 100 percent; that no matter what type of operation or  
4 mechanical device, you are only able to re-establish up to  
5 about 85 percent of the original permeability after damage  
6 has occurred.

7 Those are the results of tests on wells  
8 across the country and I don't know of any specific test  
9 that has been done in this area.

10 Q One of the main bases that you use for  
11 determining there may be damage is the radial flow equation  
12 on your Exhibit Two.

13 A Uh-huh.

14 Q Where did you get the figures for -- that  
15 you used as the variables in this equation?

16 A Most of them came from the completion re-  
17 port or the June, 1985, deliverability forecast for this  
18 well.

19 Q Okay, then original gas in place calcu-  
20 lated cubic feet, where did that figure come from?

21 A I conducted a BHP/z versus cumulative  
22 production analysis based on the pressure points that I had.  
23 Of course that's limited because we only have two pressure  
24 points, but it was a fairly conservative line and it was al-  
25 so analogous to slopes of other BHP/z analyses for wells in  
the area.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q And porosity?

A Porosity was -- the porosity -- I don't know if we needed porosity in the calculation. No, it was not a factor in the calculation.

Q In calculating the original gas in place, though, you did not go through the plot of porosities, water saturation, and use those in your BHP/z plots?

A No. I simply did a gas pressure and production.

Q Did you compare that with the equation shown on Exhibit Two to determine if water saturation levels might change the original gas in place computation?

A The BHP/z analysis is independent of water saturations and no, I did not do any comparative work.

Q Wouldn't such a comparison perhaps confirm or deny the water saturations that you seem to be experiencing?

A Well, in both of these equations the attempt is to determine what the pressure and producibility impact are. The radial flow equation is an attempt to determine what the pressure drop would be if formation damage had occurred. The pressure drop is the final result of damage because as your pressures decrease, your producibility is reduced.

Therefore the analysis is aimed at those

1  
2 factors which would influence that pressure and that pres  
3 sure drop. Water saturation does not enter into that equa  
4 tion, however.

5 Q The radius flow equation is generally set  
6 up to predict producability of the wells, is it not?

7 A That's correct.

8 Q Has it been determined that the equation  
9 can be altered to actually predict damage that may occur or  
10 change in the permeability calculations?

11 A Since damage is a factor in that equa  
12 tion, if the other variables are known, yes, I think it  
13 would be an effective pool for predicting what potential  
14 damage might be.

15 Q In your experience with the Dakota forma  
16 tion have you experienced production through fractures that  
17 occur in the Dakota formation?

18 A I don't really understand the question.

19 Q In looking at the history of the Dakota  
20 formation there is some indication that the Dakota will not  
21 produce unless there are natural fractures.

22 Have you come across that?

23 A In a general sense probably, but I did not  
24 use that in this specific analysis.

25 Q If -- if this high productivity of the  
well could be attributed to natural fracturing, would not

1  
2 that change some of the variables in the rate of flow equa-  
3 tion, such as effect of wellbore radius and other variables?

4 A It depends upon what -- how far you're  
5 reaching out. This equation is designed simply to analyze  
6 the effect of what's going on right around the wellbore, and  
7 that's an altered environment that is not consistent with  
8 what the general characteristics of the formation might be.  
9 So what you're trying to examine is what the altered envi-  
10 ronment at the wellbore is experiencing and how it is being  
11 impacted by the various things that are occurring there,  
12 such as the well being drilled itself will have an influence  
13 on the characteristics of the reservoir at that particular  
14 location.

15 Q How did you derive at the porosity and  
16 other variables used in the reservoir equation?

17 A Well, porosity is not a variable in the  
18 equation. Most of the material came from the completion re-  
19 port and the pressure test from the well in June of 1985.

20 The only general assumed factor was the  
21 permeability, which I used the general reservoir permeabil-  
22 ity average as it was reported in the literature.

23 Q What literature is this now?

24 A The Four Corners Geological Analysis.  
25 This material is referenced in the engineering report as a  
reference as a source of information for these calculations.

1  
2 MR. CHAVEZ: I have no more  
3 questions at this time.

4  
5 CROSS EXAMINATION

6 BY MR. CATANACH:

7 Q Miss Umshler, has there ever been any  
8 kind of logoff test run on this well?9 A Not since -- the last test was the June,  
10 1985 pressure and deliverability test and we have not tested  
11 it since.12 Q Has Kimbell Oil considered changing the  
13 mechanical configuration of the well to help relieve this  
14 situation?15 A Not at this time. It was not -- since  
16 the well was not damaged there did not appear to be any  
17 reason to change the mechanical configuration and we know of  
18 no change that would prevent this damage from occurring at  
19 this time.

20 Q Couldn't the water be pumped off?

21 A Certainly, but you would have to be pro-  
22 ducing it to do that.23 MR. CATANACH: I have no fur-  
24 ther questions.25 MR. HALL: I have a couple of  
follow-up questions, if I might, Mr. Examiner.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

REDIRECT EXAMINATION

BY MR. HALL:

Q Miss Umshler, are the calculations made by you an effective and reliable engineering method to ascertain probable or likely skin damage to a degree of certainty?

A Yes, I believe they are.

Q All right. In your opinion would it be prudent for an operator to wait until actual damage or waste occurred before submitting an application for a hardship order?

A No, I do not believe that that would be a prudent action.

MR. HALL: I have nothing further.

MR. PAUL BURCHELL: Mr. Examiner, my name is Paul Burchell. I'm with El Paso Natural Gas Company. We're the purchaser of the gas from this particular well in question.

I'd like to point out my company's position in this and it is that we're not too terribly fond of taking hardship gas. It interferes with the problem of ratable take on our system. It interferes with our flexibility in pipeline operation.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

However. we do recognize in many cases that a hardship status should be granted certain wells, particularly if it's going to eventually end up in the ultimate loss of gas and underground waste.

So whatever the Commission decides in this particular matter, we're more than willing to take whatever volumes of gas you determine is necessary to keep this well from suffering damage.

At the present time we have this well shut in and if the Commission so desires, we will put this well back on production immediately, upon one phone call, if you think we should do that to give you time to weigh and ponder the evidence in this particular prayer.

Thank you.

MR. CATANACH: Thank you, Mr. Burchell.

Are there any other questions of the witness?

If not, she may be excused.

Is there anything further in Case 8712?

If not, it will be taken under advisement.

(Hearing concluded.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 8712, heard by me on November 6 1985.

David Catanzano, Examiner  
Oil Conservation Division

## NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARINGSANTA FE, NEW MEXICOHearing Date NOVEMBER 6, 1985 Time: 8:00 A.M.

NAME	REPRESENTING	LOCATION
Joel Carson	Loxe & Carson P.A.	Artesia
John Warren	WARREN, INC.	Albuquerque
Robert Luyke	Amerenda Hess	Denver
Gregory Moston	Amerenda Hess	Denver
Paul W. Benchell	El Paso Natural Gas Co	El Paso, TX
Ernst L. Padell	Padell & Smyth	Santa Fe
Sue E. Urnsler	GULRAM, INC	Albuquerque
Paul Thompson	NORTHWEST PIPELINE	FARMINGTON
Scott Hall	Campbell & Bick	SF
Frank J. Day	OCD	Alto
Hal Crabbe	Monsanto Oil Co	Midland
Jason Kellerman	Kellerman & Kellerman	Santa Fe
Al Greer	Beaman-Martin Inc	Farmington
Dan Rutter	Cous. Euge	Santa Fe