

1 STATE OF NEW MEXICO  
2 ENERGY AND MINERALS DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BLDG.  
5 SANTA FE, NEW MEXICO

6  
7 21 November 1985

8 EXAMINER HEARING

9 IN THE MATTER OF:

10 Application of Tenneco Oil Company  
11 for downhole commingling, San Juan  
12 County, New Mexico.

CASE  
13 8762, 8763,  
14 8764, 8765

15 BEFORE: Michael E. Stogner, Examiner

16  
17 TRANSCRIPT OF HEARING

18  
19 A P P E A R A N C E S

20 For the Division:

21 Jeff Taylor  
22 Attorney at Law  
23 Legal Counsel to the Division  
Energy and Minerals Dept.  
Santa Fe, New Mexico 87501

24 For the Applicant:

25 W. Thomas Kellahin  
Attorney at Law  
KELLAHIN & KELLAHIN  
P. O. Box 2265  
Santa Fe, New Mexico 87501

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

2

I N D E X

STATEMENT BY MR. KELLAHIN 3

FRANK J. WEISS III

Direct Examination by Mr. Kellahin 5

Cross Examination by Mr. Stogner 18

E X H I B I T S

Tenneco Exhibit One, Graphs, etc. 8

Tenneco Exhibit Two, Packet 14

Tenneco Exhibit Three, Packet

Tenneco Exhibit Four, Packet

Tenneco Exhibit Five, Packet

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. STOGNER: Call next Cases Number 8752, 8763, 8764, and 8765 at the applicant's request.

MR. TAYLOR: The application of Tenneco Oil Company for downhole commingling, San Juan County, New Mexico, each of them are.

MR. STOGNER: We will call for appearances in each and every one of these matters.

MR. KELLAHIN: If the Examiner please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing on behalf of Tenneco Oil Company, and I have one witness.

MR. STOGNER: Are there any other appearances in any of these cases?

Will the witness please stand and be sworn?

(Witness sworn.)

MR. STOGNER: Mr. Kellahin?

MR. KELLAHIN: Thank you, Mr. Stogner.

By way of introduction, Mr. Stogner, Tenneco has filed with the district office a number of applications to commingle the Basin Dakota and the Blanco

1 Mesawerde in wells.

2 Mr. Chaves of the district of-  
3 fice approved others but requested that these four wells be  
4 set for hearing because the administrative application did  
5 not have enough information by which he could determine the  
6 economics of the two zones to be commingled.

7 As you may recall, one of the  
8 rules of the Division for administrative approval of gas  
9 zones is set forth in Paragraph (g) 1 and talks about the  
10 economics of the zones to be commingled.

11 Mr. Chaves believed that addi-  
12 tional testimony was needed through a hearing process to  
13 satisfy the Commission on that point.

14 Accordingly, what you have be-  
15 fore you are a number of exhibits.

16 Exhibit One applies to all the  
17 cases.

18 Exhibits Two, Three, Four, and  
19 Five are the package of documents that affect each of the  
20 four wells.

21 We propose to go through Exhi-  
22 bit One and Exhibit Two and then to summarize the rest of  
23 the exhibits. The information contained as to each well is  
24 virtually identical. The essential information that we want  
25 to convey to you can be outlined by using one of the cases

1 as an example.

2 We propose to use the Dawson A-  
3 l as the example case that applies to all wells.

4

5

FRANK G. WEISS, III,

6 being called as a witness and being duly sworn upon his  
7 oath, testified as follows, to-wit:

8

9

DIRECT EXAMINATION

10 BY MR. KELLAHIN:

11 Q Mr. Weiss, for the record would you state  
12 your name and occupation?

13 A Frank G. Weiss, the third, Senior Produc-  
14 tion Engineer for Tenneco Oil.

15 Q Mr. Weiss, have you previously testified  
16 before the Division?

17 A No, I have not.

18 Q Would you identify briefly where you ob-  
19 tained your degree?

20 A I received a BS in engineering from the  
21 University of Wyoming in 1978.

22 Q Would you identify for the Examiner what  
23 has been your employment background as an engineer since  
24 graduation?

25 A Upon graduation I spent three years with

1 Gulf Oil, one year as a field foreman, field engineer; two  
2 years as an area engineer in the Caspar office, upon which I  
3 left Gulf's employment and have been with Tenneco for four  
4 and a half years.

5 Q As an engineer with Tenneco, Mr. Weiss,  
6 would you describe generally what your responsibilities are?

7 A I have responsibilities for the Largo  
8 area. It is an area within the San Juan Basin. It has cur-  
9 rently about 308 gas well completions, an active drilling  
10 program, and an active workover and recompletion program.

11 Q Have you been assigned a responsibility  
12 by your company to process the downhole commingling applica-  
13 tions that are before the Commission today?

14 A Yes, I have.

15 Q And are you familiar with the facts sur-  
16 rounding each of those applications?

17 A I am.

18 Q Would you give the examiner an introduc-  
19 tion as to the basis why you believe as an engineer that the  
20 downhole commingling of the Dakota and the Mesaverde forma-  
21 tions in each of these wells is one that's appropriate?

22 What's the basis that we're starting  
23 with?

24 A First I think we need to look at the  
25 mechanical completion of the wellbore on these wells. The

1 majority of these are older Mesaverde completions that were  
2 completed in about '52 to '55. They were open hole comple-  
3 tions that were shot with solidified nitroglycerin.

4 In the mid and late sixties Tenneco came  
5 back in, drilled out the shot hole and deepened these wells  
6 to the Dakota formation and ran 4-1/2 inch casing strings  
7 from total depth to surface; the restriction being at 4-1/2  
8 casing string you cannot run two strings of tubing. We were  
9 therefore forced to produce the Dakota from underneath a  
10 packer up strings of 2-3/8ths inch tubing and the Mesaverde  
11 is produced via the 2-3/8ths by a 4-1/2 inch annulus.

12 Q That's the way each of these wells is  
13 completed now?

14 A Yes, sir.

15 Q Dual completion; Dakota up the tubing;  
16 Mesaverde up the annulus.

17 A Yes.

18 Q What do you propose to do if the Division  
19 approves the downhole commingling? How will the zones be  
20 produced?

21 A The zones will be commingled downhole and  
22 produced via one string of 2-3/8ths inch tubing.

23 Q I believe you've told us the casing  
24 string to the surface is 4-1/2 inch?

25 A Yes.

1 Q In your opinion as an engineer is it  
2 feasible to dually complete these wells where each formation  
3 is produced up tubing?

4 A It is not. You know, there's no way we  
5 can get two strings of tubing, it's physically possible, but  
6 they do not make the appropriate wellhead equipment.

7 Q Have you studied other Mesaverde and  
8 Dakota wells in this area, Mr. Weiss, to determine what has  
9 happened in the past with regards to wells that were dually  
10 completed in the manner that these wells are?

11 A Yes, I have. Exhibit Number One is an  
12 example of was completed identical to these others, the  
13 Hamner No. 1. The first page --

14 Q All right, let's find out where the  
15 Hamner No. 1 is. Is there something on the exhibit that  
16 identifies the location?

17 A Yes, the Hamner No. 1 is 29, 9 West, 20  
18 -- I'm sorry, but --

19 Q All right, we'll get the correct descrip-  
20 tion later.

21 A The correct description is not correct.

22 Q Yeah.

23 A That last one is supposed to be --

24 Q The Hamner Well is operated by Tenneco?

25 A Yes.

1           Q           All right. Before you discuss the exhi-  
2 bit would you describe how this well was set up to produce  
3 both the Dakota and the Mesaverde?

4           A           Okay. Once again this was 4-1/2 inch  
5 casing to surface with a packer, 2-3/8ths tubing, a Dakota  
6 -- underneath the packer the Dakota produced by a 2-3/8ths  
7 inch tubing, the Mesaverde producing up the 2-3/8ths by 4-  
8 1/2 inch annulus.

9           Q           Okay. What does the exhibit show?

10          A           The exhibit shows that as the Dakota be-  
11 came marginal and nonproductive, 11 MCF per day, we received  
12 approval to plug it.

13                    If you'll note that in 1981, the end of  
14 '80, the beginning of '81, on the Mesaverde, which is the  
15 following curve, the rate from the Mesaverde increased from  
16 66 MCF per day to 158 MCF per day, an increase of 92 MCF per  
17 day.

18          Q           When the Dakota was abandoned, the Mesa-  
19 verde then was produced up the tubing string in this well?

20          A           Yes. It was abandoned and a string of 2-  
21 3/8ths tubing was run to produce the Mesaverde.

22          Q           And it increased the Mesaverde production  
23 by more than twice.

24          A           Yes.

25          Q           Okay. And what happened to the Dakota?

1           A           The Dakota was plugged and abandoned.

2           Q           In the event that downhole commingling is  
3 not approved for these four wells, Mr. Weiss, do you have an  
4 opinion as an engineer as to what will occur for these  
5 wells?

6           A           Yes, I do. I feel that as a result of  
7 not commingling these wells it will allow liquids build-up  
8 on both formations currently we see in the Mesaverde. You  
9 know, we had problems with liquid build-up and the fact that  
10 there was not enough annular velocity between the 2-3/8ths  
11 by 4-1/2 inch casing to produce these liquids; therefore as  
12 your gas brings liquids into the wellbore you get an  
13 increasing build-up of liquids, your mobility ratio for the  
14 gas decreases as the liquids build up.

15                       In addition, the Dakota, Tenneco feels  
16 these are marginal, ranging in production from roughly 49  
17 MCF a day, and I think the best one is around 115 MCF a day.

18                       We blow these wells on a regular basis to  
19 unload liquids from the Dakota, also. If we continue to  
20 produce them in this manner, there will be a point where we  
21 can no longer unload the liquids from the Dakota and at that  
22 point I feel we will lose reserves.

23           Q           You have concluded, then, Mr. Weiss, that  
24 the most effective and efficient way to produce both pools  
25 is to downhole commingle these wells now, is that correct?

1           A           Yes, sir.

2           Q           Do you have an opinion as to whether or  
3 not the downhole commingling now will result in greater ul-  
4 timate recovery from either or both zones in terms of hydro-  
5 carbons than if we postpone the downhole commingling to some  
6 time in the future?

7           A           I feel both wells will ultimately recover  
8 more reserves as a result of these downhole comminglings.  
9 As stated, you know, when the Dakota reaches a point when it  
10 becomes noneconomic and we can no longer lift those fluids,  
11 it will either be -- it would be plugged, whereas if we can  
12 use the Mesaverde's, you know, low pressure/high volume to  
13 effectively lift those liquids also, we can increase the  
14 cumulative recovery from the Dakota.

15                       In addition, you know, by allowing us to  
16 produce the Mesaverde up 2-3/8ths inch tubing it will effec-  
17 tively help, as I said, to unload all the wellbore fluids  
18 that are currently restricting the production, and hopeful-  
19 ly, change that mobility ratio and allow all those fluids  
20 that have built up to be produced.

21           Q           For each of your four wells, Mr. Weiss,  
22 have you prepared a package of exhibits that conforms to the  
23 Commission requirements for administrative approval?

24           A           Yes, I have.

25           Q           For each of those wells is the pressure

1 differential between the lower pressure and the higher pres-  
2 sure zone not more than twice?

3 A It is within requirements.

4 Q All right, and have you notified and ob-  
5 tained waivers from any offset operators with regards to the  
6 downhole comingling?

7 A We have.

8 Q And is the ownership for each zone com-  
9 mon?

10 A It is.

11 Q Let's build a little list here, Mr.  
12 Weiss, and let's have one column with Mesaverde, one column  
13 with Dakota, and then we'll run down the page with the well  
14 name, and if you'll pick whichever of the four wells you  
15 want to start with, let's start with the well name and then  
16 tell us what, in your opinion is the current producing rates  
17 from each formation.

18 A Okay. I will give you the current  
19 producing rate based on decline curve and these are extrapo-  
20 lated from the straight line decline on the curves.

21 Q Now your package of exhibits contains the  
22 decline curves, does it not?

23 A Yes, it does, and it does show the de-  
24 cline that is proposed.

25 Q All right, sir, let's have the numbers.

1           A           The Dawson A-1, it is from the Dakota.  
2 It produces 49.3 MCF per day. The Mesaverde produces 59 MCF  
3 per day.

4                       The Florance No. 36, Dakota produces 51.6  
5 and the Mesaverde produces 224 -- excuse me. For the Flor-  
6 ance 36 that rate is 36.2 from the curve.

7           Q           I've been confused. Florance 36, the  
8 Dakota is 51.6 MCF?

9           A           It's 36.2 MCF per day and the Mesaverde  
10 is 224.

11          Q           All right, next well.

12          A           The Florance No. 6, the Dakota produces  
13 42.7; the Mesaverde produces 164.

14                       The State Com No. 1, the Dakota produces  
15 115 MCF per day and the Mesaverde produces 52.6 MCF per day.

16          Q           Based upon your decline curves, Mr.  
17 Weiss, have you reached an opinion as to how to allocate on  
18 a percentage basis the production between the Mesaverde and  
19 Dakota?

20          A           I have.

21          Q           And what are those numbers?

22          A           It would be on a strictly decline basis,  
23 you know, with remaining reserves calculated from decline  
24 curve analysis.

25          Q           Let's take the package of exhibits marked

1 Two for the Dawson No. 1 Well, which is Case 8764, and have  
2 you show the Examiner the decline curve information and how  
3 you propose to allocate the production between the two  
4 zones.

5 A You'll find the decline curves at the  
6 very back of the package with the Dakota decline curve  
7 first, followed by the Mesaverde.

8 You can see we were able to draw in pret-  
9 ty much a straight line decline for the Dakota and from this  
10 we calculated remaining reserves, using decline curve analy-  
11 sis.

12 Q All right.

13 A You'll see on the curves for the Mesa-  
14 verde, once again we took the straight line portion. In the  
15 last few years you can see the result of demand. This was  
16 neglected and we followed the straight line portion as it  
17 had been producing, you know, when it was on a good decline,  
18 straight decline as you would anticipate once pressures come  
19 back and demand picks up.

20 Okay, from those, having gone through  
21 those, we calculated what the percentage of remaining  
22 reserves for each would be and that would be one page in  
23 front of the decline curves.

24 You will see that the Mesaverde was on 8  
25 percent decline and analysis showed that there's 246 MCF re-

1     maining reserves.

2                     The Dakota, 6 percent decline, 271 MMCF  
3 reserves.

4                     And the volume content of my letter, it  
5 breaks it out, I believe, at 48 percent and 52 percent,  
6 which would be percent of equity found right after the plat.

7             Q             And if we turn to the plats, you have a  
8 written summary with the information on the Dawson 1?

9             A             Yes.

10            Q            And when we get to the bottom, the last  
11 paragraph gives your proposed percentage allocation for each  
12 fo the zones, is that correct?

13            A            Exactly.

14            Q            And for each of the packets of exhibits  
15 for each well you've done a similar summary with a similar  
16 recommendation.

17            A            Right. And as I said, in this one 48  
18 percent would be assigned to the Mesaverde and 52 percent  
19 assigned to the Dakota.

20                     It may be of interest also to read the  
21 one paragraph I did which sums up our feelings as to how  
22 this well increased recovery.

23            Q            If you can paraphrase what it says, it's  
24 not necessary to read the whole paragraph.

25            A            Well, what it says is, roughly, the cross

1 area section of the tubing is 321 square inches, the --

2 Q Whoop, you're going too fast for her.

3 A In other words, the cross section area of  
4 flow through the tubing is much smaller than it would be up  
5 the annulus. As a result we can get a 3.6 fold increase in  
6 average flow velocity by bringing the Mesaverde and Dakota  
7 up the tubing. This will result, this increase in velocity  
8 will result in a better cleaning mechanism for the fluids  
9 within the wellbore and as a result you will have greater  
10 producing rates, which in turn will help lift fluids and re-  
11 move the hydrostatic head that the formations are currently  
12 seeing.

13 Q Okay. Following that summary, if you'll  
14 turn the page, you have some gas well pressure information,  
15 Mr. Weiss. I believe you've reached the opinion that the  
16 pressure differential between the two zones was so small  
17 that there would be no risk of cross flows, is that right?

18 A This is correct.

19 Q Is this the beginning of the documenta-  
20 tion on pressures from which the Examiner can confirm your  
21 opinions?

22 A Yes, it is.

23 Q Would you identify for him on this exhi-  
24 bit how you reached your conclusion?

25 A For the Mesaverde it says it is 4-1/2 by

1 2-3/8ths annulus. We took dead weight surface pressure.  
2 These were corrected to a common datum using fluid levels  
3 where available, the common datum in this instance being  
4 5000 feet. The bottom line on this page shows you that the  
5 pressure was 617 psig.

6 The next page is a dip in gradient with a  
7 pressure bomb run by B & R Services in Farmington. You can  
8 see that at 5000 feet, the common datum, that the pressure  
9 was 1,109 psig. They are within the stipulation of 50 per-  
10 cent of each other.

11 Q All right, sir. Have you done a study to  
12 determine whether the fluids produced by the wells are com-  
13 patible?

14 A Yes, we have.

15 Q And are they?

16 A They are.

17 Q In your opinion, Mr. Weiss, will approval  
18 of the applications requested by Tenneco be in the best in-  
19 terest of conservation, the prevention of waste, and the  
20 protection of correlative rights?

21 A Yes, I do.

22 Q And were the Exhibits One through Five  
23 prepared by you or compiled under your direction and super-  
24 vision?

25 A They were.

1 MR. KELLAHIN: That concludes  
2 my examination of Mr. Weiss.

3 We move the introduction of Ex-  
4 hibits One through Five.

5 MR. STOGNER: Exhibits One  
6 through Five will be admitted into evidence.

7 Are there any questions of this  
8 witness?

9 Mr. Weiss, or Mr. Kellahin, you  
10 alluded to Mr. Frank Chavez' feelings on the economic justi-  
11 fication administratively not being followed.

12 Was this done by written cor-  
13 respondence with you, Mr. Weiss, and him or telephone cor-  
14 respondence, or what type of communications?

15 A This was done by telephone correspondence  
16 between myself, David Catanach, and Frank Chavez.

17

18 CROSS EXAMINATION

19 BY MR. STOGNER:

20 Q Okay. I'd like to bring up the question  
21 now on condensate production. In reviewing your Exhibit  
22 Number Two for Case Number 8764, that's the Dawson A Well  
23 No. 1, there shows to be a little bit of condensate produc-  
24 tion according to the C-116's on both zones.

25 Do you have a recommendation on the allo-

1 cation of condensate, what little there is?

2 A I feel that it should be broken out on a  
3 percentage basis, also.

4 Q The percentage basis that you show on  
5 your cover letter?

6 A Yes, sir, both for the gas and condensate  
7 reserve.

8 Q Does this 48 -- let's take, for instance,  
9 on your Dawson Well, the 48 percent and 52 percent for the  
10 Mesaverde and Dakota respectively, should be -- does that  
11 correspond with the condensate production from this well as  
12 shown on the C-116, or does it differ some way?

13 A I believe it may differ somewhat. I'd  
14 have to make actual calculations. This is the only one that  
15 shows any condensate production. I think you'll find in the  
16 remainder of these three applications there was on the C-  
17 116's, there was no production.

18 Q Mr. Weiss, is the Basin Dakota Pool and  
19 the Mesaverde Pool, are they prorated in the San Juan Basin?

20 A Yes, they are.

21 Q And also is the Mesaverde formation and  
22 Dakota formation in this area approved for infill well  
23 drilling on two -- for having two wells on a single 320-acre  
24 tract?

25 A Yes, it is.

1 Q Does any of these wells have a second  
2 well o the same tract?

3 A I believe they do.

4 Q Okay. For the proration unit for each of  
5 these wells, dedications, are any of them presently overpro-  
6 duced, or what is the status of the proration unit on these  
7 wells?

8 A To be totally frank, I believe that some  
9 are overproduced, the combination of the two, the two wells  
10 on the proration unit, and we discussed this. Our feelings  
11 are that the Mesaverde in these wells, as it is currently  
12 produced up 2-3/8ths by 4-1/2 inch annulus, they are very  
13 poor deliverability tests because of the hydrostatic head  
14 and therefore, you know, your allocation being determined  
15 directly from deliverabilities, these wells do not receive  
16 what I would consider a deliverability test and allocation  
17 that is comparable with the other surrounding wells, and  
18 therefore, that proration unit is probably penalized and we  
19 are allowed to produce less gas as a result of that.

20 Q Okay, and you're aware that if, say, the  
21 Basin Dakota in one of your proration units overproduces as  
22 such that that particular downhole commingled well would  
23 have to be shut in, the whole well would have to be shut in?

24 A We are.

25 Q Okay. Good deal. Your plan is to run 2-

1 3/8ths tubing in each one of these wells, subject wells to-  
2 day?

3 A Yes, will be to produce -- the plan is to  
4 produce both formations up 2-3/8ths inch tubing, is what we  
5 plan.

6 Q Do you know the order approving the tub-  
7 ing annulus dual completion of these wells? Are they cover-  
8 ed in each one of these exhibits?

9 A Excuse me, I'm --

10 Q There was an order issued sometime ago,  
11 I'm sure, approving this downhole commingling method through  
12 our offices. Do you know the order number?

13 A Of these, oh, these were not approved.

14 Q For dual completion?

15 A Oh, for dual completion?

16 Q Right.

17 A No, I don't know that number. I'm sorry.

18 MR. STOGNER: I'll take admin-  
19 istrative notice. I'm sure we have it on file here.

20 A I can verify what that location is on  
21 that Hamner Well at this time.

22 Q Okay, let's do that.

23 A It would be Section 20, 29 North, 9 West.

24 Q Okay.

25 A The computer threw me for a loss the way

1 it wrote it.

2 MR. STOGNER: I have no further  
3 questions of this witness.

4 Are there any other questions  
5 of Mr. Weiss?

6 MR. KELLAHIN: No, sir.

7 MR. STOGNER: Does anybody else  
8 have any questions of this witness?

9 If not, he may be excused.

10 Anything further in any of  
11 these cases?

12 If not, Cases Numbers 8762,  
13 8763, 8764, and 8765 will all be taken under advisement.

14

15 (Hearing concluded.)

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case Nos. 8762, 8763, 8764, 8765 heard by me on 21 November 1985,

Michael E. Hagan, Examiner  
Oil Conservation Division