

NEW MEXICO OIL CONSERVATION COMMISSION

ILLEGIBLE

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date DECEMBER 18, 1985 Time: 8:00 A.M.

NAME	REPRESENTING	LOCATION
PAUL KAUTZ	NMOCB	HOBBS
Joseph S Sprinkle	myself	Demers
W. F. Kellolin	Kellolin & Kellolin	Santa Fe
Paul Huber	Byrum	Santa Fe
George Neal	Eastland Oil Co	Midland, TX
John Paul Weber	Eastland Oil Co	Midland, Texas
Richard Donnelly	Eastland Oil Co	El Paso, TX
F. H. Kendrick	El Paso Natural Gas	El Paso, TX
W. B. McCoy	J. Sprinkle	Santa Fe, NM
Nancy Wood	N.M. Historic Preservation Division	Santa Fe, NM
Veryl F. Moore	Self	Farmington, NM
W. F. Abbott	AGUA	140655
JAMES D. THORNTON	AGUA	HOBBS
Daniel B Stephens	AGUA (DBS) Land Assoc.	Socorro NM
Wm. E. Don	Area, Inc.	Hobbs, N.M.
	SLASH X RANCH	Andrews, TX


NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date DECEMBER 18, 1985 Time: 8:00 A.M.

NAME	REPRESENTING	LOCATION
William A. ...	Langhelt + Black	Santa Fe
Ernest L. Padilla	Padilla + Snyder	Santa Fe
Dave Boyer	NM OCA	Santa Fe
B. ...	OCD	defec
CAROLYN TAPLIN	OCD	AZTEC
MIKE PIPPIN	UNION TEXAS PETR.	FARMINGTON
Chad Dickerson	Dickerson, Fair + Vandiver	Center
Jeff ...	TXO	MIDLAND
Mark ...	TXO	MIDLAND
Joe ...	NMT	Socorro
HARRY C SQUIRES	SNYDER RANCHES P.C.I.	HOBBS
MARK S. MARTIN	TIPPENHAY	Midland, TX
Eric ...	GCNM	Albuquerque
JOE D RAMEY		HOBBS
Steve FOSTER	Pollution Control / General Petro	Hobbs
Greg Davis	Pennzoil Company	Midland, Tx.
Greg Hair	" " "	



America the Beautiful USA 15

Permian Basin Petroleum Assn.
P. O. Box 132
Midland, Texas 79702

Washington:
United States Capitol

A P P E A R A N C E S

1
2 For Snyder Ranches W. Thomas Kellahin
3 & Pollution Control, Attorney at Law
4 Inc.: KELLAHIN & KELLAHIN
5 P. O. Box 2265
6 Santa Fe, New Mexico 87501
7

I N D E X

8
9 STATEMENT BY NANCY WOOD 6
10 STATEMENT BY MR. WEBER 10
11
12 WILLIAM G. ABBOTT
13 Direct Examination by Mr. Weber 13
14 Cross Examination by Mr. Kellahin 29
15 Redirect Examination by Mr. Weber 40
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

JAMES D. THORNTON

Direct Examination by Mr. Weber	43
Cross Examination by Mr. Kellahin	54
Redirect Examination by Mr. Weber	61
Cross Examination by Mr. Stogner	63

DANIEL BRUCE STEPHENS

Direct Examination by Mr. Weber	66
Cross Examination by Mr. Kellahin	78
Redirect Examination by Mr. Weber	84
Cross Examination by Mr. Stogner	86
Redirect Examination by Mr. Weber	92

STATEMENT BY MR. BILL TCM	94
---------------------------	----

STATEMENT BY MR. KELLAHIN	95
---------------------------	----

STATEMENT BY MR. WEBER	99
------------------------	----

1

2

E X H I B I T S

3

4

P-T Exhibit One, Map 16

5

P-T Exhibit Two, Map 28

6

P-T Exhibit Three, Map

7

P-T Exhibit Four, Map 20

8

P-T EXhibit Five, Letter 21

9

P-T Exhibit Six, Letter 21

10

P-T Exhibit Seven, Letter 21

11

P-T Exhibit Eight, Diagram 26

12

P-T Exhibit Nine, Model 26

13

P-T Exhibit Ten, Report 69

14

15

16

17

18

19

20

21

22

23

24

25

1

2

MR. STOGNER: This hearing will
come to order. We'll now call Case Number 8781.

4

5

6

7

8

9

MR. TAYLOR: The application of
Petro-Thermo Corporation for an exception to Division Order
No. R-3221 and for authorization to dispose of associated
waste hydrocarbons and other solids obtained in conjunction
with the drilling and production of oil and gas into a dis-
posal site on the surface, Lea County, New Mexico.

10

11

MR. STOGNER: We'll now call
for appearances.

12

13

14

MR. WEBER: Sir, my name is
John Paul Weber. I'm with the law firm of Maddox, Renfrow,
and Saunders in Hobbs, New Mexico.

15

16

17

18

I appear here today with Mr.
Ernest L. Padilla, law firm of Padilla and Snyder, of Santa
Fe, on behalf of the applicant, Petro-Thermo Corporation and
its Aqua Division.

19

20

MR. STOGNER: Thank you, Mr.
Weber. Any other appearances?

21

22

23

24

MR. KELLAHIN: Yes, Mr. Exami-
ner. I'm Tom Kellahin of Santa Fe, New Mexico. I'm appear-
ing on behalf of Snyder Ranches. Snyder Ranches has grazing
leases in the area of the application.

25

In addition, I'm appearing on

1 behalf of Pollution Control, Inc., which is the current Oil
2 Conservation Division permitted disposer of produced salt
3 water into Laguna Plata, and so our -- Pollution Control's
4 interest immediately offsets Mr. Abbott's acreage in Section
5 16. We are adjoining neighbors but we are appearing to see
6 about the operations here.

7 MR. ABBOTT: Is he putting on
8 testimony or introducing himself?

9 MR. KELLAHIN: Those are the
10 parties I represent here today, Mr. Stogner.

11 MR. STOGNER: Thank you, Mr.
12 Kellahin.

13 Are there any other appear-
14 ances?

15 Are there any parties who wish
16 to make any statements at this time?

17 Would you please stand up,
18 identify yourself?

19 MS. WOOD: My name is Nancy
20 Wood. I work with the State of New Mexico Historic Preser-
21 vation Division. I'm an archaeologist.

22 MR. ABBOTT: Who do you repre-
23 sent?

24 MS. WOOD: The Historic Preser-
25 vation Division.

1 MR. ABBOTT: And what part is
2 that of --

3 MR. STOGNER: Please continue.

4 MS. WOOD: Okay. It's part of
5 New Mexico Historic Preservation Division, Cultural Affairs.

6 Our concern is with the protec-
7 tion of archaeological sites in the vicinity. There's a
8 number of known important archaeological sites around the
9 vicinity of Laguna Plata.

10 Approximately fourteen of them
11 were determined eligible for the Natural Register of Histor-
12 ic Places in approximately 1975.

13 I checked the State archaeolo-
14 gical records. We don't know of any known sites that are on
15 this specific area that's proposed for development but given
16 the proximity to the lake margin there is a reasonably good
17 probability that there may be sites (not clearly audible)
18 particularly (not clearly audible).

19 The only way to tell if there
20 are some is if an archaeological survey is done.

21 The other thing that I just
22 wanted to point out is that under -- under the State Cul-
23 tural Properties Act it is a violation of the Act to injure
24 or destroy archaeological sites on State lands.

25 The other information that I

1 wanted to point out is that it's my understanding that the
2 Bureau of Land Management has some interest in preserving
3 the (not understood) Laguna Plata Area as an archaeological
4 reserve.

5 There would be something more
6 to take up with the Bureau of Land Management, but that's my
7 understanding, and one of our -- one of our responsibilities
8 under the law is to inform other State agencies and local
9 governments of possible effects that their actions may have
10 on (not audible clearly) resources.

11 Our usual recommendation for
12 something like this is an archaeological survey should be
13 done to try to protect these resources.

14 MR. STOGNER: Thank you, Ms.
15 Wood. Is that everything you have?

16 MS. WOOD: Yeah, it is. Thank
17 you.

18 MR. STOGNER: Are there any
19 other statements?

20 MR. TAYLOR: Ms. Wood, is your
21 agency recommending that a cultural survey be made? Is that
22 a recommendation or are you just saying that's something you
23 sometimes do?

24 MS. WOOD: Okay, it is a fairly
25 standard recommendation that we do make. There is no re-

1 quirement under State law that surveys be done but it is a
2 recommendation that I would make in order to protect ar-
3 chaeological --

4 MR. TAYLOR: Are you making it,
5 then? Is that what you're saying?

6 MS. WOOD: Yes, I am making
7 that recommendation.

8 MR. TAYLOR: And you're with
9 the Division of Cultural Affairs of the Historical Preserva-
10 tion -- what's the rest of the name of it?

11 MS. WOOD: Just Historic Pre-
12 servation Division.

13 MR. TAYLOR: Historic Preserva-
14 tion Department?

15 MS. WOOD: Division.

16 MR. TAYLOR: Division of the
17 Division of Cultural Affairs?

18 MS. WOOD: Office.

19 MR. TAYLOR: The Office of Cul-
20 tural Affairs.

21 MS. WOOD: Yeah.

22 MR. TAYLOR: I have to get all
23 these divisions and offices straight.

24 Okay, thank you. We'll make
25 that a part of the record.

1 MR. STOGNER: Okay, are there
2 any other statements at this time before we get started?

3 There being none, will all wit-
4 nesses at this time please stand and be sworn?

5

6

(Witnesses sworn.)

7

8

9

MR. STOGNER: Mr. Weber, you
may proceed.

10

11

MR. WEBER: Sir, I would like
to make a brief opening statement.

12

MR. STOGNER: Okay.

13

14

15

16

MR. WEBER: Petro-Thermo Cor-
poration comes here today to seek an exception to Division
Order R-3221, the general "no pit" order which was entered
on the 1st of May, 1967, by the Oil Conservation.

17

18

19

20

21

22

23

There has been a real need in
southeastern New Mexico for additional approved sites for
disposal of oilfield related liquids and solids. This need
has been communicated to Petro-Thermo Corporation and they
have very actively searched the area to find a suitable
site, a site that would not contaminate any existing fresh
water supplies.

24

25

We feel, and we'd like to re-
view the regulatory history relating to this particular area

1 and request that you take administrative notice of the var-
2 ious orders that have been entered with regard to this area
3 in order to understand why we feel that this is the best
4 possible site in southeastern New Mexico for this sort of a
5 disposal facility.

6 By order dated July 25, 1968,
7 that was Order No. R-3221-B in Case Number 3806, the Oil
8 Conservation Commission exempted certain areas of Lea Coun-
9 ty, New Mexico, from the prohibition against disposal of
10 production water in unlined surface pits.

11 Among the areas exempted was
12 Range -- correction, Section 16, Township 20 South, Range 32
13 East.

14 The Commission at that time
15 thought that the purpose of Order No. R-3221 would not be
16 (not understood) by its enforcement in this area.

17 I would ask you to note that
18 the proposed disposal site is located within the bounds of
19 Section 16.

20 By letter dated April 16, 1969,
21 the Oil Conservation Commission again considered this parti-
22 cular area. They considered it in Case Number 4047, result-
23 ing in Order R-3725.

24 By this order the Oil Conserva-
25 tion Commission specifically permitted the disposal of pro-

1 duction water in an actual salt lake known as Laguna Plata
2 in Lea County, New Mexico. The Commission found that the
3 utilization of Laguna Plata for the disposal of production
4 water would not constitute a hazard to existing fresh water
5 supplies in the area.

6 That, Mr. Examiner, is the
7 legislative history . We feel that there is a definite
8 need, a need which we will show through the testimony of our
9 witnesses.

10 We will show that we have
11 developed detailed engineering plans to eliminate any
12 possibility of contamination of existing fresh water
13 supplies.

14 We have very carefully examined
15 the geology the topography of the area, and have reached the
16 conclusion that once again the disposal would not constitute
17 a hazard to existing fresh water supplies.

18 Sir, at this point I would like
19 to call as our first witness Mr. Abbott, the President of
20 Petro-Thermo Corporation.

21 MR. STOGNER: Before we do
22 that, Mr. Weber, let me make sure I've got this clear.

23 You referred to Case Number
24 3806 and 4047, I believe?

25 MR. WEBER: That is correct.

1 MR. STOGNER: I will take
2 administrative notice of both of those cases.

3 Please continue.
4

5 WILLIAM G. ABBOTT,
6 being called as a witness and being duly sworn upon his
7 oath, testified as follows, to-wit:
8

9 DIRECT EXAMINATION

10 BY MR. WEBER:

11 Q Sir, would you please state your full
12 name?

13 A Yeah. My name is William G. Abbott and I
14 live in Hobbs, New Mexico. I'm --

15 Q Sir, what is your -- sir, what is your
16 profession?

17 A I'm a petroleum engineer.

18 Q From what institution did you receive
19 your undergraduate degree, sir?

20 A I received by degree from the University
21 of Texas in January of 1948.

22 Q Sir, what was your specialty or area of
23 concentration?

24 A Actually my degree is in mechanical
25 engineering but I specialized in petroleum engineering.

1 Q Sir, are you a member of any professional
2 societies or organizations?

3 A Yes. I belong to the Society of Profes-
4 sional Engineers, Society of Petroleum Engineers, and API,
5 American Petroleum Institute.

6 Q Sir, do you possess any licenses as an
7 engineer?

8 A Yes. I'm licensed as a professional en-
9 gineer in the State of New Mexico; also the State of Texas.

10 Q Sir, how long have you been a resident of
11 Hobbs, New Mexico?

12 A I've lived in Hobbs, New Mexico since
13 1951.

14 Q Sir, could you please explain your work
15 history?

16 A Yes. I was transferred to Hobbs, New
17 Mexico, in 1951 with Amerada Petroleum Corporation, and I
18 stayed with Amerada Petroleum Corporation until the middle
19 of 1957 when I went to work as Manager of Rice Engineering
20 in Hobbs, New Mexico.

21 Q Sir, what sorts of things does Rice
22 Engineering do?

23 A Well, Rice Engineering specializes in
24 salt water disposal and in 1967 I formed my own corporation,
25 Agua, Incorporated, to specialize in the salt water dispo-

1 sal.

2 Q All right, sir. Sir, have you ever had
3 an opportunity to testify before the Oil Conservation
4 Commission?

5 A Yes, sir.

6 Q In what capacity did you so testify?

7 A With Amerada I was District Engineer and
8 testified and then with Rice Engineering as Division Mana-
9 ger, and then with Agua as President.

10 Q Sir, were your qualifications accepted by
11 the Oil Conservation Commission?

12 A Yes, they were.

13 MR. WEBER: Sir, I tender this
14 witness as an engineer.

15 MR. STOGNER: Are there any
16 objections?

17 MR. KELLAHIN: No, sir.

18 MR. STOGNER: Thank you. There
19 being none, Mr. Abbott is so qualified.

20 Q Mr. Abbott, would you please describe in
21 general terms the history of Petro-Thermo Corporation?

22 A Yes. We formed Petro-Thermo Corporation
23 in 1970. We had a problem in -- during that time of
24 disposing of oilfield waste, namely oil and BS, tank
25 bottoms, and we formed Petro-Thermo to clean tanks and then

1 later on we got authority to -- from the Corporation Commis-
2 sion to be permitted to haul oilfield waste.

3 Q Sir, is Petro-Thermo Corporation a common
4 motor carrier operating under a Certificate of Public
5 Convenience and Necessity issued by the State Corporation
6 Commission?

7 A Yes, sir, they are.

8 Q And do you also have authorization to
9 move produced water from the Oil Conservation Commission?

10 A Yes.

11 Q Sir, in what counties and if you could
12 please use the maps which are posted on the wall as exhi-
13 bits.

14 A I think Exhibit One shows our counties of
15 authority cross hatched. You'll notice the full east side
16 of New Mexico, starting up here in Union County. We have a
17 trucking yard at Clayton, New Mexico, up in Union County,
18 and then we have all these counties cross hatched and we
19 have another terminal and main office at Hobbs, New Mexico.

20 Q Sir, do you also have a division of
21 Petro-Thermo Corporation called Agua, do you not?

22 A Yes, sir.

23 Q And what does Agua do and where does it
24 do it?

25 A Oh, well, we operate disposal systems.

1 We've been hired by the oil companies to dispose of their
2 water in the various systems and Agua operates those sys-
3 tems, the largest being down at Eunice, the Blinebry-Drin-
4 kard salt water disposal system, with approximately 550
5 wells.

6 Q Sir, that particular system is covered by
7 a temporary permit, is it not, sir?

8 A Well, we have a temporary permit in that
9 area issued by the Oil Conservation Division to dispose of
10 solids. I can't remember when it runs out. It was a
11 temporary, about a sixty day permit, so we need to proceed
12 and to get a permanent place for the disposal of solids or
13 waste.

14 Q Sir, would you please describe the
15 reclaiming operations that are undertaken by Agua,
16 Incorporated?

17 A Yes. We -- we operate a reclaiming
18 plant. It's called our Goodwin Reclaiming Plant where we
19 treat the tank bottoms to try to get a merchantable oil to
20 sell as pipeline oil.

21 We also sell from -- from that spot
22 drilling fluid additives. That's low, low grade
23 hydrocarbons that are used in the drilling industry when
24 they drill a well to add to the drilling mud.

25 Q Sir, do the reclaiming operations that

1 you undertake, or that Agua, Incorporated, undertakes result
2 in the conservation of valuable energy resources?

3 A Yes. We produce a merchantable product
4 and sell it, it's taxed, and we think it does prevent waste
5 in the oilfield.

6 Q Sir, you've indicated that Petro-Thermo
7 Corporation in its trucking operation serves Lea, Eddy, and
8 Chaves Counties.

9 Will you please tell us the approximate
10 number of oil wells in those counties?

11 A Yes, as you can see from this Exhibit
12 Two, all these wells, most of them are in Lea County, coming
13 from Hobbs and covering the whole of Lea County, Lea County
14 is approximately 80 miles long and 40 miles wide and in the
15 county there's over 15,000 oil and gas wells.

16 In Eddy County, they're growing. There's
17 approximately 7200, over 7200 wells.

18 And in Chaves County there's about 2200
19 wells.

20 And if you'll notice, this proposed waste
21 disposal site is right in the middle of all the wells. It
22 can be reached by main highways and is a very good place to
23 haul to.

24 Q Sir, could you, using Exhibit Number Two
25 and the following exhibit, Exhibit Number Three, describe

1 what is meant by the Hobbs Pool?

2 A Yes. The Hobbs Pool is a pool right sur-
3 rounding and in the City of Hobbs. About one third of the
4 wells are in the city limits of Hobbs. There are over --
5 there are about 480 wells right now in the Hobbs Grayburg-
6 San Andres Pools.

7 Those -- that pool is unitized, the north
8 end being operated by Shell Oil Company and the south end
9 unitized and operated by Amoco.

10 And I -- I can see that in the future,
11 within -- if the price of oil stays up. that this waterflood
12 will expand into CO2 flood and also they'll probably double
13 the number of wells drilled in the Hobbs Pool.

14 Q So these are what are called tertiary
15 means of recovery?

16 A Yes, that's right. Of course, when they
17 drill these wells in this area especially, all the cuttings
18 and all the mud has to be hauled out; they can't be left in
19 the pits, be covered over; they have to be hauled away and
20 that's why a solids waste area is needed.

21 Q So where are they hauled away to?

22 A Well, right now there's only two author-
23 ized places that I know of. One is an area down north and
24 east of Eunice called Parabo. Parabo is limited somewhat
25 because of the geology and the hydrology. It will probably

1 be shut down this -- this winter because the water level
2 gets too high. When that happens they just have to shut it
3 down.

4 The other site is out at the Laguna
5 Gatuna.

6 Q Who operates that site, sir?

7 A Laguna Gatuna operates -- is operated by
8 what do you call it -- I guess the Pollution Control, yeah,
9 Incorporated.

10 Q Are there any limitations placed on the
11 amount of waste which can be disposed of in Laguna Gatuna?

12 A Well, I think their order reads 30,000
13 barrels day, or something like that. I don't know if they
14 could ever approach that capacity. I just don't have the
15 knowledge.

16 Q Sir, have you received --

17 A I can point it out here. This is Laguna
18 Gatuna, this area.

19 MR. STOGNER: What exhibit are
20 you referring to?

21 MR. WEBER: Sir, that was Exhi-
22 bit Four.

23 A Four.

24 MR. STOGNER: And on Exhibit
25 Four what did you point to?

1 A Laguna Gatuna.

2 MR. STOGNER: It's on the far
3 east side --

4 A Yeah, that's where Pollution --

5 MR. STOGNER: -- of the map.

6 A -- Control operates (not understood)
7 site, or disposal site, and on the same Exhibit Four it
8 shows Laguna Plata.

9 MR. STOGNER: Thank you, Mr.
10 Abbott.

11 Q Sir, have you received from any other
12 operators of oil and gas wells, or producers, any indication
13 of need for additional disposal facilities in the
14 southeastern portion of New Mexico?

15 A Yes, we've received copies of letter
16 submitted to the Oil Conservation Division. I don't know
17 the total number of them, since we haven't received copies
18 of all of them.

19 Q Sir, I show you three letters which have
20 been marked Five -- Exhibits Five, Six, and Seven, and ask
21 you if you can recognize those?

22 A Yes. This first one is a letter from
23 Amerada Hess Corporation; the second is a letter from Amoco
24 Production Company; and the third one is Natural Resources
25 Engineering, Inc..

1 Q Mr. Abbott, would you take Exhibit Number
2 Five and read that letter into the record?

3 A This is the --

4 MR. KELLAHIN: I'm going to
5 object, Mr. Examiner, to a letter being read into the
6 record as part of the evidence in this case.

7 I think the typical way the
8 Commission handles communications from nonparticipants in a
9 hearing is to place them in your case file and read them as
10 a practical matter, but we object to those things being
11 introduced into evidence without a proper foundation, and
12 none has thus far been made.

13 MR. WEBER: Mr. Examiner, I
14 feel that a proper foundation has in fact been laid. These
15 are letters from oil and gas operators in Hobbs, Lea County,
16 New Mexico area. They have all, true, been sent directly
17 to the Oil Conservation Division; however, carbon copies of
18 those letters have been sent to Mr. Abbott in his capacity
19 as President of Petro-Thermo Corporation.

20 MR. KELLAHIN: The letters
21 speak for themselves, Mr. Examiner, there's no need to read
22 them into the record to highlight Mr. Abbott's testimony.
23 It's inappropriate.

24 MR. WEBER: Perhaps I can use
25 them in a different way.

1 Q In very general terms, what factors have
2 been indicated to you as the important factors with regard
3 to the need for an additional disposal site?

4 A Well, the need, of course, is generated
5 by the volume that will have to be disposed of and also, in
6 the last two years, as the Conservation Division realizes,
7 there have been some very serious salt water flows. In
8 fact, we've been engaged to haul concentrated brine and Red-
9 beds, and so on, from wells that are flowing out of control,
10 and that -- that has to be disposed of right away because
11 it's so -- so corrosive and so full of chlorides.

12 In fact on one -- one occasion, this well
13 was flow^{ing} at such a high rate that there were over forth
14 transports hauling 24 hours a day to keep up with the flow,
15 and to my knowledge, I think the well is still flowing, but
16 I think it's under control now, they're disposal downhole.

17 There is another area just recently, just
18 south, I think it was mostly east of Lovington, same way, a
19 drilling well, and salt water started flowing out of that
20 well and that had to be hauled off.

21 Now this, this is very difficult because
22 it isn't clean salt water. I mean it isn't water that you
23 (not understood) a disposal well. It's water laden with
24 Redbed solids and so on, and you couldn't use it to be dis-
25 posed in a disposal system; it would plug up the wells.

1 So sites are needed such as this Laguna
2 Plata site that we propose.

3 Q Sir, faced with the foreseen need in the
4 oil and gas community, what steps did you take in determin-
5 ing the location of your proposed disposal site?

6 A Well, first of all, we -- we needed a
7 centrally located area, one that we could see from our view
8 it wouldn't pollute any water, and it would cause the least
9 disturbance to -- to people, and that's why we selected this
10 Laguna Plata.

11 Q Is this a very populated area?

12 A No, it's very, very sparsely populated.

13 Q What consideration did you give to the
14 existing road map? Will the road map support the movement
15 of transport trucks?

16 A Yes. I think the roads coming into this
17 area, you have a 176 State highway coming up from the Eunice
18 area, which is very, very important because there are a lot
19 of wells in the Eunice area.

20 Then up from the north there's a road
21 that ties into the area of Maljamar, which is being water-
22 flooded at the present time and if one of those wells got
23 away they'd have to take it some place and this would be
24 centrally located.

25 It's also located close to the Eddy Coun-

1 ty wells.

2 Q And, sir, is there not an existing
3 caliche road which leads almost up to the point of the dis-
4 posal site?

5 A Yes. There was a dry hole drilled by TXO
6 and they built a caliche road within just a short distance,
7 probably 400-500 feet from this proposed site of ours.

8 Q Sir, to your knowledge has Laguna Plata
9 been previously approved for the disposal of waste?

10 A That's what I understand, yes, sir.

11 Q Do you know if it's now being so used?

12 A No, sir.

13 Q Sir, for what capacity did you direct the
14 design for the disposal facility?

15 A We designed it for 30,000 barrels a day
16 of water. I don't know if we'll ever reach that, but it's
17 over-designed as far as the pits that we -- and the tanks.

18 Q Sir, what is your actually immediate
19 needs?

20 A I think probably around 2200 barrels a
21 day of produced water.

22 Q Sir, how quickly could you put into place
23 a disposal facility once the necessary approvals have been
24 granted?

25 A I think we could do it in thirty to sixty

1 days.

2 Q Sir, what sophisticated design features
3 have you directed to be incorporated in your plans to avoid
4 the possibility of contamination of existing fresh water
5 supplies?

6 A Well, I think our engineer probably could
7 go into more detail, and the hydrologist, but on the Exhibit
8 Five is our layout of the pits. The pits on the left on
9 this Exhibit Five are the water pits, and also on Exhibit
10 Nine we have a model that shows those pits.

11 MR. STOGNER: Excuse me, I show
12 Exhibit Five as being a letter.

13 Is that Exhibit Eight you're
14 referring to, I believe?

15 MR. WEBER: That is correct,
16 Mr. Examiner.

17 A Yeah, Exhibit Eight, excuse me.

18 MR. STOGNER: Thank you.

19 A Exhibit Nine is a model made from the to-
20 pographic map of the area and as you can visualize, the
21 tankage will be up here on this pad. The entrance to this
22 area will be right up here.

23 MR. STOGNER: Now, are you re-
24 ferring to the extreme southwest portion of --

25 A Yes.

1 MR. STOGNER: -- Exhibit Number
2 Eight, is that right?

3 A That's right. This -- this Exhibit Nine
4 is a 600 by 600 foot plat and it's located in the northeast,
5 it's in the east half of the northeast quarter of Section
6 16, 20, 30.

7 Q 2.

8 A 32, yeah, and if you'll notice on this
9 model, we will locate the gunbarrels and oil storage tanks
10 up on the pad. The water will go on into these pits and
11 that will be described in detail from -- with our engineer.

12 The solids are roughly on the righthand
13 side, the pits on the righthand side. That has been de-
14 signed so that the solid pits can be cleaned out by dozers
15 or backhoes.

16 MR. STOGNER: Before we leave
17 Exhibits Eight and Nine, these contours that you show on
18 both of these, are those one-foot intervals?

19 MR. THORNTON: Yes. Yes.

20 MR. STOGNER: Who is telling me
21 that? Who are you?

22 A Mr. Jim Thornton.

23 A Our engineer.

24 MR. STOGNER: So this is some-
25 what exaggerated.

1 A Yes.

2 MR. STOGNER: I don't remember
3 it being that steep out there.

4 Thank you, Mr. Abbott. You may
5 continue.

6 A That's all right.

7 Q Mr. Abbott, do you presently have under
8 consideration by the State Land Office an application for a
9 business lease regarding this property?

10 A Yes. I understand we have applied for a
11 business lease.

12 Q Sir, in your opinion will approval of the
13 proposed disposal site satisfy existing need in the oil and
14 gas industry?

15 A Yes, I think that site is needed,
16 especially since Parabo is -- I don't think it will survive
17 the winter and they'll -- they'll -- everybody needs another
18 spot.

19 Q Given the fact that you have an oil
20 reclaiming operation, will the use of this particular
21 facility serve the needs of conservation of valuable natural
22 resources?

23 A Yes. We've found that when produced
24 water is hauled to a tank and separated properly, there will
25 -- we will recover some waste oil.

1 MR. WEBER: Mr. Examiner, I
2 have no further questions of this witness.

3 MR. STOGNER: Thank you, Mr.
4 Weber.

5 Mr. Kellahin, your witness.

6 MR. KELLAHIN: Thank you, Mr.
7 Stogner.

8

9

CROSS EXAMINATION

10 BY MR. KELLAHIN:

11 Q Mr. Abbott, you've described for us your
12 coprorate structure in terms of Agua, Inc. and Petro-Thermo,
13 and you described those in terms of "we". Are there other
14 principals besides you in either of those companies?

15 A Yes, it's incorporated. There are other
16 stockholders.

17 Q Are you the principal managing executive
18 for both of those companies?

19 A Yes.

20 Q Who are the other major principals, Mr.
21 Abbott, that would participate with you in making decisions
22 about the construction and location of this type of facil-
23 ity?

24 A Well, we have a management team working
25 for Agua and Petro-Thermo: Myself, Jim Thornton, our engin-

1 eer, and my two sons, Bob and Jim.

2 Q Is the proposed use of this facility one
3 that is confined to allowing you and your trucking operation
4 to have a facility to dispose of these solids and oilfield
5 waste or do you propose to make this a public facility for
6 the industry?

7 A No, we will make it a public facility for
8 the industry. This is the oil industry.

9 Q I understand.

10 A Right.

11 Q Other truckers and haulers and --

12 A Yes.

13 Q -- other disposers on some financial
14 basis --

15 A Yes, sir.

16 Q -- with your facility? Exactly what
17 substances would be disposed of in the various pits as
18 indicated on Exhibit Number Eight?

19 A Well, I -- the details I'll leave to my
20 engineer, but roughly, the pits, as pointed out on the left
21 of our exhibit, will be water pits, produced water pits.

22 The pits on the righthand side of the
23 exhibit would be the solids pits; that is, cement, drilling
24 muds, and that sort of thing.

25 Q Do you propose to utilize the facility

1 for all of the produced water, tank bottoms, oil and BS that
2 you now accumulate, do you propose to take all those sub-
3 stances and run it through this unit up to whatever the max-
4 imum requested is?

5 A Actually, we'll probably haul it off and
6 haul any -- any merchantable oil to our treating plant.

7 Besides these pits we'll have tanks.
8 We'll have two 1500 barrel gunbarrels or -- and then an oil
9 storage tank for the BS and oil on location.

10 Q Are you familiar with the -- on Exhibit
11 Number Four, Mr. Abbott, you've shown us the approximate lo-
12 cation of your facility to the south and west of Laguna Pla-
13 ta.

14 A Yes, sir.

15 Q And you've identified for us the area to
16 the east at Laguna Gatuna where Pollution Control operates a
17 facility, a disposal facility.

18 A Yes, sir.

19 Q All right, are you familiar with the Pol-
20 lution Control facility at Laguna Gatuna?

21 A No, I've never been out there. My engin-
22 eers and other management have.

23 Q Are you aware, or have you been informed
24 of how your operation compares or differs with the facility
25 that's in place at Laguna Gatuna operated by Pollution Con-

1 trol?

2 A No, I'm not familiar at all with it.

3 Q Do you currently have trucking disposal
4 commitments from Amerada Hess, Amoco, and this Natural Re-
5 sources, Inc.?

6 A We disposed -- we've worked for all three
7 of the companies, yes, sir, but we don't have any planned,
8 steady work. We're just available for their hauling.

9 Q Currently, without this proposed facil-
10 ity, Mr. Abbott, what are you doing as a hauler with these
11 solids and oilfield waste?

12 A Well, our -- right now our disposal water
13 we have a disposal well in -- at our treating plant and we
14 dispose of the produced water there.

15 We also haul in tank bottoms and any --
16 any BS, basic sediments, and use our -- our treating plant
17 at -- that we -- at our Goodwin Treating Plant, but as far
18 as the muds, Redbeds, and so on, we just have a temporary
19 permit for a pit down at Eunice, which we're disposing in.

20 Q Do you propose to divert proposed water
21 from any of your existing disposal facilities and move them
22 to the Laguna Plata proposed site?

23 A No, sir, just emergencies, and I don't
24 see any in the future.

25 Q Have you or your company utilized in the

1 past the Pollution Control disposal facilities at Laguna Ga-
2 tuna?

3 A Yes, sir, we've -- we've used them.

4 Q Do you know whether or not that existing
5 facility continues to have the capacity to meet the need
6 that you propose to fill with your facility?

7 A No, sir, I don't know.

8 Q You don't know that?

9 A No.

10 Q With regards to your facility, and I've
11 lost the section, I think it was Section 16?

12 A Yes, sir.

13 Q All right, within Section 16, and we're
14 looking at the northeast quarter and then again on Exhibit A
15 it's approximately the east half of the northeast quarter,
16 that 80-acre tract there --

17 A Yes, sir.

18 Q All right, when we look at that site,
19 whose ownership is the surface subject to?

20 A That's the State of New Mexico.

21 Q Okay. You've talked about going through
22 permitting procedures to acquire necessary permits to uti-
23 lize this facility, Mr. Abbott. Apart from the Oil Conser-
24 vation Division approval, what other permits or authorities
25 are you aware are required of you before you commence opera-

1 tions?

2 A I don't know. There's probably others
3 but I am not aware of them.

4 Q You've mentioned to us that you have
5 filed for a business lease from the State of New Mexico to
6 utilize the surface?

7 A Yes, sir.

8 Q I assume you're aware that that's a re-
9 quirement for the site?

10 A Yes, sir.

11 Q Are there any permits that you are re-
12 quired from the Corporation Commission, to your knowledge?

13 A No, sir.

14 Q Your trucking permits from them are not
15 affected by --

16 A No, sir.

17 Q -- this operation?

18 A Not that I know of.

19 Q All right. And I believe I understood
20 you to tell us that at this point the business permit from
21 the State of New Mexico has not been issued to you?

22 A We've applied.

23 Q In what name, sir, have you applied? Do
24 you recall?

25 A No.

1 Q Do you currently have any knowledge as to
2 what the surface of this tract is being used for now by the
3 State of New Mexico?

4 A It's just a grazing lease, as far as I
5 know.

6 Q Do you know, sir, who the current grazing
7 lessee is for that tract?

8 A Yes. We -- I think we -- one of our man-
9 agement team contacted the present grazing lessee.

10 Q Do you know the name of the current graz-
11 ing lessee?

12 A No, I don't remember his name.

13 Q With regards to the construction of the
14 facility, as shown on Exhibit Eight, Mr. Abbott, where is
15 that, those pits in relation to the high water mark for La-
16 guna Plata?

17 A I think our engineer will show in his
18 testimony.

19 Q Do you know of your own knowledge approx-
20 imately where that might be?

21 A Yeah, it's probably the north one-sixth
22 of the north tract, which we call Tract A; 40-acre Tract A.

23 Q Is the plan for construction of the fac-
24 ility one in which you propose to confine the produced wa-
25 ters and the discharges substances within the area of the pits

1 shown in Exhibit Eight and Nine?

2 A Yes, sir, at the present time.

3 Q Are you seeking authority to dispose of
4 salt water into Laguna Plata?

5 A No, sir.

6 Q You told us, Mr. Abbott, that the facil-
7 ity would be available for general use.

8 A Yes, sir.

9 Q Have you come up with some charges for
10 the use of that facility at this point?

11 A No, we -- we haven't made any firm char-
12 ges.

13 Q What is charged to you by the facility
14 that you said was virtually full?

15 A At Parabo?

16 Q Parabo.

17 A Yeah.

18 Q That's it.

19 A I think the solids charge there is \$1.00
20 a barrel.

21 Q Do the econmics of the cost to you as a
22 hauler or to other haulers, to your knowledge, do those
23 costs bear in the decision you've made about the siting of
24 this facility?

25 A Yes. We're familiar with other areas in

1 Texas, and so on. The oil industry needs a place to -- to
2 put these solids and I think this -- this -- the location of
3 our proposed site is -- is -- will help the whole oil indus-
4 try.

5 Q How long have you been in this type of
6 business, Mr. Abbott?

7 A I've been in the disposal end of it since
8 probably 1948 when I was working with Amerada. I worked on
9 my first salt water disposal system down in the Gulf Coast
10 with Amerada and then subsequently worked on some with Amer-
11 ada in Lea County.

12 Q And in conducting your salt water dispo-
13 sal operations have you utilized for the waste disposal, the
14 salt waste disposal, have you utilized any other sites other
15 than Pollution Control or the Parabo sites?

16 A Yes, this temporary site down at Eunice.
17 That's the only two sites that I know of.

18 Q And is the temporary site at Eunice the
19 one that you're currently utilizing to hold the solids that
20 are generated from your business?

21 A No, not from our business; generated by
22 our hauling business from other operators.

23 Q So your business now for disposing of the
24 solids, you're utilizing Pollution Control and the Parabo
25 sites at present?

1 A No, we were.

2 Q Oh.

3 A But we're not now.

4 Q You've indicated to us that the Parabo
5 site, and you think it has perhaps reachd its limit in terms
6 of having water volumes that are too high --

7 A Yes.

8 Q Does that facility still have the capa-
9 city to take the solid wastes?

10 A I don't known about the solid wastes.

11 Q You've indicated to us that the Pollution
12 Control site at Laguna Gatuna, that you're not aware that
13 that's full?

14 A No, sir, I'm not aware of that.

15 MR. KELLAHIN: May I have a
16 minute?

17 MR. STOGNER: I'm ready whenever
18 you're ready.

19 MR. KELLAHIN: Thank you, sir.

20 Q Are you familiar enough with the opera-
21 tions at the site, Mr. Abbott, that you could take me
22 through in a general way how the site is to be utilized by a
23 trucker that brings salt water to you and tank bottoms? Can
24 you give me a general idea of how it runs through the sys-
25 tem?

1 A Yes, sir, I believe so in a general way.
2 The -- this is shown on Exhibit Eight.
3 The produced water pits are shown here on the left. The en-
4 trance to our -- our facility is right here. This would be
5 the entrance and the trucks would come in here and unload at
6 the gunbarrels. They'd unload into two 1500-barrel -- or
7 750-barrel gunbarrels, excuse me, and the water would flow
8 out of the syphons from these gunbarrels, there would be two
9 unloading places, would flow into this pit.

10 MR. STOGNER: The pit marked W-
11 1?

12 A Yes.

13 MR. STOGNER: Okay.

14 A This pit is designed so that the connec-
15 tion between W-1 and W-2 would be a large conduit below the
16 waterline and the water would flow into W-2.

17 We've designed it so that the water would
18 have to zigzag through these pits, which will slow the velo-
19 city down in the pits and the solids would drop out and also
20 any oil that was trapped with the water could be removed.

21 Of course, most of the oil will come off
22 right at the gunbarrels.

23 Our engineer can go into more detail but
24 that's just generally --

25 Q Just a follow-up question, Mr. Abbott,

1 once the water hits the W-1 and W-2, you build up, I assume,
2 some solid sediments in those bottoms, you periodically
3 clean them, and what do you do with the stuff after you
4 clean them?

5 A We'll probably get some build-up. I
6 don't know. We haven't -- we haven't -- I don't know how
7 much build-up we're going to have, really.

8 Q Thank you, Mr. Abbott.

9 MR. STOGNER: Mr. Weber, any
10 redirect?

11 MR. WEBER: Yes, sir, I have a
12 few questions.

13

14

REDIRECT EXAMINATION

15 BY MR. WEBER:

16 Q Just to bring you to a point of
17 reference, Mr. Kellahin in his questions asked whether or
18 not Petro-Thermo Corporation and its trucking operations
19 dealt with the three companies whose letters you have exa-
20 mined here today.

21 A Yes, sir.

22 Q Are these, to your knowledge, all the
23 letters that have been sent?

24 A No, there may be more that they sent di-
25 rectly and failed to send us a copy. I have no knowledge.

1 A The only alternative is to come to the
2 Conservation Division and ask for approval of a site.

3 Q Are there any additional sites, say, in
4 Texas or in other areas?

5 A I believe there are some sites in Texas
6 but you'd have to have trucking authority to truck the waste
7 to Texas, and we don't. We have some authority in Texas but
8 not extensively.

9 Q What ramifications if all those things
10 occur would that have on the oil and gas industry in south-
11 east New Mexico?

12 A Well, it would be -- it would be disas-
13 trous. They'd have to shut-in some wells.

14 Q And what would happen to the 40 truckers?

15 A Well, they'd go broke.

16 MR. WEBER: I have no further
17 questions.

18 MR. STOGNER: Thank you, Mr.
19 Weber.

20 Mr. Kellahin, any more cross
21 examination?

22 Are there any other questions
23 of Mr. Abbott?

24 I'm going to waive cross exam-
25 ining Mr. Abbott at this time. I reserve the right to re-

1 call him at a future time.

2 MR. WEBER: Mr. Examiner, at
3 this time I'd like to call Mr. James Thornton as our second
4 witness.

5
6 JAMES D. THORNTON,
7 being called as a witness and being duly sworn upon his
8 oath, testified as follows, to-wit:

9
10 DIRECT EXAMINATION

11 BY MR. WEBER:

12 Q Sir, would you please state your full
13 name?

14 A James Douglas Thornton.

15 Q And where do you reside?

16 A Hobbs, New Mexico.

17 Q Mr. Thornton, by whom are you employed?

18 A Agua Division of Petro-Thermo.

19 Q And in what capacity are you employed?

20 A I'm an engineer.

21 Q How long have you been employed as an en-
22 gineer with Petro-Thermo?

23 A Seven months.

24 Q What are your general duties and respon-
25 sibilities at Petro-Thermo?

1 A Oh, the operation and engineering and de-
2 sign of several salt water disposal systems that Agua oper-
3 ates.

4 Q Mr. Thornton, where did you receive your
5 undergraduate degree?

6 A Texas A & M.

7 Q And what degree did you receive and when
8 did you receive it?

9 A Petroleum engineering degree in December,
10 1984.

11 Q And petroleum engineering was your spe-
12 cialty or area of concentration?

13 A Yes, sir.

14 Q Are you a member of any professional so-
15 cieties or organizations?

16 A Yes, sir, I'm a Junior Member of the So-
17 ciety of Petroleum Engineers.

18 MR. WEBER: Sir, at this point
19 we would ask that Mr. Thornton be qualified as an engineer.

20 MR. STOGNER: Are there any ob-
21 jections?

22 MR. KELLAHIN: No objection.

23 MR. STOGNER: Mr. Thornton is
24 so qualified.

25 Q Mr. Thornton, as part of your general

1 duties and responsibilities, were you responsible for devel-
2 oping the engineering plans for the proposed disposal facil-
3 ity at Laguna Plata?

4 A Yes, I was.

5 Q Are those engineering plans, are they
6 shown by an exhibit which is on the wall?

7 A Yes, they are. It's Exhibit Number
8 Eight.

9 Q Was that exhibit prepared by you or under
10 your supervision?

11 A Yes, it was prepared by myself.

12 Q Did you also prepare a model?

13 A Yes, I did, a topographic model of the
14 area.

15 Q And is that the model which has been num-
16 bered as Exhibit Nine?

17 A Yes, sir, it is.

18 Q In developing your engineering plans what
19 sources of information did you rely upon?

20 A Well, first my task was to find a spot or
21 two for disposal so we had to search the area and we came up
22 with an exempted section and I did use material, books that
23 have been previously written on the subject, such as the
24 Groundwater Contamination Report in a book by the Environ-
25 mental Protection Agency on brine disposal treatment prac-

1 tices relating to the oil production industry.

2 Q Did you actually get out on the ground of
3 the proposed site before preparing your plans?

4 A Yes, I did.

5 Q Did you have an opportunity to visit
6 other salt water solids disposal sites?

7 A Yes, I did.

8 Q Please describe the site that you have
9 selected.

10 A The site is located in Section 16. It's
11 the southeast quarter of the northeast quarter. It's 600
12 foot by 600 foot starting on the southwest side. The very
13 southwest corner has a pad where trucks can enter and exit
14 freely. There are tank batteries for use to separate and
15 five water disposal pits, four solids pits, and an overflow
16 or emergency pit.

17 Q Now, the topography of the site that you
18 selected is rather unusual. Please describe the topography.

19 A Well, it's downward sloping hill caused
20 by a sink, a sink in the area.

21 Q And to what feature does it slope to-
22 wards?

23 A Laguna Plata.

24 Q And what is Laguna Plata.

25 A It's a large salt water lake.

1 Q And why did you design the pits in such a
2 manner that each successor pit was on a lower level?

3 A So that movement between pits was much
4 easier, easily accomplished.

5 Q What was your primary consideration in
6 designing this facility?

7 A The evaporation rate of the fluids in La-
8 guna Plata.

9 Q You spoke of the evaporation rate in La-
10 guna Plata. Could you please tell us what that rate is?

11 A Mr. Dan Stephens, our hydrologist, knows
12 more about that. I did read his report, however, and it was
13 4.4 feet per year.

14 Q What types and quantity waste materials
15 did you design this site for?

16 A Would you repeat that?

17 Q What types and quantity of waste mater-
18 ials --

19 A Okay, well, we --

20 Q -- did you design the proposed site for?

21 A The quantities, the types and quantities
22 were production water. There is oil associated with produc-
23 tion water, and also drilling fluids and cement.

24 The -- we set a limit of 30,000 barrels
25 per day. It's only 20 percent or less of what the evapora-

1 tion of the lake will handle.

2 The quantities of each were 26,500 bar-
3 rels would be water. 2500 barrels would be oil, and 1100
4 barrels would be the actual solids.

5 Q And how much of this 30,000 barrel capa-
6 city do you anticipate actually using?

7 A Only 2250 barrels per day is our expected
8 initial rate.

9 Q What is the actual maximum capacity, as-
10 suming that you have steady stream of traffic up and down
11 State Road 176?

12 A That would be 30,000, approximately
13 30,000 barrels per day, that's nothing else could possibly
14 get into those pits, the number of unloading lines.

15 Q Mr. Thornton, could you please step up to
16 the map, and beginning with the unloading line, describe the
17 flow of solids and liquid wastes?

18 A Okay. When trucks enter this pad they
19 come up to either -- there are two sets of two unloading
20 lines. One is for solids, meaning drilling fluid and ce-
21 ment, and the other is for production water.

22 The truck comes in here, hooks up to one
23 of the two unloading lines which is connected to a 700-bar-
24 rel gunbarrel. There are two of these.

25 Q What is the purpose and function of the

1 gunbarrel tank?

2 A It is to separate the oil from the water
3 before entering the tank.

4 Q How does that accomplish that?

5 A By gravity. The gunbarrels have a water
6 leg attached to each one.

7 Q And to where do the usable hydrocarbons
8 go?

9 A Into the center tank, marked P-2, which
10 holds 1000 barrels.

11 Q What will be done with the oil that comes
12 from that tank?

13 A The oil will be taken from one of our
14 trucks to our reclamation plant, the Goodwin Treating Plant,
15 and we will re-treat this oil and recover some pipeline oil
16 from that.

17 Q Now how is the tank battery connected to
18 the disposal pits?

19 A The two gunbarrels are connected to the
20 disposal pits through a water leg.

21 Q What's the purpose of setting up the five
22 disposal pits that you have on succeeding lower levels?

23 A The purpose is to, number one, each pit
24 is lower than the other, meaning that fluid can be
25 transferred and controlled much easier.

1 The pipe, the conduit right here, which
2 will be 12, at least 12 inches in diameter, are staggered
3 such that the maximum amount of retention time or settling
4 time can be accomplished.

5 Q That's why the conduits are offset?

6 A Yes, sir.

7 Q Now have you calculated the -- or
8 designed the size and calculated the capacity of each of the
9 salt water disposal tanks?

10 A Yes. I'll go ahead and -- the pit W-1,
11 or water disposal pit, the first one holds 7480 barrels;
12 that is at a level 3-foot from the top of the pit. It will
13 actually hold 10,686.

14 The second pit will hold 7480.

15 The third pit will hold 6411.

16 Number four will hold 5343 barrels.

17 Fifth pit, 4274 barrels.

18 And total capacity of these water pits
19 will be 30,988 barrels with -- go ahead.

20 Q Now, you indicated that you -- Mr.
21 Thornton, I understand that you have established a 3-foot
22 leeway between the top of the pit and the maximum water
23 level.

24 Why did you do so?

25 A To protect against any spills that might

1 occur from either extremely several 35-year rain in six
2 hours or any other operational problem, such as maybe sedi-
3 ment that's cemented solid that are settling out into the
4 pit from clogging the conduit.

5 Q Now, your salt water disposal pits are
6 established or connected, rather, to an overflow pit. What
7 is the purpose and function of that pit?

8 A Well, to further protect the -- any over-
9 flowing of the pit due to the same problems mentioned be-
10 fore.

11 Q Another over-design?

12 A Right.

13 Q What is the size of the overflow pit?

14 A It's 100 foot by 60 foot by 3 foot deep.

15 Q And what is its capacity in barrels?

16 A It is 3206 barrels.

17 Q How many solids pits have you included in
18 your engineering plans?

19 A Four solids pits.

20 Q Can you please tell me the purpose and
21 function of the solids pits?

22 A The solids pits are designed to handle
23 any mud or cement that the trucks may haul in. The truck
24 merely hooks up the line, either line, and disposes into a
25 pit, into these pits on both sides because of build-up, un-

1 equal build-up if we just had one going, say.

2 Q What is the size of each of the proposed
3 solids pits?

4 A It's 100 foot by 24 foot or 25 foot.
5 They are designed that size so that it is easily accessible
6 to backhoes or dozers and such to clean them out.

7 Q What is the capacity of each in barrels?

8 A Solid disposal pit number one is 3117
9 barrels, and again I've got a maximum. That's 3 foot from
10 the top of the dike that will be built around each one of
11 these pits. It's 4,452, actually.

12 Solid pit two is 3,117 barrels; solids
13 pit three is 2,671; and solids pit four is 2,226. These
14 give a total capacity of 11,131 barrels.

15 Q Would you please explain the conduit sys-
16 tem that you have designed which links the solids pits?

17 A As I said before, the -- each unloading
18 line is connected to one side of the pit so as to equalize
19 the solids over the whole pit, because solids are viscous
20 and tend to build up on one side, but we went ahead and got
21 6-inch conduit running through the pits on each side with
22 valves on each one of the pits -- I mean one of the inlet
23 lines to the pits.

24 The way it will operate is three of these
25 valves will be closed; we'll use one pit at a time. When

1 that is built up, we'll close that pit off and use the other
2 one, and we'll continue down here until you get down here to
3 the fourth pit and we need the first pit by the time we get
4 to this one. This one should have dried out and we will be
5 able to clean it out and then re-use it again.

6 Q Are the solids pits also connected to the
7 overflow pit?

8 A Yes, sir, they're connected. The over-
9 flow pit has a series of 6-inch lines connected to each pit
10 so the level of all pits will never exceed the height of the
11 dike.

12 Q Is this another intentional --

13 A Yes, this is another over-design again.

14 Q What other improvements to this 600 foot
15 by 600 foot area have you included in your design?

16 A Two roads coming into the site. The area
17 will be fenced with a 4-strand barbed wire fence around the
18 whole 600-foot area and the oading pad.

19 Q What impact, if any, will all your over-
20 design features have upon any discharge into Laguna Plata?

21 A It will keep any solids from entering
22 into Laguna Plata. These pits will contain everything
23 they're designed to contain. It will operate so that it is
24 over-designed for safety.

25 Q Why have you over-designed it?

1 A To provide safety for groundwater conta-
2 mination. We don't want to --

3 MR. WEBER: I have no further
4 questions.

5 MR. STOGNER: Mr. Kellahin,
6 your witness.

7 MR. KELLAHIN: Thank you.

8

9

CROSS EXAMINATION

10 BY MR. THORNTON:

11 Q Mr. Thornton, you said earlier in your
12 direct examination that you had had an opportunity to visit
13 other sites in coming up with a design for this facility?

14 A Yes, I did.

15 Q What sites have you visited in making
16 your study to determine what type of design for this site?

17 A Pollution Control, Laguna Gatuna.

18 Q You have been at that facility?

19 A Yes, sir.

20 Q When did you examine that site, Mr.
21 Thornton?

22 A There were a couple times. There was one
23 just recently with Mr. Stephens.

24 Q How long have you worked on this particu-
25 lar design prospect for Agua, Inc.?

1 A Approximately three months.

2 Q Can you describe for us in what ways, if
3 at all, your proposed facility here differs from the one at
4 Pollution Control?

5 A Yes. The -- number one, we are using the
6 topography of the area.

7 Number two, our pits, each of our pits
8 are -- will not go, say, above the level of the dike. It
9 will never be equal to the level of the dike.

10 Q This three-foot freeboard that you're
11 talking about --

12 A Right. Right.

13 Q -- is the difference. When you said
14 awhile ago that the evaporation rate given to you by the hy-
15 drologist was some number and the volumes used in this dis-
16 posal facility were approximately 20 percent of the evapora-
17 tion rate --

18 A Right.

19 Q -- in what context are you saying that?
20 Have you calculated or has someone calculated the evapora-
21 tion rate for the surface of the pits?

22 A No, of the lake itself.

23 Q Oh, I see, okay. When trucks come into
24 the facility, do you propose that waste products run through
25 your system will be in trucks that are equipped to either

1 pump or discharge fluids through the tanks?

2 A Right.

3 Q Do you receive or do you propose to re-
4 ceive materials that will come in dump trucks?

5 A No, we will not. This is -- this is
6 strictly oilfield waste. We do not -- we do not want any
7 other solids at our disposal site.

8 Q Drill cuttings, I understand, sometimes
9 come in dump trucks, that kind of thing, are you designed to
10 handle that kind of disposal?

11 A I wasn't aware of that and the design can
12 be -- I mean it can be altered but I don't -- I don't see
13 any need to because there is -- I had never heard of such a
14 thing.

15 Q All right. When -- when we have the ca-
16 pacity of the four solid pits and I think you gave us a num-
17 ber of a little over 11,000 barrels, is that the --

18 A 1100 barrels. Oh, I'm sorry. Yes, sir,
19 you're right.

20 Q The capacity of the four solids pits?

21 A Right.

22 Q 11,000 barrels? Have you estimated how
23 long it will take you to fill up those pits before you have
24 to clean them out?

25 A That's depending -- that's largely depen-

1 ding on how much is disposed in there and that is not a de-
2 finite quantity.

3 Q Once a solid pit becomes full or has to
4 be cleaned out, what is your plan for the disposal or the
5 storage of those solids?

6 A They will just be placed on the pit -- on
7 the pad.

8 Q You would take the solids after all li-
9 quids have evaporated out of these solids pits, those solids
10 that are left remaining after evaporation?

11 A Yes, the clays from the drilling mud and
12 the cement itself.

13 Q You'd clean the pits and then take that
14 solid material and place it on the pad.

15 A Right.

16 Q All right. Are any of the pits lined?

17 A No, they are not.

18 Q You've described for us a few ways in
19 which your facility was different than Pollution Control.
20 Are you aware of any other material ways that your facility
21 is different than the one at Pollution Control?

22 A Yes. We do not separate our oil in the
23 pits. We separate it in the tank.

24 Q In that first tank there?

25 A Right, the first two.

1 Q All right. Are there any other differ-
2 ences between your design and the facility at Pollution Con-
3 trol?

4 A They discharge into the -- into Laguna --

5 Q Gatuna.

6 A -- Gatuna directly. We do not. Ours is
7 an indirect method.

8 Q Your proposal then would be that the
9 water in the pits, it's your intent to have that water re-
10 main confined to the pit.

11 A It will seep towards Laguna Plata.

12 Q But in terms of a direct discharge into
13 Laguna Plata, you haven't designed that nor do you propose
14 to do that?

15 A No, we do not. We don't see a need for
16 it.

17 Q All right.

18 MR. KELLAHIN: I wonder if we
19 might take a few minute break?

20 MR. STOGNER: Now would be a
21 good time to take about a ten to fifteen minute break.

22

23 (Thereupon a recess was taken.)

24

25 MR. STOGNER: The hearing will

1 come to order.

2 Mr. Kellahin, I believe you
3 were ready to cross examine?

4 Q Mr. Thornton, just a few more questions
5 about the operations at the proposed site.

6 A Uh-huh.

7 Q Do you propose to fence in the facility
8 in any way to keep livestock and --

9 A Yes, sir.

10 Q Off the property?

11 A Yes, sir. These are steel posts I've got
12 up here and between them we'll have four strands of barbed
13 wire.

14 The entrance is -- both entrances, or the
15 entrance and the exit will be -- will have a cattleguard so
16 no cattle or livestock and enter into that area.

17 Q How will you handle the day to day opera-
18 tions in terms of manning the facility? Will this be staf-
19 fed 24-hours a day or you going to open and close it during
20 particular hours? What is the proposed plan?

21 A Any time the site is open there will a
22 person on the site looking over the disposal area.

23 Q You propose to have it manned, then, so
24 that when the compound is open there will a person in charge
25 to direct the proper utilization of the facility by

1 truckers?

2 A Yes, we will.

3 Q Have you done any kind of analysis of the
4 chemicals or substances that will be removed from the solid
5 waste pits and placed on the pad? Have you made any studies
6 of those or analyses of those types of materials?

7 A No, sir, I have not, but it is -- they're
8 probably the same composition as what is going into
9 Pollution Control solids pits.

10 Q Do you propose to put these on the pad in
11 such a way that they will remain confined either with some
12 kind of liner underneath or that they'll be covered so that
13 the salts and whatever else they are may not blow away or
14 dissipate into the adjoining properties?

15 A No, we hadn't planned on putting anything
16 there. We did not anticipate it blowing away.

17 A All right. Thank you.

18 MR. KELLAHIN: I have nothing
19 further.

20 MR. STOGNER: Thank you. Mr.
21 Weber, any redirect?

22 MR. WEBER: Yes, sir, just a
23 few questions.
24
25

REDIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. WEBER:

Q You mentioned in discussing the difference between your proposed design and that presently employed by Pollution Control, certain differences.

 Among those differences was the use of topography. What did you mean by using topography?

A The area is down -- has a downward slope towards Laguna Plata. Any -- any water disposal or solid disposal, whatever, it will run downhill to the -- into the pit.

Q Could you show us the flow using your model, which has been marked as Exhibit Nine?

A The flow will run downward, and the water pits, as I said, they were staggered, and it will be filtered through the -- the underlying sand layer that runs toward Laguna Plata.

Q What is the benefit of that filtering process?

A It cleans up all the -- any suspended particles that might be in the production water.

Q Are you indicating, then, that the eventual discharge into Laguna Plata will be cleaner than had you put a direct line?

A Yes, it will be much cleaner.

1 Q You talked about conduits. Do the con-
2 duits in your proposed design differ at all from the con-
3 duits presently in use by Pollution Control?

4 A Yes. They're larger.

5 Q What benefit, if any, does that provide?

6 A Any problems with lines plugging due to
7 any build-up of suspended solids, as I mentioned to you be-
8 fore.

9 Q Is the possibility of plugging of conduit
10 a real possibility?

11 A No, it's a remote possibility.

12 Q Have you developed any plans to deal with
13 the remote possibility should it occur?

14 A Yes. The, number one, the design does
15 incorporate the overflow pit and if we do have a build-up of
16 solids in the bottoms of the pits, we can divert the water
17 such that we can clean each pit separately.

18 Q Now with regard to cleaning of pits,
19 there was some question with regard to the placement of
20 solid materials on the pad that you will have constructed.

21 If any difficulty develops are your plans
22 flexible enough to provide contingencies to handle that?

23 A I don't follow.

24 Q Is this a preliminary plan that you're
25 presenting or is it a final --

1 A Yes, this is a --

2 Q -- plan?

3 A This is a preliminary plan. If we do
4 need more pits we will dig more pits to insure that we can
5 handle what we are getting.

6 Q And if you do need to employ other
7 methods with regards to solids disposal, you can accomplish
8 that as well?

9 A Yes.

10 MR. WEBER: I have no further
11 questions.

12 MR. STOGNER: Mr. Kellahin?

13 MR. KELLAHIN: No, sir.

14

15

CROSS EXAMINATION

16 BY MR. STOGNER:

17 Q Mr. Thornton, just a few basic questions
18 here.

19 Let's go back to Exhibit Number Eight and
20 your solids -- I'm sorry, the line into your solids pits you
21 said was 6-inch conduit, is that right?

22 A Yes, sir. I'm sorry, that was 8-inch.

23 Q When you come in there an empty cement
24 through these 8-inch lines, what would -- what will Petro-
25 Thermo use to wash those lines out with?

1 A Gravity.

2 Q How much slope does these 8-inch lines
3 have?

4 A Well, up on the pad the -- if you'll give
5 me just a minute here I can give you height.

6 Q Well, I guess what I'm getting at, you
7 don't think that cement is going to set up in those lines?

8 A No, if it does, we can put another line.

9 Q Okay.

10 A There, and there will be somebody there
11 at all times to make sure that nothing happens.

12 Q Okay. Let's go over to your water pits.
13 The conduit, the 12-inch diameter pipe between the two
14 that's staggered, where are those actually set within the
15 pit?

16 A Three feet below the level, below the
17 dike.

18 Q Okay. When W-1, or Pit No. 1, when it
19 fills up with solids, you propose to take those solids out
20 and then spread it around the pad, is that correct?

21 A Yes, sir, that was S-1.

22 Q I'm talking about W-1.

23 A W-1 is a water disposal pit. It has pro-
24 duction water only going to it. The whole west -- the west
25 pits there are water disposal pits. The east ones are so-

1 lids disposal pits, solids disposal pits with an overflow
2 pit.

3 Q So you don't anticipate W-1 filling up
4 with silt.

5 A No. The line that is connected between
6 those two pits is located a foot below the top of the dike.
7 The water level will never reach that high to interconnect
8 into each pit, and if it does, the water would flow down to
9 overflow pit, the overflow pit.

10 MR. STOGNER: I have no
11 further questions of Mr. Thornton.

12 Are there any other questions
13 of this witness?

14 MR. WEBER: I have none.

15 MR. STOGNER: If not, he may be
16 excused at this time but we may bring him back to answer
17 some more questions.

18 A Thank you.

19 MR. WEBER: Sir, we'd like to
20 call as our next witness, Mr. Dan Stephens.

21

22 DANIEL BRUCE STEPHENS,
23 being called as a witness and being duly sworn upon his
24 oath, testified as follows, to-wit:

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DIRECT EXAMINATION

BY MR. WEBER:

Q Mr. Stephens, will you please state your full name?

A My name is Daniel Bruce Stephens.

Q And where do you reside, Mr. Stephens?

A In Socorro, New Mexico.

Q And are you the principal of Daniel B. Stephens and Associates, Consultants in Groundwater Hydrology?

A That's correct.

Q How long have you had this consulting?

A I've been doing consulting in New Mexico for about six years.

Q Mr. Stephens, from what institution did you receive your undergraduate degree?

A I went to Penn State University.

Q And what degree did you receive and when did you receive it?

A Bachelor of Science and a degree in geological science in 1971.

Q Were you singled out for any honors?

A I graduated with honors and I was given

1 an award as the outstanding senior in the College of Earth
2 and Mineral Science.

3 Q From what institution did you receive
4 your graduate degree?

5 A A Masters degree in hydrology at Stanford
6 in 1974 and a PhD in hydrology at the University of Arizona
7 in 1979.

8 Q At those institutions were you singled
9 out for any particular honors?

10 A No.

11 Q Are you a member of any professional or-
12 ganizations?

13 A Yes. I'm a member of the American Geo-
14 physical Union, the American Association of Groundwater
15 Scientists, Soil Science Society of America, Sigma Xi.

16 Q What is Sigma Xi?

17 A It's a scientific honorary society.

18 Q Have you been published in any scientific
19 or technical journals?

20 A Yes. I've published in the Water Resour-
21 ces Research, the American Society of Civil Engineers, Gen-
22 eral Hydraulics, Groundwater Journal, and General Hydrology,
23 a number of things.

24 Q Have you delivered any papers at any
25 scientific or technical meetings?

1 A Yes, commonly to several per year.

2 Q So then you estimate you delivered some-
3 thing in excess of a dozen papers?

4 A At least.

5 Q Have you been employed as a consultant to
6 any state agencies?

7 A I'm a consultant to the State of
8 Colorado's Department of Health and the State of New Mexico
9 Environmental Improvement Division.

10 Q If you were to say you had a single
11 specialty, what would that specialty be?

12 A Primarily in problems of seepage through
13 materials towards -- as it moves towards the water table.

14 Q What practical experience have you had
15 with regard to investigating problems of seepage in the
16 State of New Mexico?

17 A Well, we had, in addition to some consul-
18 ting to the State Environmental -- State of New Mexico's En-
19 vironmental Improvement Division on uranium mill tailings,
20 we've done a field investigation and laboratory study of
21 seepage from an impoundment on the Ogallala area in the Clo-
22 vis vicinity.

23 Q Have you ever had the opportunity to pre-
24 pare a complete hydrogeologic -- hydrologic study?

25 A Yes.

1 MR. WEBER: Mr. Examiner, I
2 would at this point offer Mr. Stephens as an expert hydrolo-
3 gist.

4 MR. STOGNER: Any objections?

5 MR. KELLAHIN: Dr. Stephens is
6 so qualified.

7 Q Dr. Stephens, have you had the opportun-
8 ity to study the hydrology of those tracts of land proposed
9 by Petro-Thermo Corporaiton of use as a waste disposal site?

10 A Yes.

11 Q Have you had an opportunity to review
12 those engineering plans prepared by Mr. Jim Thornton for
13 Petro-Thermo?

14 A Yes.

15 Q Have you had an opportunity to actually
16 visit the site of the proposed waste disposal facility?

17 A Yes, I did.

18 Q Have you prepared a report with regard to
19 your findings?

20 A Yes.

21 Q I show you now what has been marked as
22 Exhibit Number Ten in Case Number 8781 and ask you if you
23 can recognize that?

24 A Yes, that's the report prepared by my-
25 self.

1 Q Please describe in very general terms the
2 hydrologic conditions in the vicinity of the proposed
3 disposal site.

4 A The water-bearing units that are of
5 interest are usually above the Permian section, which is at
6 a depth of 800 or so feet, and within the interval, the
7 first 800 feet, there are notable occurrences of water in
8 the redbeds formation, which comprises maybe 750 or more
9 feet of that -- that interval, particularly in sandstone
10 layers within the Chinle, which is the upper member, and
11 also in the Santa Rosa sandstone in the lower portion of the
12 Triassic Redbeds.

13 There's also an alluvial cover that may
14 be variable thickness, perhaps at the site 20, 10 to 20
15 feet, maybe, and in places around the site there seems to be
16 groundwater which occurs in the alluvium but is very
17 discontinuous because of the irregular nature of the redbeds
18 and the low rates of natural infiltration.

19 At the site there doesn't seem to be any
20 significant amount of water in the alluvial section.
21 Primarily water that occurs at the site is expected to be in
22 the Triassic redbeds.

23 Q Does the site lead towards Laguna Plata
24 and if you could, please explain what Laguna Plata is.

25 A Laguna Plata is a body of water which is

1 located in the deepest portion of a collapse feature that
2 created a number of other lakes in the area and it's
3 regional sink for groundwater discharge at shallow depths
4 and at greater depths in the Triassic section.

5 So at the site groundwater flows towards
6 the -- towards Laguna Plata. On all sides of Laguna Plata
7 there's convergent groundwater.

8 Q Now you indicated that Laguna Plata is a
9 regional sink. We have in the very near vicinity Laguna Ga-
10 tuna, Laguna Toston. What can you tell me about the rela-
11 tive elevations of these in relation to Laguna Plata?

12 A Laguna Plata is the lowest water surface
13 of those several bodies you mentioned. It serves as a
14 regional collection point for groundwater where most of the
15 discharge from the system occurs.

16 Q Is both Laguna Plat and the proposed dis-
17 posal site within the collapse feature?

18 A Yes, that's correct.

19 Q Where are the Triassic redbeds in rela-
20 tion to Laguna Plata and the proposed waste disposal plant?

21 A The redbeds occur, the interface between
22 the redbeds and the alluvial material at the site is, oh,
23 perhaps 20 to 30 feet below land surface.

24 In Laguna Plata the drilling that was
25 done in the lake encountered the redbeds at, maybe, 30 feet

1 below the surface of the redbeds, so there's in a sense an
2 offset in the redbeds, possibly due to some deformation by
3 faulting or actual folding into the collapse structure.

4 Q Did you have an opportunity to walk up
5 and down arroyos and determine the general depth of the red-
6 beds underneath the alluvial sands and what, if anything un-
7 usual did you discover?

8 A In walking through some of the arroyos it
9 appears that the section that's visible there from land sur-
10 face is a thin veneer of dune sand. It might be a foot to
11 several foot thick.

12 Then there's a light red to tan sandstone
13 with some green sandstone layers in it that appears to me to
14 be a sandy member of the Chinle and that might be maybe 20
15 feet thick, and then there's a very noticeable contrast of
16 the shale, a dark brown redbed shale that is very prominent
17 and one of the features that struck me when I was there was
18 that there seemed to be a line of seeps, a diffuse zone of
19 discharge of groundwater that occurred just above this red-
20 dish horizon, which was very -- in a clay stone you'd call
21 it a shale, and appeared to me as though it marked the -- it
22 was an impeding horizon naturally, under natural conditions
23 that caused discharge to leave at this contact, and we
24 traced it for maybe 100 yards laterally to the north from
25 the site.

1 Q In practical terms what does this mean?

2 A That any infiltration that falls from
3 the permeable sand and surficial deposits percolates down,
4 perhaps it goes to 20, 30 feet, depending on particular lo-
5 cations at the site, and then moves laterally down dip, or
6 down this interface to the north towards Laguna Plata and
7 discharges.

8 The practical significance that struck me
9 is that if this is occurring under natural conditions, chan-
10 ces are that this is a very good barrier to downward perco-
11 lation due to seepage from these pits.

12 Q Aren't Triassic rebeds generally consid-
13 ered to be virtually impermeable?

14 A In the vertical direction that's a very
15 often assumed condition.

16 Q Do the Triassic rebeds act as a barrier
17 to any seepage into sand stringers which may be found below
18 them?

19 A That's my opinion, yes.

20 Q What is the direction of the major flow
21 of surface and subsurface water from the disposal site?

22 A To the north.

23 Q To the north in the general direction of
24 Laguna Plata.

25 A To the north towards Laguna Plata.

1 Q Tell me a little bit about Laguna Plata.
2 What is it?

3 A It's a salt lake; a point of groundwater
4 discharge; there are springs surrounding it, probably upward
5 moving water. At the very shallow depths it comes into the
6 adjacent areas and there's a high concentration of salt
7 rocks occurring there at the present time.

8 Q What do you mean by a high concentration
9 of salt? Could you give us a number which would indicate how
10 concentrated the salt is or --

11 A A chemical analysis recently done that
12 was reported to me gives the total dissolved solids concen-
13 tration of 335,000 milligrams, or parts per million chlor-
14 ides. That would be about 192,000 parts per million.

15 Q Is that total dissolved solids number
16 significant?

17 A It's much more concentrated than sea
18 water by an order of magnitude.

19 Q About ten times as concentrated as sea
20 water?

21 A Yes.

22 Q Is there any leakage of water from Laguna
23 Plata into adjoining formations?

24 A Not that I have any evidence for. There
25 is a vertical component of the hydraulic gradient that one

1 could infer because of the pressures in underlying forma-
2 tions are less than the potential level of the lake, but
3 there hasn't been demonstrated any significant amount of
4 leakage based on water chemistry data.

5 Q Based upon your study and inspection,
6 have you been able to formulate an opinion as to any reason-
7 ably foreseeable beneficial use of Laguna Plata?

8 A From my own -- my own point of view, I
9 don't see any change in the current pattern of use of Laguna
10 Plata.

11 Q Have you had an opportunity to measure
12 the surface area of Laguna Plata and to calculate the eva-
13 poration which would occur on it?

14 A The surface area of Laguna Plata is
15 approxiamtely two square miles. Based on studies that were
16 done for the Bureau of Land Management in the potash dis-
17 trict, they found that the evaporation rate from brine lakes
18 is approximately 4.4 feet per year; over that two square
19 miles gives an annual evaporation rate of about 5630 acre
20 feet per year.

21 Q You have Petro-Thermo's proposed
22 engineering plat. Have you been able to take their
23 discharge of some, the maximum discharge of some 30,000 bar-
24 rels a day of liquid and reduce that to acre feet so as to
25 compare it with the evaporation rate?

1 A It would be about 1500 acre feet per year
2 at the maximum.

3 Q In terms based upon the assumption that
4 all the materials, waste in the proposed disposal facility
5 would have flowed directly into Laguna Plata, would they be
6 evaporated?

7 A Essentially the material that would seep
8 in has a potential to evaporate. The normal operating con-
9 dition, though, is much, much less than the 30,000 barrels a
10 day. I believe the number is 2250 barrels a day, which if
11 we look at the waste that would come from the salt water
12 ponds, if all of that seeped into the lake, that, and assum-
13 ing none evaporated, all of that went into Laguna Plata, it
14 would be about 93 acre feet per year, or maybe less than 2
15 percent of the total inflow to Laguna Plata would be -- that
16 would be the increase that would flow to Laguna Plata as a
17 result of seepage from this operation, assuming no evapora-
18 tion took place in the pits.

19 Q What would be the practical effect of
20 this discharge of brine water into Laguna Plata?

21 A I think there would be no measurable con-
22 sequence. From the practical standpoint, I don't think
23 there would be consequence. From a mass balance standpoint
24 there has to be a small increase in the stage, maybe on the
25 order of tenths of feet and of course as the stage rose and

1 the surface area expanded slightly, we would be looking at
2 even more rate of evaporation on a larger water surface.

3 Q Based upon your study and inspection,
4 have you been able to form an opinion regarding the effects
5 on any discharge -- or on Laguna Plata from any discharge?
6 That was basically negligible?

7 A That's correct.

8 Q Based upon your study and inspection have
9 you been able to make any determinations as to the presence
10 of fresh water at shallow depths in the vicinity of the pro-
11 posed disposal?

12 A The nearest well we were able to located
13 is up, up gradient about 2-1/2 miles near Halfway. Its
14 quality is marginal for drinking. The little bar at Halfway
15 is abandoned.

16 There's a windmill to the east approxi-
17 mately three miles distant from the site, which is used for
18 stock watering, or had been used for stock watering; appar-
19 ently abandoned now, and it does have water in thew alluvium
20 that seems to be good quality.

21 Q Now you mentioned that these locations
22 were up gradient from the proposed disposal site and I sup-
23 pose up gradient from Laguna Plata. What difference does
24 that make?

25 A Any -- any seepage from Laguna Plata

1 would be likely to move down gradient and there's no way
2 possible for that seepage to contaminate wells that far up
3 gradient.

4 Q Based upon your study and your inspection
5 have you formed an opinion as to whether the discharge water
6 and solids could move to subsurface in such a manner as to
7 commingle in the reasonably foreseeable future with an un-
8 contaminated water supply?

9 A I don't foresee that as a probability.

10 MR. WEBER: I have no further
11 questions.

12 MR. STOGNER: Mr. Kellahin,
13 your witness.

14 MR. KELLAHIN: Thank you, Mr.
15 Stogner.

16

17

CROSS EXAMINATION

18 BY MR. KELLAHIN:

19 Q Dr. Stephenson, I'd like you to help me
20 understand the relationship in this site specific area be-
21 tween the potential for evaporation versus the infiltration
22 rate of the liquids into the ground.

23 Let's assume some fact situations and
24 then you tell me what will be the effect on this particular
25 operation.

1 The first assumption I'd like you to make
2 is let's assume that the infiltration rate of the fluids has
3 been totally impaired. Let's assume that may have occurred
4 with solids becoming deposited on the bottom of the ponds so
5 that infiltration is minimal, if at all.

6 Should that occur what is the capacity of
7 the proposed plan to by means of evaporation handle a cer-
8 tain volume of disposed liquids? My question is, without
9 infiltration and using your evaporation rates from Laguna
10 Plata, can you estimate for me what would be the capacity of
11 the facility if they to rely solely on evaporation?

12 A Approximately, approximately three, three
13 to four acre feet per year.

14 Q I need some help. How many barrels of
15 oil are we talking about in relation to an acre foot?

16 A 7580, well, it's about 20 --

17 MR. ABBOTT: 7758.

18 A It's about 20 --

19 MR. ABBOTT: 7758.

20 MR. KELLAHIN: Somebody give me
21 a number that everybody likes.

22 A I think there's about -- I don't know,
23 about 22 or so thousand barrels per day in an acre foot per
24 year.

25 Q All right. Have you taken into consider-

1 ation the effect the evaporation rate -- well, let me start
2 over.

3 Can you tell me or have you studied the
4 effect that the oil skim or the oil slick on the surface of
5 the ponds will have in terms of its effect on the evapora-
6 tion rate?

7 A It's my understanding that one of the
8 features of the pond is to recover any floating hydrocarbons
9 that has been bypassed in the gunbarrels and that will be
10 skimmed off.

11 If there were a cover of -- a veneer of
12 oil slick on top, it would depress the rate of evaporation
13 but as far as this site's concerned in order for it to oper-
14 ate it's got to be viewed essentially as an infiltration
15 gallery rather than an evaporation system. Evaporation in
16 my calculation is a negligible amount. This primarily
17 should be viewed as an infiltration system which uses the
18 soil as a filter, allows the retention in the settling bases
19 and recovery of any floating product.

20 Q Assuming the operator on a regular basis
21 attempts to skim the oil but we still have a small viscosity
22 of oil on the surface, and assuming lack of infiltration,
23 what effect does that have on your evaporation calculation
24 of Laguna Plata using the salt brine evaporation calcula-
25 tion?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A The 4.4 feet per year?

Q Yes, sir, what effect will that oil skim on the evaporation have? Is there a way to estimate for us the impact?

A I can't do it here. I think one could look in the literature for some available studies. I believe there are some but I just don't have that one with me.

Q All right, now let's talk about the system the way you anticipate it to work, not as evaporation ponds --

A Right.

Q -- but as a mechanism whereby we have high rates of infiltration and we have the fluids then migrating down gradient into the Laguna Plata.

Have you calculated or estimated the rates of infiltration of the produced water in the absence of having the infiltration impaired by substances collecting on the bottoms of the ponds. Let's disregard that kind of problem for the moment.

A Okay. Let me rephrase your question so I can --

Q Okay.

A -- understand it. Are you asking me what the infiltration rate would be if there were no impeding

1 layer?

2 Q Yes, sir, the impeding layer being some-
3 thing not physically there now. It would be oil or mud or
4 some --

5 A We haven't done any field tests. That
6 would be required in order to calculate the permeability of
7 the subsoil.

8 It appears to me, based on preliminary
9 calculations and inspection of the site that the soil has a
10 potential permeability to allow that much water to infil-
11 trate. I think the point about build-up of solids in the
12 bottom of the pond is an important one and really will re-
13 quire, I think, as part of the plan a regular maintenance of
14 the pit to allow infiltration to occur.

15 Q Let me interrupt you a moment, Doctor.
16 You talked about a volume. What volume are we talking
17 about? Is this still the 30,000 barrels a day?

18 A No. No, this would be the 2250 barrels a
19 day --

20 Q All right.

21 A -- calculation. The other -- the other
22 could be handled -- if the hydraulic conductivity of the
23 formation underneath it is about 10 to the minus 3 centi-
24 meters a second, 1000 feet per year, I believe, it could
25 handle it. I don't think it's quite that much but I -- we

1 haven't done any field tests to determine it.

2 On the other hand if it's 10 to the minus
3 4 centimeters a second, you know, with the 2250 barrel a day
4 rate, I think that's about what it is, without a clogging
5 layer.

6 Q If we're using the 2250 barrels a day as
7 the anticipated use for the facility, you've indicated that
8 maintenance of the ponds in terms of scrapping the pond bot-
9 toms in order to maximize the ability of the fluids to in-
10 filtrate might be a prudent thing to do.

11 A Yes.

12 Q Can you give us -- can you give us some
13 estimation as a hydrologist of how frequent that maintenance
14 operation ought to be? How are we going to judge when we
15 ought to start cleaning the bottoms of the ponds?

16 A That's a question I haven't thought about
17 but it is an ongoing problem when people are doing artifi-
18 cial recharge along rivers, say, in Orange County, Califor-
19 nia, where they do this thing to get water into aquifers for
20 re-use. It's an ongoing operation. I think one may want to
21 -- a period of a couple of weeks, perhaps, maybe on that or-
22 der, have one pit out of commission for drying and disking
23 or removing some of the sludge or sediments, suspended
24 materials, bypassing it, bypassing that particular pit and
25 putting another one in use.

1 That's a guess. I've not scoured the
2 literature for the experience that's available concerning
3 this.

4 MR. KELLAHIN: May I have a mo-
5 ment, Mr. Stogner?

6 I'm through with Mr. Stephen-
7 son, thank you.

8 MR. STOGNER: Thank you, Mr.
9 Kellahin.

10 Mr. Weber, anything --

11 MR. WEBER: Yes, sir, I have a
12 few --

13 MR. STOGNER: -- further?

14 MR. WEBER: -- further ques-
15 tions for Dr. Stephens.

16

17

REDIRECT EXAMINATION

18 BY MR. WEBER:

19

20

21

22

Q Dr. Stephens, you were asked just a few
moments ago to assume that the infiltration rate of fluids
on the bottom of a disposal pit was totally impaired, was
zero. What would the practical effect of that be?

23

24

25

A Well, a couple of things would have to
happen. Either the pits would fill up; in order to prevent
any spillage over the sides you'd cut back operations. That

1 would be easy to do when the pits were not full and taking
2 on any more water. They could be operationally shut down
3 until they could be improved in terms of their infiltration
4 characteristics.

5 Q So if this assumption actually occurred,
6 a total -- the infiltration rate of the fluids would be to-
7 tally impaired, that would be something entirely obvious to
8 the operators, I guess you could say.

9 A I would think so. If it spilled over the
10 sides the whole system would be eroded and there wouldn't be
11 any -- wouldn't be any other recovery of hydrocarbon on the
12 water surface, so its not to their advantage to have the
13 water flowing over land into Laguna Plata.

14 Q And if the infiltration rate was such
15 that there would be no flow, how difficult a job woud it be
16 to improved the infiltration rate?

17 A Well, it's a common -- it's a common
18 problem in artificial recharge studies but it's -- it's one
19 that -- there's plenty of artificial recharge experience
20 that can be relied upon to reclaim the permeability of the
21 formation. It's an engineering problem that can be overcome
22 with either disking and drying, actual removal of the some
23 of the materials with, perhaps, a backhoe to get down to the
24 basic formation.

25 MR. WEBER: I have no further

1 questions at this time.

2 MR. STOGNER: Mr. Kellahin?

3 MR. KELLAHIN: No, thank you.

4

5

CROSS EXAMINATION

6

BY MR. STOGNER:

7

Q Dr. Stephens, I'd like to refer to Figure

8

3 of your Exhibit Number Ten, which is your report, and this

9

Figure 3 is Water Level Evaluations and Depths to Water, and

10

in the center of your plat you show Laguna Plata and over to

11

the east you have several circles and squiggly lines, what

12

you show as being springs.

13

What is that water makeup and where is

14

the water coming from that feeds those springs?

15

A The makeup of the water?

16

Q Yes, sir.

17

A Do you mean its chemical composition?

18

Q Chemical composition, salinity.

19

A Table 3, Page 8, tabulates the chloride

20

concentrations at those springs. They're in the -- most of

21

them are on the order of 8000 parts per million chloride.

22

Q Okay, what feeds these springs? Where is

23

this water coming from?

24

A It appears to me that there's a couple of

25

possible sources. One, it might be a mixture of different

1 sources. We have dune material, limitless dune material in
2 the north side of these lakes which is very good infiltra-
3 tion characteristics. I think there's some water which
4 comes into Laguna Plata from the north and there's also some
5 that comes from the east, possibly in drainage out of Laguna
6 Gatuna, in that vicinity, and mixing and so there's possibly
7 two, two sources, one would be areal infiltration through
8 the surfacial deposits which are permeable, and also lateral
9 flow from adjacent areas, which could be in the vicinity of
10 Laguna Gatuna nearest to these (not audible because of
11 coughing.)

12 Q This is contained in your report and
13 needless to say, I haven't had a chance to look at it yet.

14 Let's talk about the redbeds for a little
15 bit between Laguna Plata and back toward the proposed dispo-
16 sal site.

17 Over the disposal site itself how far
18 down before you hit redbeds?

19 A My estimate is about 25 to 30 feet.
20 That's for the clay, what you would call the redbed, that
21 maroon clay layer that I described which was a barrier to
22 seepage. That appears to be about 25 to 30 feet down.

23 Q And the thickness of the redbed in this
24 general area?

25 A Approximately 800, 750, 800 feet. Total

1 redbeds, including Dewey Lake, Santa Rosa, Chinle.

2 Q Okay, you mentioned that there is some
3 sandstone deposits within the redbed, is that right?

4 A Within the Triassic generally, that's cor-
5 rect, and the Santa Rosa, of course, is a sandstone.

6 Q Where is the Santa Rosa in respect to the
7 redbed in here?

8 A The depth is probably several hundred
9 feet below the site.

10 Q Okay, within the redbed itself is there
11 any deposits of sandstone that are water bearing?

12 A Yes.

13 Q There is. Are those deposits inter-chan-
14 neled with other sandstone deposits or are they layered,
15 separated?

16 A They're layered. It's my feeling that
17 it's the latter; not too much interfingering with Santa
18 Rosa.

19 Q Do you know what the depth would be from
20 the top of the Redbed to your first sandstone layer that has
21 water in it?

22 A I really haven't had a study of that
23 stratigraphy. There's a lot of drilling reports, which
24 you'll find contained in the report and it's very difficult
25 to use these types of drillers logs to correlate one, what

1 might be called the water sand and one layer to another. I
2 don't think there's that sufficient geologic control based
3 on drillers logs to make a stratigraphic horizon, but you'll
4 see that it does occur in the first couple hundred feet, 400
5 feet, there are occurrences of water in the -- in these
6 units.

7 Regionally, however, the quality of water
8 in the Triassic is poor.

9 Q What do you mean poor?

10 A High in chlorides; above drinking water
11 standards.

12 Q So I can understand it, let's talk about
13 Laguna Plata itself.

14 Is the -- is the redbeds present within
15 the bottom of the lake or -- I guess they aren't.

16 Is there any percolation downward from
17 Laguna Plat at, say, a maximum water level, at a flood
18 stage, say?

19 A It would be very local, as it were, some
20 going into the bank at the stage the Laguna Plata rose dur-
21 ing a (not understood), there would be some lateral movement
22 into the adjacent soil, but when the level fell it would
23 move back in, the bank storage type in effect.

24 There's, in the subsurface contours on
25 the deeper zones within the redbeds which show convergence

1 of flow, even at great depth, that's been described in the
2 report by Nicholson and Clebsch, 1961 on the hydrogeology in
3 the area, and their map shows that the (not understood) met-
4 ric surface slopes towards Laguna Plata and if there were
5 any downward leakage, it would presumably be still contained
6 within this zone of convergent flow. But if there were a
7 lot of downward discharge under current conditions, the sal-
8 inity of those zones that were receiving this discharge
9 would be very, very high, Laguna Plata being a saline lake.

10 Q Again, just so I can understand, the
11 water that accumulates in Laguna Plata is all evaporated;
12 none of it migrates out, except, like you were saying, at a
13 high flood stage it could go back and theoretically those
14 waters would then --

15 A Come back in or themselves evaporate from
16 the soil directly.

17 Q You referred to a Nichols and Clebsch?

18 A Nicholson and Clebsch.

19 Q Nicholson and Clebsch, I'm sorry.

20 A C-L-E-B-S-C-H.

21 Q Are those in your references?

22 A Yes, sir.

23 Q You stated that Laguna Plata was the low-
24 est of the lakes within this area. What is the elevation of
25 the lake bed?

1 A I recall looking at a benchmark out in
2 the lake during the field survey. I believe it was 3431
3 feet.

4 Q And how much lower is that than Laguna
5 Gatuna to the east?

6 A Probably 60 feet.

7 Q And Laguna Tonto up in the farther east
8 and north?

9 A I'd have to look at the map. I don't
10 know offhand. Looks like on the order of 100 feet.

11 Q Are you referring to a regular USGS map
12 --

13 A That's correct. The Laguna Gatuna 7-1/2
14 Minute Quadrangle.

15 Q Okay, thank you. Okay, how about Laguna
16 Toston, which is down south?

17 Tuston or Toston?

18 A It appears to be about 60 feet, also.

19 MR. STOGNER: I have no further
20 questions of this witness.

21 Are there any questions of the
22 witness?

23 All right, Mr. Weber.

24 MR. WEBER: If I could ask just
25 one further question.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REDIRECT EXAMINATION

BY MR. WEBER:

Q Do the same Triassic redbeds underlie all the salt lakes which you've described, Laguna Gatuna, Laguna Plata, and Laguna Tonto, Laguna Toston?

A That's correct.

Q Thank you.

MR. WEBER: Nothing further.

MR. STOGNER: Are there any other questions of Dr. Stephens?

If not, he may be excused.

MR. WEBER: Mr. Examiner, I would like at this time to move the admission of Exhibits One through Ten.

MR. STOGNER: Are there any objections?

MR. KELLAHIN: I don't recall which letter was marked what exhibit number. Our only objection went to that exhibit. We have no objection to the others.

MR. STOGNER: I believe the Exhibits were Five, Six, and Seven, the letters from Amoco, Amerada, and another --

MR. KELLAHIN: Natural

1 Resources?

2 MR. STOGNER: Are those the
3 letters that you refer to that --

4 MR. KELLAHIN: Yes, sir.

5 MR. STOGNER: Mr. Kellahin, I'm
6 going to overrule your objection and allow those into evi-
7 dence.

8 MR. WEBER: In this regard I
9 would request that the copy of the letter from Bravo Energy,
10 Incorporated, which was received by the Oil Conservation
11 Division on 12-9, 1985 also be included in this file.

12 MR. STOGNER: Okay, the record
13 will so show we did receive that, being we, the OCD, re-
14 ceived that on December 9th, 1985, and it was made part of
15 the case file at that time.

16 Mr. Weber, do you have anything
17 further?

18 MR. WEBER: I have nothing fur-
19 ther.

20 MR. STOGNER: Mr. Kellahin?

21 MR. KELLAHIN: Thank you, Mr.
22 Examiner. I propose not to put on any direct evidence on
23 behalf of my client at this point and we are prepared to
24 make a brief closing statement. We would like an oppor-
25 tunity to submit a proposed order in this case but I have no

1 witnesses to call at this time.

2 MR. STOGNER: Thank you, Mr.
3 Kellahin.

4 I believe if there is nothing
5 else, then we are ready for closing statements.

6 MR. KELLAHIN: We seem to have
7 a number of people here today. There perhaps is somebody
8 here that wants to make a statement other than me and Mr.
9 Weber.

10 Are there other parties here?

11 MR. STOGNER: Thank you for
12 correcting me. Since there is a large contingency here,
13 would anybody like to stand and make any kind of a state-
14 ment? We'll start from this end of the room and work
15 around.

16 Please stand and identify your-
17 self.

18 MR. BILL TOM: Bill Tom from
19 Andrews, Texas. We are the present lessee on the grazing
20 lease concerned and we have not relinquished the grazing
21 lease at the present time. We are against the proposal be-
22 cause of our ranching interest at this time.

23 MR. STOGNER: Okay, what was
24 your name again, please?

25 MR. TOM: Bill Tom.

1 MR. STOGNER: Mr. Tom, the
2 grazing lease that you're referring to is a grazing lease
3 from the State?

4 MR. TOM: This is correct.

5 MR. TAYLOR: Is our understand
6 ing correct that your permission is needed to change the
7 grazing lease to a business type lease?

8 MR. TOM: This is correct as I
9 understand it.

10 MR. STOGNER: Per the rules and
11 regulations of the State Land Office.

12 Any further statements?

13 There being none by any par-
14 ties, we're ready for closing statements.

15 Mr. Kellahin, you may go first.
16 Mr. Weber, you may go last.

17 MR. KELLAHIN: Mr. Stogner,
18 I'll be quite brief.

19 We would, first of all, request
20 that you grant us a week or ten days in which to submit to
21 you a proposed order that we would believe appropriate for
22 entry in this case.

23 The reason I suggest that is
24 Dr. Stephens' report, his report that I have not read. I
25 would like to review that and try to understand it before

1 we attempt to suggest to you how the Division might want to
2 enter an order for this particular site.

3 My client, as the testimony,
4 has shown, operates Laguna Gatuna and Pollution Control,
5 Inc.. There have been some comparisons made between this
6 proposed site and the Pollution Control site. I'd like to
7 examine what we've heard today in terms of what we do on our
8 facility and see if I can't suggest an order to you that
9 protects our interest.

10 Mr. Abbott has indicated, and I
11 believe Mr. Weber told you in his beginning comments, that
12 there had been an order approving the use of Laguna Plata
13 for salt water disposal. He referenced Order No. R-3725 and
14 that is an order that was issued back in '69 to Mr. Larry
15 Squires, who is the principal of Pollution Control.

16 Because of the close proximity
17 of this project to our approval of the use of Laguna Plata
18 for salt water disposal it's important for us to recommend
19 to you an order that minimizes the impact that this opera-
20 tion may have on our potential use of Laguna Plata.

21 As you can see from this Order
22 3725, this order only allows the use by Larry Squires of La-
23 guna Plata for salt water disposal and does not allow him to
24 use it for oilfield waste and solids.

25 This order has been subse-

1 quently amended in small part by providing for the use of
2 Laguna Plata -- Laguna Gatuna in this order as the site for
3 the use of the solid waste.

4 We want to try to suggest to
5 you a proposed order that accommodates Mr. Abbott as best we
6
7 project may have on our interest in the area.

8 In addition, Mr. Squires is the
9 Manager of Snyder Ranches, which is the surface owner not of
10 this particular site but of the adjoining property.

11 We would appreciate the cour-
12 tesy that you could extend to us to give us seven or ten
13 days to give you an order so you could deal in specific sub-
14 stances about the nuts and bolts of the order itself.

15 In closing, the only point I
16 see that gives me some concern in the presentation Mr. Weber
17 has made, is that there may be fundamental jurisdictional
18 defect in the application at this point. The Commission
19 rules, as you know, require under 1203 that the initiation
20 of a hearing can be done by the Division, the attorney gen-
21 eral, any operator or producer, or anyone having a property
22 interest may institute proceedings for a hearing.

23 I think it's apparent -- it's
24 implicit upon your exercising of authority in this case to
25 make a decision about the jurisdiction. The testimony was

1 that Mr. Abbott has applied for a business lease from the
2 State of New Mexico to utilize the surface. You have to re-
3 solve whether or not the filing of an application would vest
4 Mr. Abbott's company with a sufficient property interest by
5 which he could be an applicant today.

6 I would like an opportunity to
7 search some of the other cases that we've put on here before
8 the Commission before I give you what my opinion of the law
9 is, but I want to raise that as an issue because my recol-
10 lection is in the past the Commission has required that the
11 applicant obtain a business lease from the State Land Com-
12 missioner before proceeding with his application.

13 Now, I say that with some qual-
14 ification because I think it's incumbent upon myself and Mr.
15 Weber to determine if in fact that does constitute a fatal
16 flaw in the application. It might be possible to process
17 the application here, contingent upon approval by the Land
18 Commissioner, so I'm suggesting there may be other solutions
19 but I raise that issue as one that is still before you in
20 this case. It is that Mr. Abbott's companies don't own the
21 surface. We know from Mr. Tom, Toms, that this ranch owns
22 the grazing, and it may cause you the same concern it causes
23 me that the party here lacks sufficient standing before the
24 Commission to bring the application.

25 Having said all those things,

1 now, we would like to have an opportunity to submit to you a
2 draft order.

3 MR. STOGNER: Thank you, Mr.
4 Kellahin.

5 Mr. Weber?

6 MR. WEBER: Yes, sir. Petro-
7 Thermo Corporation would also request the opportunity to
8 present to you a proposed order within a ten day period and
9 we would press for a speedy disposition of this particular
10 matter in view of the fact that its temporary permit to dis-
11 pose of solids near Eunice, New Mexico, will expire on or
12 about the 19th of January of next year.

13 A quick decision might well
14 minimize any adverse impact from the closure of one of the
15 three available solids disposal sites in southeastern New
16 Mexico.

17 I would like to now turn to
18 that interesting jurisdictional question raised by Mr. Kel-
19 lahin.

20 This is really not a new or a
21 novel argument. Mr. Kellahin raised it on the 23rd of Sep-
22 tember, 1981, in the matter of Loco Hills Water Disposal
23 Company. Loco Hills also wanted an exception to Order Num-
24 ber R-3221.

25 Loco Hills was also in the same

1 posture as Petro-Thermo Corporation. It had made but had
2 not received final approval from the State Land Office with
3 regard to its business lease. That was Case Number 7329.
4 Mr. R. L. Stamets was the Examiner.

5 There, as here, the application
6 had been made but had not reached its final approval. We
7 would argue that here, as there, the jurisdictional objec-
8 tion should be dismissed. It's my understanding in that
9 particular case Mr. Stamets that there was a sufficient pro-
10 perty interest even though final approval had not been re-
11 ceived.

12 Understanding full well the po-
13 sition of the present grazing lessee, it is our contention
14 that it is not necessary to obtain a relinquishment of his
15 grazing lease; that in accordance with the rules and regula-
16 tions of the State Land Office it would be possible to grant
17 that lease in the absence of a relinquishment.

18 Mr. Examiner, we have tried to
19 show through our presentation today that a legitimate need
20 exists in southeastern New Mexico for additional approved
21 disposal sites. There are a limited number of disposal
22 sites now and it's quite possible that an emergency could
23 really have a significant impact not only on trucking opera-
24 tions but on oil and gas production within that section.

25 Mindful of the need to devoid

1 -- to avoid any possible of discharge into a reasonably
2 foreseeable fresh water source, we have been very careful to
3 select the site, a site which limits any possible -- possi-
4 bility of contamination of adjacent fresh water sources. We
5 have selected a site which the Oil Conservation Commission
6 has exempted from the operation of its Order 3221, exempted
7 in the sense that it permitted the disposal of production
8 water in unlined surface pits.

9 We have selected an area by the
10 Laguna Plata which -- into which the disposal of production
11 water would not constitute a hazard to fresh water supplies
12 in the area.

13 We feel that we have met the
14 burden demonstrating the absence of the possibility of con-
15 tamination, met the burden of showing that an exception to
16 Order No. R-3221 should be granted to Petro-Thermo.

17 That's it.

18 MR. STOGNER: Thank you, Mr.
19 Weber.

20 Is there anything further in
21 Case Number 8781?

22 There being none -- before I
23 take this case under advisement, I've been doing some figur-
24 ing. If I allow seven days or a week it would be on Christ-
25 mas, and if I allow ten days it would be on the 28th, which

1 is on a Saturday, so I wish that rough draft orders from
2 both you all be in here by the 30th of December, which is
3 the Monday after Christmas.

4 So if there is nothing further
5 in this case, this case will be taken under advisement.

6

7

(Hearing concluded.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 8781 heard by me on 18 December 19 85.

Michael E. Higgins, Examiner
Oil Conservation Division