

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION COMMISSION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6
7 22 June 1988

8 EXAMINER HEARING

9 IN THE MATTER OF:

10 In the matter of Case No. 8822 being
11 reopened pursuant to the provisions
12 of Division Order No. R-8188-A, Rio
13 Arriba County, New Mexico.

CASE
8822
(REOPENED)
M.S.

14 BEFORE: Michael E. Stogner, Examiner

15
16 A P P E A R A N C E S

17 For the Division:

18 Robert G. Stovall
19 Attorney at Law
20 Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico

21 For the Applicant:
22
23
24
25

1 MR. STOGNER: Call next Case
2 Number 8822, which is in the matter of said case being
3 reopened pursuant to the provisions of Division Order No.
4 R-8188-A, which promulgated temporary special rules and
5 regulations for the Northeast Ojito Gallup Dakota Oil Pool
6 in Rio Arriba County, New Mexico.

7 Amoco, which was the original
8 applicant in this case, has requested that this case be
9 continued to the Examiner's Hearing scheduled for July
10 20th, 1988, and that hearing is to be held here in Santa
11 Fe, New Mexico, in this room.

12
13 (Hearing concluded.)
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSK

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 8822 (REOPENED)
heard by me on 22 July 1988.

Michael P. Stigler, Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

20 July 1988

EXAMINER HEARING

IN THE MATTER OF:

In the matter of Case No. 8822 being CASE
reopened pursuant to the provisions 8822
of Division Order No. R-8188-A which
promulgated temporary special rules
and regulations for the Northeast Ojito
Gallup-Dakota Oil Pool, Rio Arriba
County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Robert G. Stovall
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico

For Amoco: Kent Lund
Attorney at Law
Amoco Production Company
P. O. Box 800
Denver, Colorado 80201

A P P E A R A N C E S Cont'd

For Benson-Montin-Greer: William F. Carr
Attorney at Law
CAMPBELL & BLACK, P.A.
P. O. Box 2208
Santa Fe, New Mexico 87501

For Mobil: W. Perry Pearce
Attorney at Law
MONTGOMERY & ANDREWS
P. O. Box 2307
Santa Fe, New Mexico

I N D E X

STATEMENT BY MR. LUND	4
BETSY LOUGH	
Direct Examination by Mr. Lund	7
Cross Examination by Mr. Carr	18
Cross Examination by Mr. Stogner	20
STATEMENT BY MR. PEARCE	21
STATEMENT BY MR. LUND	22

E X H I B I T S

Amoco Exhibit One, Map	9
Amoco Exhibit Two, Production Curves	11

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

3

4
5
6
7
8
9

10
11

12
13
14

15
16
17

18
19
20

21

22

23

24

25

25 But the vertical limits are

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

4
5
6
7
8
9
10
11
12

13
14
15
16

17
18
19
20

21
22
23
24

25

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

5
6
7
8
9
10
11
12
13
14
15
16
17
18
19

19
20
21
22
23
24
25

25

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

5
6
7
8
9
10
11
12

13

14

16
17
18

20

21

22

23

24

25

1 Q And you're employed as a reservoir en-
2 gineer?

3 A Yes, that's right.

4 Q You've testified as an expert before the
5 full Commission before, haven't you?

6 A Yes, I have.

7 Q But not before this Division.

8 A That's correct.

9 Q So briefly just state when you graduated
10 from college, what your degree was in, and quick work ex-
11 perience from that time.

12 A Okay. I graduated with a Bachelor of
13 Science degree in petroleum engineering in 1980 from Stan-
14 ford University. I've worked for Amoco for eight years in
15 various reservoir assignments. I've been working in this
16 area with naturally fractured reservoirs for about a year
17 now.

18 Q So you studied this area for purposes of
19 the hearing?

20 A Yes, I have.

21 Q And you have prepared two exhibits for
22 purposes of your testimony?

23 A Yes.

24 MR. LUND: Are her qualifica-
25 tions acceptable?

1 MR. STOGNER: They are.

2 Q Would you please turn to Exhibit Number
3 One, state what that shows, and why it's important for this
4 hearing?

5 A Exhibit One is a map showing the loca-
6 tion of the Northeast Ojito Gallup-Dakota Pool. The dark
7 outline shown is -- outlines the Jicarilla Apache A-118
8 Lease and which shows the original pool boundaries.

9 The dashed lines indicate areas that
10 were subsequently included in the Northeast Ojito Gallup
11 Pool by later expansions.

12 Q What about the development in the pool
13 itself?

14 A Okay. There are eleven wells on the 118
15 Lease. The discovery well, Well No. 8, is highlighted with
16 the orange dot. That well was completed in 1984. It was
17 put on production in 1985 in October, October of 1985.

18 There were four other wells that were
19 also put on production in October of '85, those being the
20 No. 9, the No. 10, and the No. 11 Well, and in May of 1986
21 the No. 13 and the No. 14 Wells were put on production, and
22 in October and November of 1986 Wells Nos. 15, 16, 17 and
23 19 were put on production.

24 Well No. 24 was drilled and completed
25 in the last quarter of 1987.

1 Q And that's the only well that was actu-
2 ally drilled since the '86 hearing.

3 A Yes, that's right. At the time of the
4 May, 1986, hearing 10 of the 11 wells had been drilled and
5 tested and completed.

6 Q What about the cumulative production in
7 this pool?

8 A The lease has a cumulative production of
9 1.1-million barrels of oil and 1.5 BCF.

10 Q And again we're talking about the orig-
11 inal area of the pool, the 118 Lease for those figures?

12 A That's right. I also want to mention
13 that the wells shown on the map here are wells that are
14 completed in the Gallup formation. You'll notice that we
15 start here with Well No. 8. Wells No. 1 through 7 are not
16 completed in the Gallup formation, which is why they aren't
17 shown on the map here.

18 Wells No. 18, 20, 21, 22 and 23 are not
19 shown on the map. Those are reserved for additional drill-
20 ing that may occur later on the lease.

21 Q So even though there are some gaps in
22 the numbers, those are drilling locations for future devel-
23 opment?

24 A Right.

25 Q Now, is it your understanding that

1 Amoco's position in 1986 was that this ought to be a separ-
2 ate pool because of the extent of natural fracturing and
3 some different producing characteristics?

4 A Yes, that's my understanding.

5 Q What about the nearby field spacing,
6 particularly West Lindrith and Gavilan?

7 A Yes. West Lindrith to the -- immediate-
8 ly to the south of the Northeast Ojito Field, is spaced on
9 160 acres, and then the Gavilan Mancos Pool directly to the
10 east is spaced on 640's with an optional second well.

11 Q What about -- it looks like there isn't
12 very much development in Section 25 in the northern part of
13 the pool.

14 What are Amoco's plans for development?

15 A We -- there are five potential drilling
16 locations and we are currently evaluating the situation for
17 further development.

18 Q Let's turn then to Exhibit Number Two.
19 Would you please state what that shows and why it's impor-
20 tant?

21 A Exhibit Number Two is a series of pro-
22 duction curves from four wells on the 118 Lease. I'll
23 first describe the annotation that applies to the curves.

24 The well name is located at the top of
25 the plot. The Y axis is oil rate in barrels of oil per

1 day, a log scale starting with 1 and up to 100,000.

2 The X axis is the time axis starting in
3 January of 1985 through December of 1989.

4 On these different plots some of the
5 plots are shown -- some of the plots showed some names of
6 offset -- offset wells with arrows indicating where the --
7 at what time these offset wells were put on production.

8 Q All right, let's turn to the first plot
9 in the packet, which relates to the No. 8 Well --

10 A Okay.

11 Q -- the discovery well.

12 A The No. 8 Well is a 160-acre location.
13 We can see here that in the first half of 1987 we have a
14 distinct change in character on the decline -- of the de-
15 cline rate for the well, indicating some sort of interfer-
16 ence from offsetting wells.

17 Q And the particular wells that you've
18 noted with arrows on that exhibit, what do they represent?

19 A Those are the NZ No. 1 Well, located
20 directly to the south; the 118-13, which is a north --
21 northwest offset; and then the additional -- additional
22 wells to the offset well to the south. Those are just in-
23 dicated at what time those wells were put on production
24 and they may have had some effect on the producing -- on
25 the decline rate of the well.

1 Q Let's turn to the curve for the No. 10
2 Well.

3 A The No. 10 Well is located in the north-
4 east quarter of Section 35, showing here when the offset
5 Well No. 14 was put on production, and the offset Well No.
6 17 was put on production. Here we see a distinct, again a
7 distinct change in decline rate occurring towards the end
8 of 1986. It's coincidental with when the No. 17 Well was
9 put on line.

10 We also see a distinct change in charac-
11 ter of the curve in the first half of 1988 becoming a much
12 steeper decline, which is indicating some competition for
13 reserves and interference from offsetting wells and again
14 this well is also a 160-acre well.

15 Q Let's turn to the next page of the exhi-
16 bit for the No. 11 Well.

17 A The No. 11 Well we show offsetting wells
18 the NZ No. 1, located to the south, excuse me, Well No. 11
19 is located in the southwest quarter of Section 36. The
20 Minel NZ No. 1 Well, located directly to the south, the 118
21 No. 14 to the north, the No. 19 and the NZ No. 2 Wells lo-
22 cated to the east of Well 11.

23 Here in the end of 1986 we see a steep-
24 ening of the decline rate changing character; the decline
25 rate of the well occurring coincidentally with the -- with

1 when the Well 19 and the NZ No. 2 Well were put on produc-
2 tion.

3 This indicates to us that there is some
4 competition for reserves and interference between wells on
5 160's.

6 Q Let's turn to the last page of the Exhi-
7 bit Number Two which relates to the No. 16 Well.

8 A The No. 16 Well, which is located in the
9 northwest quarter of Section 26, this is a well that is in
10 an area that's developed on 320 acres.

11 Based on the data that we have available
12 to us at this time, we don't see any interference from off-
13 setting production. On the figure here we can see that in
14 the beginning of 1988 we did have an increase in produc-
15 tion. That's due to installing compression on the well and
16 the decline rate that's shown here is parallel to the ini-
17 tial decline rate established by the well.

18 Q Do you think that the adding of compres-
19 sion hides, or I guess contaminates this particular data
20 for this well?

21 A No, I don't. Again you can see here
22 that we are on the same type of decline rate that we were
23 experiencing before putting on the production (sic). We
24 simply saw an increase in production.

25 Q Would you just sum up what you conclude

1 from Exhibit Number Two and the various production curves?

2 A Okay. Exhibit Number Two shows that we
3 see interference between wells that are developed on 160-
4 acre spacing; therefore, to drill on any denser spacing
5 than that would be unnecessary and wasteful.

6 We see on a -- a well that's developed
7 on a 320-acre area we do not see interference from offset-
8 ting wells, at least at this time.

9 Q So do you see some competition for the
10 same reserves on a 160-acre basis?

11 A No, we don't see the same competition
12 for reserves on the well that's on 320-acre area compared
13 to the 160's.

14 Q Before we -- were Exhibits Number One
15 and Number Two prepared by you or under your supervision
16 and control?

17 A Yes, they were.

18 MR. LUND: I offer them into
19 evidence.

20 MR. STOGNER: Are there any
21 objections?

22 MR. CARR: No objection.

23 MR. STOGNER: Exhibits One and
24 Two will be admitted into evidence.

25 Q Before we conclude your testimony, let's

1 hit a couple quick points.

2 Number one, there's a lot of well deve-
3 lopment out here and you don't have true laboratory condi-
4 tions. How do you interpret the data as a reservoir en-
5 gineer given those conditions?

6 A Yes, that's -- that's true. We're
7 working on an area here that we have some wells on legiti-
8 mate 160-acre areas, some on 320's. It does make it diffi-
9 cult to interpret some of the data. We -- we -- on the
10 curves that I've shown you can see some effect of offset-
11 ting wells. Exactly which wells are causing the changes
12 we can't really point to but we do see that something is
13 happening and the effect that we see is on the wells that
14 are on 160-acre spacing as opposed to 320's, which indicate
15 that 40-acre spacing is not necessary.

16 Q Now, this is a fractured reservoir,
17 isn't it?

18 A Yes, that's right.

19 Q And is that -- how does that affect your
20 analysis as an engineer in terms of a fractured reservoir
21 versus a traditional reservoir?

22 A I think that the -- the -- this forma-
23 tion is very -- a very complex formation with the natural
24 fracturing and we have basically two different factors in-
25 fluencing the performance of the wells. We have matrix and

25 A Yes, I do, and that is the case. We did

1 require four wells in that particular section to fully
2 develop the reserves.

3 Q Do you -- do you think that you need to
4 drill up this pool on 40-acre spacing in order to effec-
5 tively and economically drain the reserves?

6 A No, we don't. We see that the inter-
7 ference occurs on wells spaced on 160-acre areas and to go
8 any denser than that would be -- would be drilling unneces-
9 sary wells, and uneconomic wells.

10 Q What is your recommendation for the Exa-
11 miner?

12 A I would recommend that the temporary
13 rules of 160-acre spacing be made permanent.

14 MR. LUND: Nothing further and
15 we'd offer the witness for cross examination.

16 MR. STOGNER: Thank you, Mr.
17 Lund.

18 Mr. Carr, your witness.

19

20 CROSS EXAMINATION

21 BY MR. CARR:

22 Q Ms. Lough, have you reviewed any pres-
23 sure information on the wells in this pool?

24 A Yes, I have.

25 Q And what does that generally show you?

1 A Do you ask for specific --

2 Q Do you have initial bottom hole pressure
3 information on these wells as they were drilled?

4 A We have an initial pressure on the No. 8
5 Well when it was initially completed.

6 Q And do you have any others?

7 A Not any initial pressure, no, sir?

8 Q And you don't have an initial pressure
9 on the No. 16?

10 A No, sir. We do have pressure measure-
11 ments that were made but not when the well was initially
12 completed.

13 Q And how soon after completion do you
14 have pressure information on No. 16?

15 A I don't recall exactly the date that we
16 made that measurement.

17 Q Do you have any knowledge as to how
18 those pressures would compare to the initial pressures in
19 the No. 8?

20 A I know that the pressure was lower.

21 Q Was lower?

22 A Do you have -- does the pressure infor-
23 mation that you've reviewed give you any indication as to
24 whether or not wells are in fact draining 160 acres in this
25 area?

1 A The pressure data indicates that they
2 are draining 160 acres.

3 Q Would you be able to make the pressure
4 information on the No. 16 Well available?

5 A As far as I know, yes, sir.

6 Q Okay.

7 MR. CARR: And I'll talk to
8 you, Mr. Lund, about that.

9 MR. LUND: Be happy to cooper-
10 ate.

11 MR. CARR: That's all I have.

12 MR. STOGNER: Thank you, Mr.
13 Carr.

14 Mr. Pearce?

15 MR. PEARCE: Nothing, Mr. Exa-
16 miner.

17

18 CROSS EXAMINATION

19 BY MR. STOGNER:

20 Q Ms. Lough, when -- when this well -- I
21 mean when this pool was first formed, I guess back in 1986,
22 how many of these wells were in existence, as shown on the
23 map?

24 A Excuse me, could you --

25 Q Back in 1986 when the pool was first

1 formed, --

2 A Okay.

3 Q -- how many of these wells that you show
4 on your map today were in existence?

5 A Okay. Within the -- within the North-
6 east Ojitos Pool?

7	Q	Yes.
---	---	------

8 A Okay, Ten wells were in existence within
9 the original pool boundary at that time. That would be all
10 of the wells with the exception of the No. 24.

11 Q All of the wells except the Number 24.
12 So all the other wells were grandfathered in or they were
13 in existence at the time this order was assigned.

14 A That's correct.

15 MR. STOGNER: I have no fur-
16 ther questions of this witness and she may be excused.

17 Do you have any other witnes-
18 ses, Mr. Lund?

19 MR. LUND: We do not.

20 MR. STOGNER: We are ready for
21 closing statements, I would assume?

22 Mr. Pearce, you may first.
23 Mr. Carr, you may go second, and Mr. Lund, you may follow
24 up.

25 MR. PEARCE: Thank you, Mr.

1 Examiner. On behalf of Mobil Producing Texas and New Mex-
2 ico, Inc., Mobil owns an interest in the well in the added
3 area to the northwest of the original pool boundary, the 16
4 -- the Jicarilla 16-B, B-16 Well. Mobil has reviewed the
5 data which Amoco has presented in this hearing and concurs
6 in the conclusion that Amoco has reached, that to develop
7 this pool on spacing larger than 160 acres threatens to de-
8 crease the ultimate recovery of reserves from the pool and
9 also agrees that to develop the pool on spacing closer than
10 160 -- smaller than 160 acres, threatens to incur waste by
11 the drilling of unnecessary wells.

12 Mobil therefore concurs in the
13 recommendation that has Amoco has made to you and requests
14 that the Division enter its order affirming 160-acre spac-
15 ing in the Northeast Ojito Gallup-Dakota Oil Pool.

16 Thank you.

17 MR. STOGNER: Thank you. Mr.
18 Carr?

19 MR. CARR: I don't have a
20 closing, Mr. Stogner.

21 MR. STOGNER: Mr. Lund?

22 MR. LUND: I would simply echo
23 Mr. Pearce's statement and would ask for the rules to be
24 made permanent, and we believe that the elements in the
25 statute on spacing, which is 70-2-17B have been established

1 and it's certainly inappropriate to develop on smaller
2 spacing.

3 Thank you.

4 MR. STOGNER: If there is no-
5 thing further in Case 8822 it will be taken under advise-
6 ment.

7
8 (Hearing concluded.)
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25