

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

21 & 22 August 1986

27 August 1986

COMMISSION HEARING

VOLUME IV

IN THE MATTER OF:

Application of Jerome P. McHugh and
Associates for an amendment to the
special rules and regulations of the
Gavilan-Mancos Oil Pool...

CASE
8946

and

Application of Benson-Montin-Greer
Drilling Corporation for the amend-
ment to the special rules and regula-
tions of the West Puerto Chiquito-
Mancos Pool ...

CASE
8950

BEFORE: Richard L. Stamets, Chairman
Ed L. Kelley, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation
Division:

Jeff Taylor
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

A P P E A R A N C E S

1		
2	<u>For Jerome P. McHugh</u>	<u>For Benson-Montin-Greer</u>
3	W. Thomas Kellahin	William F. Carr
	Attorney at Law	Attorney at Law
4	KELLAHIN & KELLAHIN	CAMPBELL & BLACK P.A.
	P. O. Box 2265	P. O. Box 2208
5	Santa Fe, New Mexico 87501	Santa Fe, New Mexico 87501
6	<u>For Mobil Producing:</u>	<u>For Dugan Production:</u>
7	W. Perry Pearce	Robert G. Stovall
	Attorney at Law	Attorney at Law
8	MONTGOMERY & ANDREWS	Dugan Production Company
	P. O. Box 2307	P. O. Box 208
9	Santa Fe, New Mexico 87501	Farmington, New Mexico 87499
10	<u>For Koch Exploration</u>	<u>For Koch Exploration</u>
11	Ernest L. Padilla	Robert D. Buettner
	Attorney at Law	Attorney at Law
12	PADILLA & SNYDER	Koch Exploration Company
	P. O. Box 2523	P. O. Box 2256
13	Santa Fe, New Mexico 87501	Wichita, Kansas 67201
14	<u>For Mallon Oil, Mesa Grande,</u>	<u>For Meridian Oil</u>
	<u>and American Penn</u>	
15		
16	Owen M. Lopez	Paul Cooter
	Attorney at Law	Attorney at Law
17	HINKLE LAW FIRM	RODEY LAW FIRM
	P. O. Box 2068	P. O. Box 1357
18	Santa Fe, New Mexico 87501	Santa Fe, New Mexico 87504
19	<u>For Amoco Production</u>	<u>For Hooper, Kimball and</u> <u>Williams</u>
20	Kent Lund	Greg Owens
	Attorney at Law	Tulsa, Oklahoma
21	Amoco Production Company	
	P. O. Box 800	
22	Denver, Colorado 80201	
23		
24		
25		

1

2

I N D E X

3

4

ALBERT R. GREER

5

Direct Examination by Mr. Carr 8

6

Cross Examination by Mr. Stamets 80

7

8

JOHN ROE

9

Direct Examination by Mr. Kellahin 81

10

Cross Examination by Mr. Stamets 98

11

12

STATEMENT BY MR. LOPEZ 101

13

STATEMENT BY MR. CARR 101

14

STATEMENT BY MR. PADILLA 102

15

STATEMENT BY MR. STAMETS 103

16

STATEMENT BY MR. PADILLA 104

17

STATEMENT BY MR. KELLAHIN 104

18

STATEMENT BY MR. PADILLA 104

19

STATEMENT BY MR. STAMETS 104

20

21

Cross Examination by Mr. Padilla 105

22

23

GREGORY B. HUENI

24

Direct Examination by Mr. Lopez 115

25

Cross Examination by Mr. Carr 154

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X CONT'D

ALBERT R. GREER

Redirect Examination by Mr. Carr 157

GREGORY B. HUENI

Redirect Examination by Mr. Lopez 169

STATEMENT BY MR. LOPEZ 171

STATEMENT BY MR. PADILLA 179

STATEMENT BY MR. PEARCE 183

STATEMENT BY MR. KELLAHIN 191

STATEMENT BY MR. CARR 197

DECISION AND RULING BY MR. STAMETS 202

E X H I B I T S

BMG Exhibit Six, Booklet 14

BMG Exhibit Seven Booklet 45

BMG Exhibit Nine, Curve 61

McHugh Exhibit Three, Tabulation 82

McHugh Exhibit Four, Graph 88

McHugh Exhibit Five, Graph 92

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X CONT'D

M-MGR Exhibit Twelve, Calculation	136
M-MGR Exhibi Thirteen, SPE Paper	140
M-MGR Exhibit Fourteen, Data	151
M-MGR Exhibit Fifteen, Letter	169
M-MGR Exhibit Sixteen, Letter	169

1
2 THEREAFTER at the hour of 8:25 o'clock a. m. on the 27th day
3 of August, 1986, the hearing was again called to order in
4 Committee Room 339, State Capitol Building, Santa Fe, New
5 Mexico, before Chairman Richard L. Stamets and Commissioner
6 Ed Kelley, at which time the following proceedings were had,
7 to-wit:

8
9 MR. STAMETS: The hearing will
10 come to order.

11 I tried to contact all of the
12 attorneys yesterday and advise them of the plan for today
13 but just to reiterate that, we will finish this case today.

14 We are going to allocate three
15 hours for the pros, those who are in favor of the applica-
16 tions, which they may use in any way they see fit, putting
17 on direct testimony or cross examination.

18 We'll allow three hours for the
19 opponents, which they may use as they see fit.

20 We're going to start out this
21 morning with the pros and let them do their thing. This
22 will also, then, provide for some slippage in case the Com-
23 mission wishes to allow some additional time for both sides.

24 Also we anticipate not more
25 than fifteen minutes a side for closing arguments, unless

1 either side chooses to use some of their three hours for
2 closing arguments instead of either direct testimony or
3 cross examination.

4 Are there any questions?

5 MR. LOPEZ: Well, Mr. Stamets,
6 maybe just an observation.

7 I realize this is the way you
8 want to do this, but it was suggested that perhaps a fair
9 allocation of time would have been, since there seems to be
10 three different positions, one which the McHugh-Greer camp
11 is promoting, the one that the Mallon-Mesa Grande camp is
12 promoting, and the one that the Mobil camp is promoting,
13 which takes in three different spectrums on the scale, and
14 therefore two hours and two hours and two hours would be
15 more appropriate.

16 But knowing that yesterday you
17 set the rules to begin with, we can live with them.

18 MR. STAMETS: Thank you, we
19 appreciate that.

20 With that, then, we'll begin
21 this morning with either Mr. Kellahin or Mr. Carrs.

22 MR. CARR: Mr. Stamets, it's my
23 understanding that we may use our three hours anyway we
24 choose and in any order that we choose.

25 MR. STAMETS: Correct.

1 MR. CARR: So initially we will
2 call Albert R. Greer for rebuttal testimony.

3 I would request that the record
4 reflect that Mr. Greer has previously been sworn and remains
5 under oath and that he has been qualified as an expert
6 witness in the field of petroleum engineering.

7
8 ALBERT R. GREER,
9 being recalled as a witness and having been previously sworn
10 and remaining under oath, testified as follows, to-wit:

11

12 REDIRECT EXAMINATION

13 BY MR. CARR:

14 Q Mr. Greer, you were present last Friday
15 and heard the testimony of Mr. Hueni, did you not?

16 A Yes, sir.

17 Q Do you agree with the interpretation of
18 the Mancos formation in the subject area as presented by Mr.
19 Hueni?

20 A No, sir, I do not.

21 Q Could you briefly summarize the interpre-
22 tation presented by Mr. Hueni at that time?

23 A Mr. Hueni made a number of mistakes, Mr.
24 Chairman, that led to his mis-interpretations and to begin
25 with, he had the wrong bubble point and from that worked up

1 a projected performance of the reservoir and came up with
2 the -- the conclusion that the reservoir was performing as a
3 solution gas drive reservoir would insofar as the pressures
4 were concerned but his -- the gas/oil ratios of the pool
5 were less than what he would have calculated and accordingly
6 there was something strange going on.

7 And so he, having basically the wrong in-
8 formation to start with, he arrived at basically wrong in-
9 terpretations.

10 In the course of this he found some ano-
11 malies in analyzing the behavior of the reservoir and -- and
12 he took these anomalies as supporting his basic premise and
13 he felt all along then that he was building on his case and
14 that -- that the wrong interpretations, the wrong informa-
15 tion, then, resulted in the wrong conclusions.

16 Q Now, Mr. Greer, what is the significance,
17 actually, of using the wrong bubble point?

18 What impact does this have on the data?

19 A It has a very significant impact in that
20 it shows the difference in the calculated gas/oil ratio and
21 the observed performance of the pool to be a significantly
22 different amount than it really is, and that then makes him
23 feel that he has to -- to reach down deeper to find some
24 kinds of strange behavior to explain this.

25 Q What was the basic information that Mr.

1 Hueni was relying on in calculating what the bubble point
2 was?

3 A He makes reference to some bubble point
4 -- some samples and reservoir fluid samples. He concludes
5 that they were not accurate and so then he takes some separ-
6 ator samples and estimates the bubble point from that, a
7 very inaccurate, if I might say, way of determining the bub-
8 ble point, particularly in this stratified reservoir in
9 which there are free gas stringers and can contaminate the
10 samples such that a separator sample can -- may not, and
11 probably does not represent the fluids which existed and
12 would give that kind of a bubble point.

13 Q What kind of information or samples did
14 you use in determining what the bubble point should be in
15 this reservoir?

16 A Mr. Chairman, we went to great lengths to
17 -- to get very accurate reservoir samples in order to deter-
18 mine the bubble point and we obtained one sample high on the
19 structure, we determined from another one low on the struc-
20 ture, bubble points that checked within just a few pounds
21 of each others; no question that we had accurate bubble
22 point information.

23 Q And when were these samples actually
24 taken properly?

25 A One, I believe, was in 1962, and then an-

1 other one a couple of years later; three years later, maybe.

2 Q Will you review these samples and then
3 your calculations with the Commission as part of your testi-
4 mony this morning?

5 A Yes, sir, I'll review in detail how we
6 determined the true bubble point pressure and how Mr. Hueni
7 made his mistakes.

8 Q Now, Mr. Greer, did you also hear Mr.
9 Hueni's testimony concerning oil and gas segregation in the
10 reservoir?

11 A Yes, sir.

12 Q And have you reviewed his presentation?

13 A Yes, sir.

14 Q In your opinion was the presentation
15 based on accurate information?

16 A No, sir.

17 Q And how so?

18 A Well, he used, as I mentioned a minute
19 ago, the fact that the -- the gas/oil ratio measured in the
20 pool was substantially less than what he would calculate for
21 a solution gas drive reservoir. So we felt like there had
22 to be some other strange reason for this. He found some
23 anomalies in some -- the production behavior of some wells
24 that seemed to lend credence to his supposition, and we just
25 have to recognize, Mr. Chairman, that Mr. Hueni just did not

1 have time to make the study necessary to understand this re-
2 servoir.

3 So he found some anomalies. He, without
4 checking the anomalies to see if they really, truly existed,
5 he just accepted them, made his determination that, yes,
6 there is something strange going on, and so he just reaches
7 down into the depths of the mysteries of these underground
8 rocks and comes up with a bizarre interpretation that best
9 can be described only as -- as outrageous.

10 Q Now, Mr. Greer, will you review this pre-
11 sentation in detail as part of your case today?

12 A Yes, sir, I'll go every point -- over
13 every point he discussed.

14 Q Now, Mr. Greer, as part of his case Mr.
15 Hueni discounted the effect of the reliability of the inter-
16 ference test information that you've obtained.

17 A Yes, sir.

18 Q In your opinion was his approach to this
19 test or this type of testing accurate and appropriate?

20 A No, sir, Mr. Chairman, it's pretty clear
21 that -- that Mr. Hueni did not understand the type of inter-
22 ference testing we conducted.

23 We will explain the mistakes he made in
24 those respects in detail.

25 Q Were you also present for the testimony

1 presented by Mobil concerning the core data they have ob-
2 tained in the two porosity systems which they assert is
3 working in the reservoir?

4 A Yes, sir.

5 Q And in your opinion was this an accurate
6 interpretation of the reservoir?

7 A Well, it doesn't -- it doesn't fit the
8 general interpretations, Mr. Chairman, of -- of what geolo-
9 gists and engineers now consider a naturally fractured
10 reservoir. He has eliminated the natural fractures in his
11 calculations, apparently, and is dealing only with what must
12 be induced fractures or fractures great distances apart, and
13 as a consequence, then, by his calculations he feels that
14 it's necessary to pull the pressure down in the fractures
15 in order for the matrix, if there is any matrix, which I
16 seriously doubt, to produce.

17 Now if the fractures are closer together,
18 as they are normally in a fractured reservoir, then the mat-
19 rix makes itself known, so to speak, early in the life of
20 the reservoir. And so in the instance of Gavilan, if there
21 is -- if there is matrix porosity and it's fractured, we
22 know it's fractured, then the matrix is contributing now
23 just as much as it ever can in respect to the pressures that
24 exist.

25 And so, when we interpret the reservoir

1 behaviors now in terms of pressure decline versus cumulative
2 production, we're seeing whatever is there in the fractures,
3 in the matrix, whatever, and the net of this, Mr. Chairman,
4 is that wherever the oil is coming from, the reservoir is in
5 trouble.

6 Q Now, Mr. Greer, as time permits, will you
7 have technical testimony concerning the possibility of mat-
8 rix contribution in this reservoir?

9 A Yes, sir, if we have time we'll go into
10 that.

11 Q Now, have you prepared certain exhibits
12 for presentation here today?

13 A Yes, sir.

14 Q At this time if we could pass out Exhi-
15 bit Number Six, please.

16 Now, Mr. Greer, referring to Benson-
17 Montin-Greer Exhibit Number Six, before we go into the par-
18 ticular sections of this exhibit, could you generally char-
19 acterize the analysis made of reservoir by Mr. Hueni?

20 A Yes, sir. This Exhibit Number Six will
21 cover just a part of Mr. Hueni's testimony and it sets out
22 how Mr. Hueni came about making his mistakes and -- and
23 they're understandable, Mr. Chairman. I don't want to imply
24 in any way that I think Mr. Hueni is not capable; he's ob-
25 viously a capable, talented engineer, but he made mistakes;

1 mistakes that I very well could have made myself thirty
2 years ago, before my hair got so gray.

3 They just come about and once you get
4 started down a line and you have laid before you a lot of
5 information, you don't have much time to work with it, you
6 make a quick analysis of it. You jump, and that's the only
7 word that can explain it, you jump to a conclusion, and then
8 unconsciously as you develop information you accept the
9 things that embellish your initial conclusion and you tend
10 to kind of set aside things that might not contradict it,
11 and it's not a deliberate thing. It's just a natural way
12 that we humans work as we work on a problem.

13 Q Now, initially let's look at the calcu-
14 lated GOR and before we get to Tab A in Exhibit Number Six,
15 there are certain documents.

16 I direct your attention first to the
17 first blue page after the title page and ask you to identify
18 that and review it, please.

19 A This is a copy of the gas/oil ratio and
20 production history from Mr. Hueni's exhibit and which shows
21 a very flat gas/oil ratio curve for the pool during the
22 years 1985 and '86, when in fact the gas/oil ratio is
23 declining rather fast at the end of this period.

24 Q And the notations on that are your hand-
25 writing --

1 A Yeah, my handwriting where I note the
2 (unclear).

3 Q All right, would you go to the next page,
4 please, and identify that?

5 A The next page shows the detailed calcula
6 tions which our engineer made in arriving at the -- what
7 might be a representative gas/oil ratio for the -- for the
8 reservoir. In order to do that it was necessary to deduct
9 the two wells which we feel would have, if their information
10 is included, the No. 1 Gavilan and Gavilan Howard, because
11 of communication from the Dakota on one and just where the
12 gas came from on the No. 1 Gavilan, we don't know, but
13 they're wells whose information needs to be deleted from the
14 pool total in order to arrive at some kind of a representa-
15 tion of what the gas/oil ratio is really doing in the oil
16 part of the reservoir.

17 Q Now if you go to the next document in
18 this exhibit, which is a graph, please identify that and
19 just briefly review it.

20 A All right, this is a copy out of Section
21 D of McHugh's Exhibit Number Three in this case, and -- and
22 the figures which our engineer came up with checks exactly
23 with -- with McHugh's work in this calculated gas/oil ratio,
24 and this shows the rapidly rising gas/oil ratio in the pool
25 and more accurately depicts what's going on than what Mr.

1 Hueni was using.

2 Q Now this data goes through what period of
3 time, Mr. Greer?

4 A I believe it ends about May of this year.

5 Q And that's what Mr. Hueni's exhibit also
6 depicts?

7 A I believe that's right.

8 Q All right, now let's go to the pink sheet
9 and I'd ask you to identify that and I think it's important
10 to note that you have penciled certain notations on this ex-
11 hibit, is that correct?

12 A Yes, sir. Basically this is one of Mr.
13 Hueni's exhibits, pages out of his exhibit. There are some
14 pencil notations on there showing, first starting on the
15 lefthand side, the vertical penciled line, between the two
16 vertical penciled lines, says it 1,750,000 barrels produced
17 from the bubble point, and I believe that the bubble point
18 is kind of hard to read in this scales, but it appears from
19 the way the pressure dropped rather steeply at first, that
20 Mr. Hueni, I believe, has assumed that that is the bubble
21 point, that first solid dot on the -- on the pressure line.

22 From there over to the 1,950,000 barrel
23 point there's then a million and three-quarters barrels of
24 oil produced during that period of time.

25 You can see how Mr. Hueni's pressures fit

1 the observed pressures, and it's my understanding that he
2 used about 100,000,000 barrels of oil in place to calculate
3 this.

4 When I used 100,000,000 barrels of oil in
5 place, the same relative permeability ratio, and PVT data
6 from the Loddy or the Canada Ojitos Unit, either one,
7 they're very -- fairly close together, I get a much lower
8 calculated gas/oil ratio.

9 Now, the difference, the difference may
10 be, and it's a significant difference, Mr. Chairman, it's
11 halfway between Mr. Hueni's projected point and his actual
12 gas/oil ratio, and it's this big difference that leads Mr.
13 Hueni to the conclusion that there's something strange going
14 on in the reservoir.

15 So if the gas/oil ratio, the projected
16 gas/oil ratio were actually lower than he has it, then he
17 really doesn't have a strange reservoir, or a strange situa-
18 tion to deal with.

19 Now, the actual gas/oil ratio is probably
20 -- would be higher than is shown here for the reason that
21 part of the oil is still under-saturated, new wells are com-
22 ing on line, and so although this -- this graph reflects the
23 reservoir performance of the pool as a whole, it's really
24 distorted in that as new wells come on, if they come in with
25 a -- or they're drilled in an area where one of these strat-

1 ified sections has gas in it, it will kick the gas/oil ratio
2 up, a well that comes in with the -- fairly close to the so-
3 lution gas/oil ratio below the bubble point will distort it
4 down.

5 So it's very difficult, really, to say
6 from a curve like this that the performance is or is not
7 following what would be expected for a solution gas drive
8 reservoir of this type.

9 Now, as indicated, the difference between
10 the red dot, Mr. Hueni's red dot and my blue dot, might be
11 because he's used different PVT data than I did but I just
12 can't think that that's the difference and we'll get to that
13 in a minute where I compare it.

14 The Canada Ojitos PVT data and the Loddy,
15 the difference I would think there is about the same as I
16 would expect from what Mr. Hueni's used, and so I conclude
17 that in addition to that, that the gas/oil ratio line is
18 probably not very accurately calculated and the reason I say
19 that is Mr. Hueni notes that it's calculated by the Horner
20 method and there's nothing wrong with the Horner method if
21 you use it correctly for this situation.

22 Here, where we're dealing with rapidly
23 rising changes in the relative permeability ratios, for
24 small differences in oil or total liquid saturation, re-
25 quires a more accurate treatment of this problem than you

1 ordinarily can get with the Horner method if you use big
2 steps.

3 With the Horner method you need to use
4 small steps to get it. Even the way I calculate it, I would
5 use at the most that big a step the first time, and when I'm
6 talking about that big a step, I'm talking about where the
7 gas/oil ratio point breaks from level to its first increas-
8 ing point at about 1,250,000 barrels, and the problem here
9 is the compounding of problems.

10 First he uses the Horner method. Second
11 he uses a computer, so then he had compounded the inherent
12 inaccuracies of the Horner method with the errors that the
13 computer is going to bring in and the errors that the com-
14 puter brings in is it averages arithmetically between the
15 two points and -- and the rising ratio of permeabilities is
16 on a logarithmic scale. The end result, then -- well, then
17 another thing. He uses too few points to define for the
18 computer the relative permeability ratio. He shows on his
19 information how -- the information he gave the computer.

20 What that means is that if at some parti-
21 cular point the computer is seeking its trial and error
22 method of reaching a point, if that's close to the points he
23 put into the computer, then it's fairly accurate, but if
24 it's in between, then the computer picks up a higher KgKo
25 ratio than really exists, and so that tends to give a higher

1 gas/oil ratio. If the first point is off, then the amount
2 of gas taken from the reservoir is off, the liquids left in
3 the reservoir is off, this is all in the calculation, and
4 then the end result is too high a gas/oil ratio, and so when
5 you compound all of these problems, I'm not surprised that
6 the gas/oil ratio calculated here is higher than it would --
7 should be.

8 Now, if you take into account the prob-
9 ability that the bubble point is much lower than what Mr.
10 Hueni used, then the shift of the curves, of the computed
11 curves, or the field performance curves, are to the left and
12 John Roe brought this out in his testimony in pointing out
13 the first time that he looked at the solution gas drive re-
14 covery, that, yes, there's a problem here and that is one of
15 the probable solutions in addition to the fact that the
16 gas/oil ratio is not fairly represented by taking the
17 average of everything.

18 So, the net of it is, then, that I need
19 to leave it clear to the Commission that there is a option
20 to Mr. Hueni's interpretation. The option is that the
21 reservoir is performing like you expect it to.

22 Q Now, Mr. Greer, you've just identified
23 the document behind Tab A and then moved right into the doc-
24 ument behind Tab B in this exhibit.

25 A This is -- under Tab A is just the reser-

1 voir fluid study of the Loddy and which I used to make a
2 comparison with Canada Ojitos recovery.

3 Q Okay. Now going to Tab B, would you just
4 identify the first document behind that tab?

5 A That's the relative permeability ratio
6 curve which we've discussed earlier in this hearing.

7 Q And now go to the next sheet, please.

8 A The next one is the expanded curve, the
9 same information as is shown by the dashed line on the blue
10 sheet expanded to a wider scale and brought down to .001
11 relative permeability ratio, and the reason I've done that
12 is to have a more defined line for comparing the difference
13 in calculated performances with the Loddy PVT data and the
14 Canada Ojitos Unit PVT data.

15 Q All right, now please go to the yellow or
16 orange sheet that follows that and identify that and review
17 it, please.

18 A This next sheet shows the comparison of
19 the projected performance curves, using the Canada Ojitos
20 data and the Loddy data, and points out that there's really
21 not a lot of difference early in the life of the pool. The
22 ultimate recovery is about the same. There'll be a higher
23 gas/oil ratio, but the point is it's not significantly
24 greater as would appear from Mr. Hueni's calculations and
25 so, although I've not calculated the performance using Mr.

1 Hueni's PVT data, I just have the feeling that there's no
2 way that there could be that much difference if they're pro-
3 perly calculated.

4 Q Now, moving from that data and going to
5 the information behind Tab C, would you review that informa-
6 tion and indicate how it relates to the calculation of rela-
7 tive permeability?

8 A One way, Mr. Chairman, to tell whether
9 this reservoir is performing in one respect as a solution
10 gas drive reservoir, which I've not had an opportunity to --
11 to recognize much gravity drainage, is to take a well that
12 produces -- it produced a significant amount of oil, has a
13 rather large drop in pressure so that we have the maximum
14 range of pressures and hopefully, the maximum change in
15 liquid saturation in that area, and from that, the producing
16 information from a well such as that, we can then calculate
17 the actual relative permeability ratio as it applies to that
18 well, and that's what I've done here.

19 The first sheet show show oil to gas vis-
20 cosity ratio from the Loddy data, plotted on the next graph,
21 the white sheet. Then on the gold colored sheet we show
22 what the liquid saturation would be at any particular reser-
23 voir pressure depending upon the bubble point.

24 The first horizontal scale shows for a
25 1500 pound bubble point; the second for a 1550 pound bubble

1 point; the bottom one for a 1600 pound bubble point, and I
2 used that information to go to that set out under Tab D.

3 Q Okay, will you now identify that and then
4 review what that calculation shows?

5 A This shows the calculated relative per-
6 meability ratio taken from McHugh Native Son No. 2 Well for
7 the four periods, 1 December '85, February, April, and June
8 '86.

9 We take into account the fact, Mr. Chair-
10 man, that there is about a 300 foot difference in sections
11 from the top possibly producing zone to the bottom one,
12 which is roughly 100 pounds differences in the upper to the
13 lower part of the pay zones and we don't know which, if any,
14 is contributing -- or which of the zones are contributing
15 the most of the production, but there just in this one well
16 alone and the fact that we have the different zones, makes
17 it impossible to tell what the liquid saturation would be in
18 any one of the zones for a different pressure, and so what
19 I've done is to cover that range and we plot that range.
20 And the range is shown -- in the middle of the sheet is
21 shown the relative permeability ratio for those producing
22 conditions. The bottom three horizontal lines show the
23 liquid saturation depending -- for each of the bubble point
24 conditions. At the bottom of the page is shown the simple
25 formula by which that's calculated.

1 Q Now go to the graph on the next page and
2 discuss that.

3 A The next page is the same as the early
4 one we looked at of the expanded graph, except I've left out
5 the lower straight line which covers a lower liquid satura-
6 tion, and it's on this graph, then, that I plot the data we
7 just calculated, and that's shown on the pink graph.

8 On the pink graph we show for December
9 '85 that -- that the liquid saturation would be 100 percent
10 if the bubble point were 1500 pounds. The pink sheet is for
11 1500 pound bubble point pressure.

12 Then for February the range runs from
13 about 99 percent to 100 percent.

14 In April it runs from about 98.3 percent
15 to 100, and then in June, about 97.4 percent to about 99.5
16 percent.

17 And on the next page we see where the
18 range of data would fall if the bubble point were 1550
19 pounds.

20 And then on the yellow sheet we show what
21 the range of data would be for 1600 pound bubble point.

22 Q Now what do these three graphs actually
23 show?

24 A What these show, Mr. Chairman, is that
25 there is no reason to believe that insofar as this well is

1 concerned, and I grant you it's very difficult to find char-
2 acteristic wells which represent the average of the pool to
3 be expecteds, but this well has produced a significant
4 amount of oil, has the biggest drop in pressure, and is the
5 one that I would think would be most apt to represent condi-
6 tions, and if the relative permeability ratio for this frac-
7 tured formation is as we think it is, if the bubble point is
8 in the range that I think it is, then there is nothing un-
9 usual about the way this reservoir is performing as far as
10 solution gas drive is concerned and there is no need, Mr.
11 Chairman, to go to some strange behavior to explain why the
12 pressure and production data do not fit Mr. Hueni's curves.

13 Q Now, Mr. Greer, would you go to the docu-
14 ment contained behind Tab E in Exhibit Six and identify
15 this, please?

16 A Yes, sir. Mr. Hueni sets out here, this
17 is a sheet that -- out of his exhibit. The highlighted
18 language says that the remaining samples, and he's talking
19 now -- see, what happened, Mr. Chairman, Mr. Hueni was pro-
20 vided sample data on three wells, two were taken by the
21 McHugh people, one that was taken by our company in the
22 Canada Ojitos Unit. The two taken by McHugh were in the
23 Gavilan Pool.

24 The information on one of the wells was
25 obviously not good and on the Loddy there was a question

1 about --about that information, and I understand his con-
2 cerns about that. I have concerns about the PVT data on the
3 Loddy. The McHugh people, when they first told us about the
4 samples that they took, said that they realized that he'd
5 get some information on the reservoir, they had no bottom
6 hole samples over there, they thought they would run out and
7 the language they used, as I recall, was we would get some
8 quick and dirty samples, and that's what they got. One of
9 them was just no good at all; the other one appears to be
10 somewhere in the ballpark, but I can understand here Mr.
11 Hueni's reservations about that -- about the Loddy samples .

12 Then he says here, and we need to read
13 this, "The remaining samples", now he's talking about the
14 Loddy and the Canada Ojitos samples, he says, "they were
15 both taken after significant production from their respec-
16 tive pools and it could not be determined if the lab repor-
17 ted bubble point pressure reflected true reservoir condi-
18 tions or some gas evolution had occurred prior to sampling."
19 Now that was true about the Loddy. We had no information
20 about that, but it is untrue about the Canada Ojitos Unit
21 sample, and you see, Mr. Hueni was in such a short time,
22 such a short time to analyze this that he did not come to us
23 and ask us about our sampling procedure, was it a good,
24 valid sample, did we have any other samples, but he was at
25 the point that he was really desperate to determine, well,

1 what really is the bubble point, and so he goes then to
2 separator samples, and he had to be desperate to do this
3 because, Mr. Chairman, the -- to determine a bubble point
4 from separator samples, you're just reaching in the bottom
5 of the barrel for information. That's the last resort.

6 So it's unfortunate that he didn't have
7 the time and no one who was helping him realized that they
8 should have advised him to go check with Benson-Montin-
9 Greer, they very carefully took the samples; they got some
10 good samples. He didn't know that.

11 So he uses poor information to arrive at
12 the bubble point. You need to look at how bad, how bad the
13 information can be to use separator samples to estimate the
14 bubble point.

15 Q Okay, now doing this, would you go to the
16 next exhibit in Section E and identify that? I believe this
17 is an exhibit we've seen before.

18 A Yes, sir, this is an exhibit we've seen
19 before and about the center of it is a cross section identi-
20 fied from the Mallon Howard 1-A east to the Canada Ojitos
21 Unit E-6 and down to the J-6, and the main thing I want to
22 point out here is that the J-6 is just about the lowest well
23 in the trough on the east side of the Gavilan nose and the
24 low part of the structure from Canada Ojitos Unit.

25 And why this is significant is because in

1 this stratified reservoir there's free gas, we know at least
2 in what we call the gray zone, and we'll look at that cross
3 section that next falls.

4 Q Okay, and that's the next exhibit in --
5 or document in Section E of Exhibit Six.

6 A Now, Mr. Chairman, we're talking about
7 the bubble point but we don't have much time and I need to
8 talk also about stratification, so if you'll bear with me
9 I'd like to jump to stratification now so we won't have to
10 come back to this exhibit.

11 The three main producing zones that we
12 have in West Puerto Chiquito and Gavilan are the A, B, and C
13 zones. The gray zone is one that kind of comes and goes and
14 in my view from what we've seen so far is just probably gas
15 productive.

16 These zones are stratified, Mr. Chairman,
17 and they may, as indicated in my initial testimony, be tied
18 together in a place or two by faults. There are not very
19 many faults in the pool. McHugh's structure map by Dick
20 Ellis is the only one that I remember seeing that showed any
21 -- any identifies faults. So in general, in general the --
22 when individual wells are produced, completed, they produce
23 as stratified zones.

24 We have on numerous occasions, Mr. Chair-
25 man, completed a well in the bottom zone, in the C zone, and

1 with that thick, nonproductive section between the brown and
2 the green zone, we have found separation. We've gone back
3 after packing wells and found that the zones are separated.

4 We've even found separation, Mr.
5 Chairman, between the A and the B zones where the
6 perforations were as close together as 20 or 30 feet. We
7 have, for instance, fraced the A and B zones together, put a
8 bridge plug between the two zones, produced the well for two
9 or three years, production rate ten or fifteen barrels a
10 day; drilled out the bridge plug and picked the production
11 rate up to 40 or 50 barrels a day. No question, Mr.
12 Chairman, the zones are stratified. There is no vertical
13 communication as Mr. Hueni has suggested.

14 Now, to talk about the bubble point, we
15 show here the perforations through small horizontal lines on
16 the inside of each of these logs.

17 Mallon has perforated the zones pretty
18 much from a gray zone down to the unidentified zones at the
19 bottom. The uncolored zones at the bottom are, the top is
20 the Sanostee, the bottom is the Niobrara, base of the
21 Niobrara silt.

22 Sometimes they produce very small amounts
23 of oil but very small.

24 When Mallon perforates most of their
25 section, in our offset well we feel like we're obligated to

1 perforate most of ours for legal if no other reasons.

2 But when we get farther off to the east
3 where we're not directly offset, we perforate the zones
4 which are reasonably thought to be productive, which is A,
5 B, and C zones, a little bit down in the Sanostee and the
6 basal Niobrara.

7 Now, when we completed the E-6, the cen-
8 ter well, we did not want additional gas there. We were
9 planning to use this as an interference test well. We
10 didn't want to perforate the gray zone. We realized Mallon
11 had perforated it but to protect our interest we would need
12 to have a well somewhere over there that would produce the
13 gas out of the gray zone.

14 We left that until we drilled the J-6,
15 the well on the right. We perforated the gray zone here
16 along with the other. This well then showed about 400,000
17 feet of free gas out of the -- out of the gray zone, and how
18 that -- and so now we looked at what would happen if we took
19 a separator sample on the J-6 to estimate the bubble point.
20 And I show that on the --

21 Q And that's the document in yellow behind
22 Tab E?

23 A Yes, sir, and this is one of the old,
24 twenty-five year old methods of correlating bottom hole sam-
25 ple data. They have more accurate information now but in

1 general we can see from this information how if, in taking a
2 separator sample, you have commingled with the oil some free
3 gas from one of these stratified zones, then --

4 Q Go to the -- go to the graph now behind
5 it and show -- review for the Commission what this shows
6 about the reliability of separator samples.

7 A The -- the -- we start on the lefthand
8 side of the graph and start with the green line. The green
9 line starts at a gas/oil ratio of about 500 cubic feet a
10 barrel, drops down vertically to the 40 or comes over hori-
11 zontally to about the 0.7 gas gravity line, drops down to
12 the approximately 40 degree oil line, goes over horizontally
13 to approximately the 150 degree reservoir temperature, and
14 you come up with 2000 pound bubble point. Now, this is ap-
15 proximately what we had in Canada Ojitos, about 480 cubic
16 feet a barrel and true bubble point's about 1520; this shows
17 it within, you know, 4-or-500 pounds, not too bad for a
18 rough guess.

19 But what would happen if we had a high
20 gas/oil ratio well, free gas mixed in the separator samples,
21 and the first sample we had on the J-6 would have been 5000
22 cubic feet a barrel. The chart doesn't go that high to fol-
23 low it over to the righthand side but we just go up to about
24 15-or-1600 cubic feet a barrel and what would it show.

25 Well, we follow the same path over to

1 0.7 gravity, down to the 40 gravity, over to the 150 degrees
2 and we find a bubble point of 5000 pounds.

3 Now, this is the problem that you have,
4 Mr. Chairman, in a stratified reservoir mixing oil from an
5 oil zone, gas from a gas zone, and trying to estimate a bub-
6 ble point. So Mr. Hueni used the most unreliable method
7 available to estimate the bubble point.

8 Q All right, would you now go to the log
9 section which is the next page behind Tab E?

10 What does this show?

11 A This shows what we found in a number of
12 wells cored in the basin, not in this area, but in the same
13 general section of the Mancos on the west side of the basin.
14 Cores were analyzed about fifteen years or so ago.

15 We found that we could -- that we had
16 very little reliable information we could get from cores,
17 but what we did find was -- well, mainly we found that in
18 their analysis and their recording of the samples that they
19 took out not only what might be oil in the -- in the effec-
20 tive hydrocarbon pore space, but they took out the kerogen
21 of the shale, just like oil shale that they have in Colorado
22 for -- that they run through the plants in order to get oil
23 out of the oil shale. In the core analysis process they
24 took out the kerogen, they took out the water hydration, and
25 so it's really difficult to determine from a core analysis

1 in this formation what, really what's going on.

2 But one thing we did find, one thing we
3 did find is that whether it's oil kerogen or whatever that
4 you took out of the shale, there isn't any of it when the
5 resistivity gets down around 15 ohmeters. Now this was for
6 -- and even as high as 30 ohmeters we'd have to go before we
7 find the significant amount of oil.

8 So we find in these zones, the
9 separations of the producing zones, these low resistivity
10 shales, and they just don't have any oil in them. If they
11 have any oil it's just by happenstance of a fault or a
12 fracture that's come down from above, and we note, for
13 instance, that Mobil in its core analysis didn't even
14 analyze these shales between the producing zones. This is
15 just some more of the evidence that shows that the zones are
16 stratified and not vertically connected.

17 Q Mr. Greer, what does this tell you about
18 the concept of one 600 foot producing interval?

19 A It's just impossible, Mr. Chairman,
20 there's no way it can beds.

21 Q Now, Mr. Greer, you talked about samples
22 that you had taken early in the life of the reservoir.
23 Would you go to the information contained behind exhibit or
24 Tab F in Exhibit Six, identify this, and then very briefly
25 summarize what this information is.

1 A This - this shows the sample that we
2 took, the bottom hole sample on the discovery well in the
3 West Puerto Chiquito Pool.

4 One of Mr. Hueni's statements was that
5 the samples had been taken after substantial amount of pro-
6 duction had been had from the pool and they couldn't tell
7 whether gas had evolved from the sample or not.

8 We show here the drilling history when
9 this well was spudded, the complete drilling report, some of
10 the core descriptions and over on page five of the green
11 sheets we had drilled this well with air and we found oil in
12 the C zone at -- on August the 10th, 1962.

13 Three days later we ran tubing and shut
14 the well in.

15 We blew the well for another day.

16 A total of about four days of production
17 was taken from that well before it was shut in. Well made
18 about 15 barrels a day and then we shut it in to determine a
19 -- get a bottom hole sample.

20 We put the well on production about two
21 months later in October and you see on page six of the green
22 sheet where it's capable of something like 15 barrels a day.

23 On the pink sheet following the green
24 sheets there's a bottom hole pressure survey for this well
25 we took at the time it was shut in.

1 The pressure build-up passed what -- we
2 did not know or have any idea at that time what the bubble
3 point pressure was. We got 1520 pounds, which it reached
4 that in about September the 4th. Then for another two or
5 three weeks the well was shut in to stabilize and at 1635
6 pounds, according to the dead weight test that we used at
7 that time for calibrating our logs.

8 We later changed the different dead
9 weight test to determine that probably that was closer to
10 1620 pounds or somewhere in that range, 1620 to 1635.

11 We then took a bottom hole sample that's
12 shown here on the yellow sheet following that and that bot-
13 tom hole sample shows on the fourth yellow sheet, the bubble
14 point pressure of 1524 pounds at 152 degrees Fahrenheit.
15 That we consider, Mr. Chairman, was a good sample.

16 Now, any engineer is a little concerned
17 about a bottom hole sample where the well productivity is
18 only 15 barrels a day and even though it was allowed to
19 build up slow, there -- you wonder just a little bit about
20 it, and so you like to have confirmation of it.

21 So we confirmed the bottom hole sample
22 that was good by taking another one and the next --

23 Q Is that information behind Tab G?

24 A Yes, sir, behind Tab G. What we show
25 here on Tab G when this particular well was drilled, the L-

1 11 we called it at that time -- or 12-11 at that time and
2 now the L-11 -- and the well was completed as we show here
3 on the third blue sheet in November of 1964.

4 The well was produced then for several
5 months at about 500 barrels a day. We got -- we fraced the
6 well with oil but I think we recovered probably in that
7 length of time, oh, maybe 100,000 barrels.

8 We know that we had an uncontaminated
9 reservoir to deal with, but in order to be certain that we
10 could get a good bottom hole sample from this well, we
11 pulled the tubing up to 2000 feet, bottom of the tubing 2000
12 feet from the surface, and we did that so that there's no
13 way that the crew in swabbing oil from the well could pull
14 oil at a faster rate, would pull the bottom hole pressure
15 down faster than -- than -- so fast and to so low a point
16 that it would cause gas to evolve from the -- from the sam-
17 ple.

18 And you can see that we conditioned the
19 well for some ten days to two weeks swabbing at a rate of --
20 at the maximum rate of 4 barrels an hour, which would be
21 about 100 barrels a day. The well had a PI of about 2.25 as
22 shown on the pink sheet following at the bottom of the page,
23 under those conditions the drawdown pressure was approxi-
24 mately 45 pounds and the static bottom hole pressure of
25 about 1670, so the minimum, the minimum bottom hole pres-

1 sure, Mr. Chairman, that could have existed at the time that
2 we were conditioning this well and conditioning very care-
3 fully, Mr. Chairman, we were very careful in determining and
4 making sure that we got a good bottom hole sample. And the
5 closest that the pressure got to the presumed bubble point
6 was 100 pounds.

7 That sample then was taken on July 1st,
8 1965, and on page, the third of the yellow pages, we see
9 where CORE Lab came up with a bubble point of 1519 pounds at
10 162 degrees Fahrenheit. I don't know just how accurate
11 those temperatures were that we took in those days, but
12 they're probably somewhere in the ballpark.

13 So now we want to estimate or make an es-
14 timate, what would be the logical pressure for Gavilan, but
15 just before we look at that, we have a confirmation, a con-
16 firmation that the oil definitely was undersaturated and
17 that's shown by the second from the last sheet under this
18 section, the white --

19 Q The white graph.

20 A The white graph. The white graph is a
21 plot of initial pressures in the Canada Ojitos Unit versus
22 cumulated production, and you'll note on the upper lefthand
23 side of the graph that the initial pressure decline was at a
24 rate of about 2650 barrels per pound.

25 Then at about 150 barrels it increased to

1 3000 barrels a pound, and it continued to increase and you
2 can see at about a million barrels of production that the --
3 this coefficient had increased to 7000 barrels per pound.
4 Now why did that increase, Mr. Chairman? It increased be-
5 cause the -- in this -- in this reservoir which is on an in-
6 cline, the oil was undersaturated probably through most of
7 the oil column. As oil is produced and the pressure drops,
8 then the bubble point in a sense moves down the structure.
9 Where it was initially 1600 pounds at one point in the
10 structure you produce oil. The pressure drops. It drops
11 down to 1500 pounds. It's now down to the bubble point.
12 All the oil remaining above that part of the reservoir in
13 the structure is now saturated. Being saturated it has a
14 higher compressibility. Having a higher compressibility it
15 adds that force to the overall reservoir system compres-
16 sibility and then that allows more oil to be recovered per
17 pound of pressure drop.

18 This confirms, Mr. Chairman, the fact
19 that -- that the oil was understaturated.

20 Now this reservoir was such a high
21 transmissibility, pressures equalizing over miles within
22 just a few days, there's no question that this is what hap-
23 pened and that the oil was understaturated at about the bub-
24 ble point pressure.

25 Q Now go to the last sheet in --

1 A The last sheet is a green sheet. We now
2 estimate the bubble point for Gavilan from these bubble
3 point pressures that we have in Canada Ojitos.

4 The upper line shows from the K-13 we
5 would estimate 1524 pounds plus 54 pounds where we would es-
6 timate 1578 pounds for Gavilan.

7 From the L-11 we would have 1519 pounds
8 plus 24 pounds would be 1543.

9 We get those differentials, Mr. Chairman,
10 from CORE Lab's analysis of the oil as to how the bubble
11 point changes with temperatu.e, and you can see there that
12 we have a spread of about 30 or 40 pounds, 35 pounds.

13 That's a reasonable range, Mr. Chairman,
14 for the bubble point. We think that the temperature in Gav-
15 ilan is 170 degrees. That's what we're measuring now with
16 the bottom hole pressure equipment that we're using that re-
17 cords temperature simultaneously with pressures.

18 So this is what -- what I would estimate
19 as the range of the bubble point pressure and that checks
20 fairly well with what we saw earlier for bubble point versus
21 relative permeability in the Native Son No. 2.

22 A Do you believe you've used the most ac-
23 curate data available to you to determine what this -- the
24 reasonable range for the bubble point would be?

25 A Yes, sir.

1 Q Would you now go to Exhibit Number H, and
2 here, Mr. Greer, I'd like to now shift your testimony to the
3 question of the oil and gas segregation within the reser-
4 voir.

5 I'd first ask you, can you offer any ex-
6 planation for the anomalous situation that Mr. Hueni testi-
7 fied to last Friday?

8 A Yes, sir. Mr. Chairman, you have to
9 realize here, now Mr. -- Mr. Hueni made -- placed great sig-
10 nificance, great significance on the fact that the Native
11 Son No. 1, shown by the data on the yellow sheet, and the
12 Homestead Ranch No. 2, data shown on the blue sheet, that
13 these low gas/oil ratios, and I think he even mentioned 184
14 cubic feet a barrel or 180, on the Native Son 1, this is an
15 anomaly.

16 Here we have a reservoir that has, I
17 think, about 480 cubic feet per barrel (unclear) solution
18 gas. Mr. Hueni estimates a little higher, but whichever,
19 whichever is the case, here's an anomaly. Here's a well
20 shows much less than that.

21 Mr. Hueni has interpreted that as meaning
22 that as the well is produced, the pressure is drawn down in
23 the vicinity of the wellbore and back out along the well's
24 drainage radius, that as the pressure is pulled down the gas
25 evolves from solution; then rather than coming to the well-

1 bore along with the oil it migrates up, segregates and goes
2 up. The oil goes up the -- the oil goes down, the gas goes
3 up vertically but not laterally, and he says this supports
4 his contention that this is what's happening.

5 Now, again, Mr. Chairman, when you're
6 hair gets as gray as mine and you find an anomaly like this,
7 before you use that to support a bizarre theory of reservoir
8 performance, you look to see is the anomaly really an
9 anomaly. Is it really there?

10 One of the first things we look at, let's
11 look on the blue sheet and you see the gas/oil ratio 229
12 then zero then 372, then it comes down 371, 371, 371. What
13 does that mean? Well, that means that this is before now,
14 you see, this is before this well is hooked into the -- into
15 the gas line, so these gas/oil ratios are estimated, Mr.
16 Chairman, on a test that somebody's made in the field. We
17 don't know whether it's a pitot tube test or orifice well
18 test, we don't know what the separator pressure is, probably
19 about 100 pounds, and the 371, 372 might be pretty good.
20 The gas goes through the tester.

21 But if there's a 100 pound separator
22 ahead of the separator, then there's about 100 cubic feet a
23 barrel goes over to the stock tank through the air. And so
24 the true gas/oil ratio in this instance would probably have
25 been somewhere around 480 cubic feet a barrel, which is what

1 the PVT data from the Canada Ojitos Unit wells would sug-
2 gest.

3 Okay, we come down and it shows 210 in
4 this first month. Now that's the first month that the well
5 went into McHugh's gas system that goes into a system on
6 which I think there are three or four other wells, and so
7 there is the problem of allocating back to each well how
8 much gas came from each well, and so there is an opportunity
9 for -- for a mistake, just plain, old, human, ordinary er-
10 ror.

11 But the main thing, the main thing, and I
12 presume Mr. Hueni didn't know this, is that these two wells
13 are flowing wells. They're flowing wells. Now what does
14 that mean? That means that with a gas/oil ratio of 180
15 cubic feet a barrel, a gas/oil ratio of 210 cubic feet a
16 barrel, they can flow only if they've got bottom hole pres-
17 sures of 2000, 2500 pounds, and that's not available.

18 So what's the answer? Well, the answer
19 is that the gas/oil ratios, as shown here, are not accurate.
20 That's unfortunate. It's unfortunate that Mr. Hueni accepts
21 information that's inaccurate and then goes and develops a
22 theory based on that, and if you'll look at the next -- the
23 last white sheet under this section you'll understand what
24 -- what I'm talking about.

25 These flowing wells in this area have

1 pressures on the order of 1000 pounds on the annulus and
2 particularly if they have somewhere around a low gas/oil
3 ratio of wells in the pools. And so what does that mean?
4 That means the flowing bottom hole pressure at the tubing
5 where the oil is coming into the wellbore can be drawn down
6 only to about 1150 pounds.

7 Now at 1150 pounds, some gas has evolved
8 from solution, but there's a lot left in solution; depending
9 on which of these PVT data curves you choose, there's be-
10 tween 400 and 475 cubic feet per barrel still dissolved in
11 the oil when it comes into the wellbore and comes up the
12 tubing from the bottom of the well.

13 So that means that there can be a gas/oil
14 ratio no less than 400 to 450 cubic feet a barrel. Anything
15 less than that, there's a mistake. It happened in the
16 field. These oilfields, Mr. Chairman, are operated by
17 humans. We make mistakes and something has happened. I
18 don't know what it is but it's clear to me that there is
19 something wrong. The anomaly that Mr. Hueni places so much
20 emphasis on is erroneous and his conclusions are likewise
21 erroneous.

22 Q Now, Mr. Greer, I'd like to shift the
23 focus of the case now to the effects of fractures on oil in
24 place and productivity and the validity of interference
25 tests, and in this regard I'd like to now pass out and refer

1 to Benson-Montin-Greer Drilling Corporation Exhibit Number
2 Seven.

3 Now, Mr. Greer, have you studied the ef-
4 fect of fractures on oil in place and productivity?

5 A Yes, sir.

6 Q And are -- is the study a portion of what
7 is identified as Benson-Montin-Greer Exhibit Number Seven?

8 A Yes, sir.

9 Q Would you go to the first tab in that ex-
10 hibit, Tab A, and identify the documents contained behind
11 that tab and briefly review what they show?

12 A What this shows is the logic behind two
13 different theories of fracturing, which -- and the fractures
14 form the reservoir in this area, and generally most -- most
15 students of this -- of this geological phenomenon have con-
16 cluded that fracturing often results from folding, flexure
17 of the beds. Whether that's what caused it or not, we can-
18 not be positive and if it is caused by folding, we're not
19 sure that where the folds are now are where the folds were
20 when the fractures were created and so we can't tie exactly
21 in 1986 where the best fracturing might be, but one thing
22 that we do know, of which there's no doubt, no question, no
23 argument, the beds have somehow or other had to be placed in
24 tension. It had to be pulled apart and when they're pulled
25 apart, and caused the voids and the fractures, that's where

1 the reservoir space is.

2 If they're compressed, and a fracture is
3 pushed together, then there is no reservoir space. So they
4 have had to be put in tension.

5 Now what I've compared here, and the
6 reason, Mr. Chairman, why I prepared the exhibit which was
7 first presented here twenty years ago, as to how
8 productivity and porosity increase as the width of fractures
9 increase, and the probable relation, since the porosity to
10 pore space varies with the cube root of the permeability,
11 and so --

12 MR. PADILLA: Mr. Chairman, I'd
13 like to, before the witness starts on this exhibit. I'd
14 like to find out from Mr. Carr how this relates to rebuttal
15 testimony.

16 MR. STAMETS: Mr. Padilla, I'm
17 going to overrule you because I've given everybody ninety
18 minutes to do whatever they want to do today, or three
19 hours, for whatever they want to do, and it's up to them to
20 determine whether it's relevant or not and we'll allow Mr.
21 Greer to proceed.

22 Q Okay, Mr. Greer, would you go on now and
23 explain the first exhibit behind Tab A in Exhibit Seven?

24 A So how I've approached this problem, Mr.
25 Chairman, is I have taken two -- two sections of the reser-

1 voir that are folded equally and they have equal fractures,
2 and that's in Plate I and Plate II, and I show the two frac-
3 tures on the opposite sides of the plate.

4 Now, in Plates III and IV, if we place
5 additional stress on a formation, stress that's a tension
6 stress, that pulls -- pulls that formation apart, and on
7 Plat III I have shown that the formation is pulled apart un-
8 til the fractures are increased in width to the extent that
9 we now have 100 times the permeability that you had before,
10 100 times, and to do that requires about that they be
11 stretched about 4.6 times what they originally were.

12 On the other hand, and now this is what I
13 think happens. Now, Mr. Hueni, when he was criticizing my
14 -- my approach, said, well, you could just as well have
15 twice as many fractures, twice as much porsity, ten times as
16 much porosity, ten times the porosity, and carried it on to
17 100 times the fractures, 100 times the porosity. So what
18 Mr. Hueni says what happens is that when we place this addi-
19 tional tension on the formation, is that you don't spread
20 the original fractures, they stay in place, but what happens
21 is you create 100 new fractures, all of the same width as
22 the first fracture.

23 Mr. Chairman, I'm an engineer. We
24 studied strength of materials, stress and strain, when you
25 place something like a formation like this under stress and

1 it cracks and breaks open, and you place it under further
2 tension, unless there's something to hold this loose block
3 that's in the middle here for it to part and additional
4 fractures create, it's not going to do it. The initial
5 fractures are going to widen. That's just simple logic.

6 That's my kind of logic; it's not Mr.
7 Hueni's kind of logic.

8 Q Mr. Greer, go to the next page and review
9 the comparison you've made of porosity and permeability in
10 the area.

11 A All right. Here we take a direct com-
12 parison and in order to understand the significance here,
13 then you put it in perspective, what we're talking about.
14 Now both Mr. Hueni and I have gone from , say, oh, something
15 like 100,000,000 barrel of oil in place in Gavilan. The so-
16 lution gas drive recovery for that is going to be 5-
17 6,000,000 barrels depending on the detail of what you come
18 up with.

19 But that's something, what we're looking
20 at for all the wells in Gavilan with a solution gas drive.

21 Now, that gives you an idea of the total
22 amount of oil that we're looking at, say, from 56 wells.

23 Here we compare the two different
24 methods, two different logics, and compare what recoveries
25 we might anticipate from comparing two different wells and

1 the two wells that I have chosen are one of our small wells,
2 the C-2, which is shown on the bottom line, had initial pro-
3 ductivity of about 56 barrels a day.

4 Our B-29, if we put big enough casing in
5 it, would have a productivity of about 15,000 barrels a day.

6 The ratio of the B-29 to the C-2, this is
7 a ratio of the productivity, is about 270.

8 I say that, you know, just my horseback
9 estimate of how much oil you might expect from -- from the
10 B-29 if you compare it to the C-2, if all other things were
11 equal, and of course they're not equal. One of them is
12 going to drain more area than the other, and such as that,
13 but just for a rough comparison, then this is what my -- my
14 theory would show, about a million and a half barrels, then,
15 would be expected from the B-29.

16 By direct ratio of the produtivities, the
17 theory that Mr. Hueni propounds, you would have 62,000,000
18 barrels, completely out of reason.

19 Q All right, Mr. Greer, go to the next
20 document and identify that.

21 A The three or the sheets following, the
22 gray sheets, are an article by Mr. Murray, where he investi-
23 gated fracturing and what the relation of pore space and
24 permeability might be. I didn't -- now Mr. Murray made this
25 study about the same time I made mine. I didn't know about

1 it until years later.

2 But it's interesting that he comes up
3 with about the same conclusion that I do.

4 You can see on page -- on the fourth gray
5 page that's entitled page 60 of this article, he goes into a
6 rigorous treatment of how a formation might flex and he even
7 goes so far as to take the radius of the flexure and comes
8 up with a triangular shape fracture and gives it rigorous
9 mathematical treatment, the end result of which is that he
10 comes up with that the porosity is a function of the cube
11 root of the permeability, the same as I do.

12 Q All right, Mr. Greer, now I'd like to
13 direct you to the information contained behind Tab B, and as
14 you recall, Mr. Hueni discounted interference data on Fri-
15 day, that had been obtained from an interference test.

16 Could you briefly initially state what
17 Mr. Hueni's conclusions were?

18 A Yes, sir. I'll read the first three
19 items here.

20 It's clear from Mr. Hueni's response that
21 he didn't understand what we were doing in Canada Ojitos
22 Unit because he made three statements.

23 He said:

24 1. Interference testing can only show
25 information about the formation between the test wells, and

1 is complicated with fracturing.

2 2. The EI straight line solution does
3 not apply to a heterogeneous reservoir.

4 3. The best way to determine the reser-
5 voir characteristics is from individual well pressure build
6 up tests.

7 Q Now are these statements correct?

8 A No, sir, they're all incorrect.

9 Q Why were interference tests actually
10 needed out in the Canada Ojitos Unit?

11 A Well, the very reasons that we needed it
12 was because of the heterogeneous type reservoir. That's why
13 we designed the test in the first place. So, as I indi-
14 cated, Mr. Hueni just didn't understand.

15 As to item 2 where he says the EI
16 straight line solution does not apply to heterogeneous
17 reservoir, he's using it, of course, in his analysis in Gav-
18 ilan. When you use the Horner plot, that's nothing but the
19 EI formula in its most pure form.

20 I really need to read these last two par-
21 agraphs here.

22 We note that heterogeneity of the forma-
23 tion, whose average characteristics could not be determined
24 from well testing, made need for the interference tests. A
25 reservoir substantially larger than the drilled area was in-

1 dicated from some of the pressure testing; and the unit
2 operator required more information about the reservoir so
3 that an orderly and informed development plan could be im-
4 plemented.

5 One option was pressure maintenance by
6 gas injection, and a question here was the degree of antici-
7 pated gas channeling; the answer to which turned on the
8 level of transmissibility (Kh), not of the "tight blocks" in
9 which the wells were completed, but of the reservoir aver-
10 age.

11 Interference testing was decided on since
12 it was the only method, then and now, available to determine
13 the necessary characteristics of this fractured reservoir
14 rock.

15 And I point out here, Mr. Chairman, the
16 example I mentioned earlier in my direct testimony a well
17 that we drilled made 60 barrels a day natural. We side-
18 tracked it 100 feet and made nothing. It would make no dif-
19 ference how you cored or logged those two points 100 feet
20 part; one shows productivity, one shows nothing. There's no
21 way that cores and logs can tell the engineer what he needs
22 to know about this reservoir.

23 As set out in our direct testimony, the
24 stratified reservoir of the Gavilan presents problems in in-
25 terference testing, as well as for the individual well pres-

1 sure build-up surveys, but the Canada Ojitos Unit 1965 and
2 1968 interference tests were of only one zone and were thus
3 not affected by this complication.

4 Q Mr. Greer, what response do you have to
5 the assertion that interference testing can only show infor-
6 mation between test wells and is complicated by fracturing?

7 A Well, although most interference tests
8 are just conducted for relatively short times, and they're
9 -- they're necessarily short because of delayed production,
10 the lost income, and also the diffusivity constants are or-
11 dinarily low in these reservoirs, and in a sand reservoir, a
12 fairly homogeneous reservoir, you can take a build-up test,
13 determine the Kh, the transmissibility of the formation,
14 then with a short interference test just determine the draw-
15 down and the effect and you can calculate what you need to
16 know, mainly the pore space of the reservoir.

17 In this reservoir you just can't do that.
18 The individual well tests vary like on an order from 20 to
19 1, from 200 Darcy feet to 4 or 5, 4 or 5 Darcy feet.

20 So there is no way that we could average
21 -- average these characteristics and determine what we
22 needed to know.

23 Now, I'd like to point out how we can de-
24 termine what we need to determine. Here we have some wells
25 fairly close together, half a mile, a mile apart. We know

1 there's a big reservoir extends beyond it with no wells in
2 it. How do we determine something about the average char-
3 acteristics of this bigger reservoir?

4 And we do that by comparing the EI solu-
5 tion, exponential integral solution and, Mr. Chairman,
6 that's a solution to the diffusivity equation, which is
7 based on a point source, just a single point. We use it for
8 wellbores that have a finite diameter but it's relatively
9 small and doesn't check the calculation overall.

10 When we get to a larger, a larger well-
11 bore, an induced fracture or such as that, then we have to
12 take into account other things.

13 How do we determine, then, what -- what
14 effect might a large fracture, induced fracture, in your
15 test well, what effect might that have on your interference
16 tests if you used the EI solution, the point source solu-
17 tion?

18 Well, to determine that we make a com-
19 parison and that comparison is that we take two wells, an
20 interference test well, a producing well, an observation
21 well, and I'd like to refer with respect to how this is cal-
22 culated by going to the blue sheet and look at what happens
23 when a well is put on production in a reservoir, a closed
24 reservoir.

25 On the upper graph we show that at, for

1 instance, in two days, that's the first line, the well 2000
2 feet from the producing well would show a pressure drawdown
3 of about 12 pounds.

4 One 4000 feet away would be about 5
5 pounds; 8000 feet away about 1 pound.

6 After about 15 days the influence of the
7 producing well is clear out to the five mile radius and ef-
8 fects begin to show up out there.

9 We see down on the lower graph, then, how
10 these lines plot on a semilog graph in order to apply the EI
11 solution to determine the transmissibility, and we see that
12 the well at 2000 feet has a straight line from about one day
13 up to 30 days; for the 4000 foot radius it's a shorter time,
14 about 7 days to 30 days.

15 But those wells, then in that range, Mr.
16 Chairman, we could use to determine the characteristics we
17 need to know.

18 Then on the next sheet we see how this
19 all works out.

20 We show here a reservoir 5 miles in -- 5-
21 1/2 miles in diameter, a shut-in observation well and pro-
22 ducing well in the center, and if you have a homogeneous re-
23 servoir, no complications, the production and the pressures
24 through the reservoir would be about as shown on the blue
25 sheet.

1 Now, what if we have complications inside
2 the reservoir between the red dot and the observation well,
3 a large fracture, or whatever, and so to make that compari-
4 son, Mr. Chairman, I just assume that we expand the wellbore
5 radius all the way out to that interference test well; just
6 make it no formation. Now Mr. Hueni says interference tes-
7 ting shows only information between the two wells.

8 So we take an example where we remove the
9 (unclear). There is no formation. It's a wellbore that's
10 2000 feet in diameter. It has infinitesimal volume but in-
11 finite conductivity. And so we make the comparison there.
12 What would happen? What would be the difference, then, in
13 the pressures in this interference test well if we had for-
14 mation all the way to the observation well or if we had no
15 formation, nothing there, what would the difference be?

16 Well, we can make that calculation. Mus-
17 kat has shown us how to do that, and that's shown upon the
18 brown pages. The second -- the first page shows the text;
19 the second page the relation. My pencil notes at the bottom
20 have no significance here; they're just converting to oil-
21 field units. On the third brown page we have the graph and
22 the same data converted to oilfield units.

23 Then on the pink sheet we show the
24 comparison, the comparison of the EI formula with this lar-
25 ger internal radius, and to see how much error, how much ef-

1 fact there would be, then, if we when we made this test in-
2 stead of having a formation between a producing well and the
3 interference test well, there was nothing there, nothing,
4 and we find that they're very nearly the same.

5 It needs to be clear, Mr. Chairman, that
6 I'm not saying that it should pull the pressure down in this
7 large wellbore radius, that this would be the same. What
8 I'm saying is you take the same volume of oil from the well
9 with the entire formation present or you take the volume of
10 oil from a well with no formation present, and this is what
11 you get.

12 Now, if you make a calculation within one
13 or two days you'll have maybe 100 percent error but you car-
14 ry it on out to ten or twenty days and you find that your
15 error is only 15, 20, 30 percent at the most, and so what
16 this means, Mr. Chairman, is that the kind of an interfer-
17 ence test which we ran in Canada Ojitos, which was designed
18 to determine the characteristics of the formation beyond the
19 distance between the two wells, this is what we would have
20 found. We would have been in error but not very much.

21 Now, we fraced the producing well, but
22 that was of not consequence. What we have in Canado Ojitos
23 is a system, a high capacity fracture system surrounding
24 tight blocks in which wells are completed. There's probably
25 many a flow down the -- down the channels, down the frac-

1 tures, but overall, overall a system like a jigsaw puzzle,
2 the channels concentrate toward the producing well, and re-
3 sults in a radial flow solution being a reasonable approach
4 to the calculations of the oil in place.

5 Q How did this compare to Mr. Hueni's char-
6 acterization of the reservoir?

7 A Well, Mr. Hueni says that you can't --
8 can't calculate it, and, of course, he didn't realize the
9 kind of a test that we made.

10 The next thing is if it's not a homo-
11 geneous reservoir, he says the EI solution won't apply.

12 Well, whether it's -- whether it will ap-
13 ply or not, Mr. Chairman, depends on whether the tight
14 blocks, the tight parts of the reservoir, whether there is a
15 rate of diffusion fast enough for those tight blocks to make
16 their volumes known to the system as you produce, and we de-
17 termine that, Mr. Chairman, by -- as shown on the brown
18 graph under Section C.

19 One of the -- one of the wells that we
20 used, one of the observation wells that we used, had a
21 transmissibility of .02 Darcy feet. We come over to the
22 graph which we've shown before which shows oil in place ver-
23 sus transmissibility, we come up from .02 Darcy feet to the
24 circles and we see there that it has a ratio of permeability
25 to porosity of about 0.4.

1 Then we go to the next graph, the white
2 graph with the green stripe across it, and we find that for
3 a ratio of permeability to porosity of 0.4 and the satura-
4 tion situation that existed, compressibility in Canada Oji-
5 tos at that time, that we're looking at a diffusivity con-
6 stant data of about 2 times 10 to the fifth, and then we got
7 to the yellow graph and all this yellow graph is is a solu-
8 tion to the diffusivity constant, to save you having to cal-
9 culate it, and find the 2 times 10 to the fifth line, which
10 is shown here, the tight block in which this observation
11 well was completed was roughly 40 acres, which would have at
12 best something like 600 feet dimensions. So we come over to
13 600 feet. At this diffusivity constant we find that it
14 would have equalized in about 0.6 of a day, and so -- not
15 equalized, but we would have -- that would be the time re-
16 quired to reach steady state conditions for it to make --
17 the oil in the tight block to make itself known to the sys-
18 tem.

19 Now that is depending on a diffusivity
20 constant where the source is in the center and the trenches
21 flow outward.

22 In this instance we have a block sur-
23 rounded by the high capacity system that flows the other
24 way; it's much faster, I would estimate, by three or four
25 hours.

1 So it's just how -- how practical, how
2 true is this?

3 Well, we found out. We ran an interfer-
4 ence test. Within 24 hours the well completed in this tight
5 block had shown the production or the pressure drop which
6 later when we made the calculations for the field as a whole
7 prove out to be true, and that was a mile, it was a mile
8 away from the -- from the producing well.

9 So there's no question, Mr. Chairman, the
10 interference testing which we did is reasonable. There's no
11 way to get the perfect, exact answer to these reservoirs,
12 but it supports our other information that the porosity of
13 the formation probably varies something like on the order of
14 the cube root of the ratio of productivity to permeability.
15 As such it supports our application, that if we apply that
16 formula to the average production rate of 130 barrels a day
17 in the field, that 200 barrels a day is a reasonable maximum
18 top allowable that this Commission should set.

19 MR. CARR: Now, Mr. Stamets, we
20 have one additional exhibit but we'd like to take about a
21 five minute break, a short recess.

22 So far we have used an hour and
23 22 minutes.

24 MR. STAMETS: Okay, we'll take
25 a fifteen minute break.

1 (Thereupon a recess was taken.)

2

3 Q Mr. Greer, at this time I direct your at-
4 tention to Benson-Montin-Greer Drilling Corporation Exhibit
5 Eight, and at this time I will let you testify about the two
6 porosity system and core information.

7

8 I would ask you to refer to the document
9 contained behind Exhibit Tab A and identify that, please.

9

10 A Yes, sir. I would like to talk about
11 briefly here, Mr. Chairman, that we've had some discussion
12 about there may be a two porosity system here in fractures
13 and perhaps matrix porosity, and so we look at some of the
14 generally accepted theories of fractured reservoirs.

14

15 This is -- one of the more recent treat-
16 ises on this subject is one by Mr. Nelson shown here in the
17 first page.

17

Following that --

18

19 MR. STAMETS: I'm sorry. Is
20 this the --

20

21 MR. CARR: Yes, this is the
22 black exhibit, in the black binder.

22

23 A Looking now at the second page under Tab
24 A, and we note that in his analysis of naturally fractured
25 reservoirs, he shows fracture spacing running a tenth of a
centimeter up to 1000 centimeters. The maximum that he

1 Deals with is a spacing of 1000 centimeters, which is approx-
2 ximately 30 feet, and so what we want to do is look at how
3 long it takes for -- for oil in a matrix in a reservoir
4 that's naturally fractured, how long does it take for that
5 oil to make itself known into the fracture system and make
6 its contribution, and so we look here at the 30 foot spacing
7 as being a probably maximum for an ordinarily fractured
8 reservoir.

9 Then we go to Tab B to see how long it
10 takes for these pressure transients to take place, and we
11 refer here to one of the exhibits which we presented twenty
12 years ago in covering this pool, and if you'll look on the
13 second sheet that has a vertical pink line, we look at a
14 sandstone of 10 millidarcies permeability and we see that
15 it's, in the yellow colored range, that it's ratio of per-
16 meability to porosity will run from about .04 to 0.1.

17 And then on the next page with the verti-
18 cal green column we find here for that range of ratio of
19 permeability to porosity of .04 to 0.1, and then go up ver-
20 tically to -- to the compressibility, which would represent
21 the -- probably the slowest rate of diffusion, which would
22 be for saturated oil in the Gavilan area, and we find a dif-
23 fusivity constant ranging from about 2 to 4 times 10 cubed.

24 And taking that information we go to the
25 next graph, which is simply a graphical calculation, of

1 course, of the diffusivity constant, and the blue stripe
2 shows where it would be for this particular sand of 10 mil-
3 lidarcies. And we see down at the bottom that for a dis-
4 tance of 30 feet, that's a very bottom line, and the time
5 that it would take for -- to reach steady state conditions
6 in a sand of 10 millidarcies, about a tenth of a day for a
7 30 feet distance. Now, for this, if the fractures are 30
8 feet apart, they're really only 15 feet between them, and so
9 it would be much shorter time required to do that.

10 Now this is for a 10 millidarcy sand, 10
11 to 20 percent porosity.

12 Now if you have a one millidarcy sand and
13 one percent porosity, the time is the same. We can tell
14 that by the diffusivity constant shown at the bottom right-
15 hand side, it depends on the ratio, and so the ratio of 10
16 to 10 is the same as the ratio of one to one.

17 So if we had a one millidarcy sand and
18 one percent porosity, we'd still be looking at the same blue
19 line.

20 Now if you have 0.1 of a millidarcy per-
21 meability, then it takes ten times as long, and so instead
22 of 0.1 of a day it would be maybe a day and then for .01 of
23 a millidarcy, then that would be 100 times as long, maybe
24 100 days, or that would be 10 days, 10 days.

25 So we're really looking at fairly short

1 times, Mr. Chairman, for the matrix, if there is a matrix,
2 to make itself known if there exists a naturally fractured
3 reservoir, which there's no question the Gavilan is natural-
4 ly fractured. How close are the fractures? We don't know.
5 Mesa Grande's people in their presentation in viewing frac-
6 tures which they see by the frac finder logs and wells, have
7 found fractures in every well that they -- that they looked
8 at and there's a six inch diameter piece of the reservoir
9 several miles apart, there's probably quite a few fractures.

10 It's reasonable to believe that if
11 there's a matrix porosity that it's contributing, it's mak-
12 ing itself know to part of the reservoir pressures, and
13 it's not lurking back there to be produced at some future
14 time.

15 Q Now, Mr. Graer, if there is contribution
16 from the matrix, (not clearly understood) this question,
17 does that change your concern about what's happening to this
18 reservoir at this time?

19 A No, sir, it's still in trouble.

20 Q Would you now go to Tab C and identify
21 the documents contained behind that tab?

22 A I just want to look briefly at some of
23 the pressure build-up tests and drawdown tests and what they
24 show and whether we're dealing with a two porosity system,
25 and one of the better known authors in this regard, or two

1 of them, are Warren and Root. They've shown by the first
2 sheet under the green -- under the blue tab, is the green
3 shaded language says, that "Since the build-up curve asso-
4 ciated with this type of porous system is similar to that
5 obtained from a stratified reservoir, an unambiguous inter-
6 pretation is not possible without additional information."

7 What that means is, Mr. Chairman, you get
8 a pressure build-up that looks like it might be a two poro-
9 sity system, it could just as well be a stratified reser-
10 voir.

11 In Gavilan, with the formations being
12 separated as I know them to be, the chances are that it's
13 going be the reflection of a stratified reservoir rather
14 than two porosity system.

15 Now we go to the next pages which de-
16 scribe some of the methods that are being used to make this
17 evaluation. The white sheet gives an overview of Aguilera
18 by Pollard's method.

19 Then on the gold colored sheet we see
20 Warren and Root, how their -- their model is shown in the
21 upper lefthand square.

22 Then on the pink sheet we see a build-up
23 curve from Warren and Root's theory and we note there the
24 straight line where it says ω equals 1, and that --
25 those numbers there, 1, 0.1, 0.01, 0.001, is the ratio of

1 matrix to -- or fracture to matrix reservoir. If there's
2 all fractures you have a straight line all the way up. If
3 there's matrix contribution, then we have these parallel
4 lines that come in depending upon what percent is what, and
5 that's where the parallel line build-up comes from.

6 Then Kazemi has a different model. He
7 shows kind of a pancake effect and makes a calculation which
8 he says is better than the Warren and Root's.

9 And then on the blue colored sheet we
10 come over and we see a comparison of Kasemi's model and
11 Warren and Root's model, and the significant thing here is
12 that they're fairly close together and -- but more
13 important for this particular case, which deals with a low
14 permeability system, they show that the transient effect
15 wipes out in about ten hours and so generally, Mr. Chairman,
16 when we're thinking of a two porosity system and we see it
17 on logs, if it's really there, the matrix is, as we
18 indicated before, is probably contributing and making itself
19 known.

20 Q Now, if you'd go to Section D, I'd ask
21 you to compare log porosity with that that you can ascertain
22 from core analysis.

23 A This is the information mentioned in our
24 direct testimony which Mallon received from CORE Lab on
25 their analysis of this curve, in which they feel that the

1 log porosity does not reflect core porosity.

2 We understand now that Mobil has - has a
3 way of calculating porosity and eliminate these problems,
4 and of course, if so, we are proud of that advancement. I
5 may have to change my way of describing the problem here,
6 that this formation fools just some of the people all of the
7 time and all of the people just some of the time except
8 Mobil it doesn't fool on the core analysis (unclear) the log
9 analysis.

10 Q Mr. Greer, let's go to Tab E, if you
11 would.

12 A Tab E is a copy of the core analysis that
13 Mobil provided our engineering committee, or provided one of
14 the members and was given to the engineering committees, and
15 I've referred to that in some calculations that I have
16 following.

17 Mr. Chairman, the problems that we found
18 with cores in this formation is that conventional core
19 analysis are just not reliable and I know that Mobil's
20 witness, and we're indebted to Mobil for going to the cost
21 and trouble to core the well and get the information and try
22 to help evaluate this reservoir, and Mobil's witnesses say
23 that they used generally accepted industry standards for
24 core analysis, but generally accepted industry standards
25 just doesn't take care of this formation.

1 We found out the hard way years ago that
2 we've got to do something different.

3 Here, in order to try to analyze and see
4 really -- really does this low porosity -- we're talking
5 about very low porosity and Mobil's engineer says like we
6 have a 1.9 percent porosity with a cutoff of one percent,
7 and just on the face of it, Mr. Chairman, that's slicing the
8 loaf awfully thin. There just is not much room in there for
9 error and there might be some error.

10 What I've done on the yellow colored
11 sheets is just a rough first look at the core analyses and
12 does it seem like it's reasonable, and the way I approached
13 this is I assumed that when this core is taken, ahead of the
14 core head there's some flushing action and it flushes the
15 formation a little bit ahead of it. How much does it flush?
16 Well, we just make a guesstimate, maybe 10 percent, flushes
17 10 percent. Sometimes that's a reasonable amount.

18 Now, what happens then? So let's say
19 that it flushed 10 percent of the oil out of the -- out of
20 the pore space. The core then is brought to the surface.
21 As it comes to the surface the oil by solution gas drive ex-
22 pands, drives out the -- first this flush water that came in
23 and then follows it by it's solution gas drive recovery, and
24 in round numbers, if it produces like it should, we ought to
25 have like a 20 percent production to atmospheric pressure.

1 So we calculate that and we start off by
2 taking the water saturation shown in column four, deduct
3 that from the 100 in column five, we get the initial oil in
4 place, less the flush in column six, less the production in
5 column seven. Then we take column seven and convert it to
6 stock tank barrels by dividing by the formation volume fac-
7 tor, which gives us number eight, and so by subtracting
8 column three from column eight, then we have an idea of --
9 of how much oil has produced and it should be, we should
10 have zero in that righthand column, if it's the way we fig-
11 ured, 10 percent flush, 20 percent production.

12 Well, we've got a lot of negative numbers
13 over there. That gives me some concern. Maybe -- maybe
14 we're not flushing the core.

15 So we make the next calculation on the
16 green sheets and we assume there's no flush. It's zero
17 flush and we take our production, and still we find some
18 negative numbers, and so I'm still concerned.

19 I go to the white colored sheets and then
20 we assume neither flushing nor production. We just cal-
21 culate what the production really is and by that we just
22 take the oil that was in place originally and deduct from
23 that what's left, and then in the righthand column we see
24 what was produced, and this is just, Mr. Chairman, it's just
25 like taking a small sample of the reservoir, bringing it to

1 the surface. It's produces what's the recovery factor, and
2 then these blue shaded lines, they're recoveries less than
3 20 percent. If you're going to get a 20 percent recovery
4 from a sand down in the reservoir, for certain you're going
5 to get 20 percent recovery when you bring it up to the sur-
6 face, because all the oil certainly had to come out of it.

7 So we get some pretty small numbers. If
8 they're less than 20 percent I consider them suspect, and
9 there's a lot of blue shaded lines.

10 If they're more than 40 percent, they're
11 suspect the other way and for instance, let's see, one of
12 the red lines, well, there's 100 percent on sample number
13 25. It shows 100 percent, the red shading. We look over
14 and it shows the saturation that will bring the core out is
15 is zero and, of course, there we -- something really must be
16 wrong and perhaps the oil was entirely flushed from the
17 core; maybe it was a fracture, and I think maybe that was
18 indicated that way. Maybe all that porosity is fracture
19 porosity.

20 And I know that Mobil throughout most of
21 threw out most of the fracture -- the core analyses that in-
22 dicated fractures.

23 But when you get through with it there's
24 lots of pink lines, lots of blue lines. There's lots of
25 question in my mind, Mr. Chairman, whether there might be

1 something wrong with the coring or with the analyses and I
2 would think that there's a possibility that there's some-
3 thing wrong with the analyses.

4 So we go to Section G and we plot water
5 saturation versus permeability and it's hard, of course, to
6 tell whether there's any really direction to these lines or
7 not but there are certainly concentrations of the points
8 down around 30 percent porosity and .01 or less millidarcies
9 and we wonder, is this characteristic of sand, sand reser-
10 voirs, and for comparison we look at a couple of fairly
11 clean sand reservoirs on the blue sheet, permeability to
12 porosity, and these -- this information, Mr. Chairman, is in
13 the technical literature. It's available to anyone.

14 The solid lines represent the measured
15 amounts; the dashed lines are extrapolations, and we can see
16 when you get below 0.1 of a millidarcy that the water satur-
17 ation in most sands increases pretty rapidly.

18 For the Elk Basin extrapolation it would
19 be up to 100 percent water saturation at 0.1 of a millidar-
20 cy.

21 Then on the pink sheet we compare what
22 we've found from Mobil 4 with this -- these two reservoirs,
23 and we find that it doesn't parallel, it doesn't track the
24 -- the other information, and, Mr. Chairman, ordinarily if
25 we'd had time we would have asked the Mobil people had they

1 done certain things. Had they run analyses to determine the
2 irreducible water saturation? Had they done things that we
3 don't know. They may have a lot of information that we
4 don't know about, but from what we've seen, I have concerns.
5 I have concerns as to whether this is -- really represents
6 what's in the reservoir, and you can see some of my concerns
7 if we look under Section H.

8 This shows a number of wells that we
9 cored about 15 years ago, had analysed by conventional ana-
10 lyses, and you can see on the first blue sheet how high
11 these porosities run, 5, 6, 7 percent.

12 On the pink sheet we get the same thing;
13 up as high as 8 or 9 percent, and we go to the yellow sheet
14 and we have the same thing, 7, 8, 9 percent porosity for
15 this shale, and we follow all the way over on the yellow
16 sheets and on the last of the yellow sheets we show some
17 hole core analyses. We were interested -- oh, I'm sorry,
18 it's not the last two, it's the, let's see, one, two, three,
19 four, five, six, the seventh and eighth yellow sheets from
20 the back, and here we have some hole core analyses and we
21 were trying to determine, Mr. Chairman, if there's some way
22 to measure the volume of the tiny fractures, the hairline
23 fractures, the micro-fractures.

24 So we went to the trouble of doing a hole
25 core analysis and we find the same thing, high, high porosi

1 ties.

2 The the next following yellow sheets are
3 the core description where we were looking for fractures;
4 how we -- how we tried to identify them.

5 The last yellow sheets shows where we
6 fraced this particular well. It shows the high porosities,
7 high with respect to Mobil 4, and we treated the well with
8 200,000 pounds of 20/40 sand, 26,000 pounds of 10/20 sand,
9 3400 barrels of crude oil. We gave it a fair treatment, a
10 reasonable treatment to test the formation.

11 This well and the others that were cored
12 here showed capacities after completion and recovery of load
13 oil of like 4 or 5 barrels a day, something entirely noncom-
14 mercial.

15 So we knew that something was wrong.
16 With these high porosities we should have gotten something
17 out of them. So we checked back with CORE Lab and we found
18 then, and I don't know just how they are recently, but at
19 that time they assumed that we knew more about the formation
20 than they did, and when we ordered a conventional analysis,
21 we got a conventional analysis, and conventional analysis,
22 where they retort the samples cooks out the kerogen and the
23 water hydration, and so what we were measuring was not the
24 effective hydrocarbon porosity but the sum of the fluids of
25 water and kerogen and such as that, that was in the shale.

1 Now in the Mobil's core, the conventional
2 analyses now, they've learned, I guess, that even though
3 most operators know more about it than they do, that they
4 still recommend that they measure the porosity a little dif-
5 ferent, so they measure it by what they call the so-called
6 Boyle's Laws method.

7 And so they get, hopefully, a better por-
8 osity and we find then these low porosities that Mobil comes
9 up with, real, real low, 1, 2, 3 percent porosities. They
10 probably are more accurate, but just how accurate there's
11 still a question in my mind, Mr. Chairman.

12 We see how the saturations don't check.
13 They're still a conventional analysis. They take a sample
14 of the formation and they retort it. They took out the ker-
15 ogen, the water hydration, along with the -- along with the
16 movable oil, and then they got a problem of how they match
17 all that and come up with the -- with the saturation, so we
18 really don't know whether there is oil in -- in this matrix
19 in this real, low porosity that might actually contribute to
20 production. There's just a real serious doubt in my mind.
21 There's a possibility that it's full of water that this
22 won't move.

23 In addition that, Mr. Chairman, and I
24 don't know whether this can be accepted as hearsay evidence,
25 we understood a geologist, looking at the core, not having

1 time to -- to cross examine Mobil to ask them about this,
2 all I can do is pass on what I understand, and that is that
3 the core was laminated; that there was like -- 4/5ths of the
4 core was shale, and about 1/5 of it was sand.

5 Now whether the engineer knew this,
6 whether it's true or not, I can't say definitely, but I have
7 an idea that it probably is true because that's the kind of
8 thing that we found other places.

9 If so, in the 50 feet of net sand that
10 Mobil's engineer uses might only be 10 feet, and so if it
11 is, it certainly is not going to contribute much to the pro-
12 duction, and in addition to that, Mobil's engineer used
13 arithmetic average of permeability. We didn't get a chance
14 to ask him how that compared with the geometric average, but
15 we know that in cases where wells have been tested and com-
16 pared core analyses permeability with -- with a build-up
17 test permeability, that a geometric average of the perme-
18 abilities fits the situation better, and in that instance,
19 then, there is substantially less permeability than -- exis-
20 ting than what the Mobil engineer used.

21 So I have all these questions in my mind
22 as to whether the matrix, even with Mobil's core, is contri-
23 buting anything in this area.

24 Q Were Exhibits Six, Seven, and Eight pre-
25 pared by you?

1 A Yes, sir.

2 MR. CARR: At this time we
3 would offer into evidence Benson-Montin-Greer Exhibits Six,
4 Seven, and Eight.

5 MR. PADILLA: Mr. Chairman, I
6 would ask that (inaudible) concerning the Mobil core inas-
7 much as it is purely speculative.

8 MR. CARR: Mr. Greer has been
9 qualified as an expert witness in petroleum engineering. He
10 advised you of what he was relying on. I think this testi-
11 mony should be admitted and you can give it whatever weight
12 you feel is appropriate.

13 MR. STAMETS: Mr. Greer identi-
14 fied it as hearsay and the Commission will take it as hear-
15 say and give it that degree of weight.

16 MR. LOPEZ: I would also call
17 the Commission's attention to the fact that the Mobil wit-
18 nesses aren't here and aren't subject to cross examination
19 and Mr. Greer and his counsel have had ample opportunity
20 (unclear.)

21 MR. CARR: As does Mr. Lopez.
22 If he would like to talk to him about that I'm certain Mr.
23 Greer would do that also, Mr. Chairman.

24 I have some additional examina-
25 tion of Mr. Greer, with your permission.

1 MR. STAMETS: (Not heard clear-
2 ly.)

3 Q Mr. Greer, what conclusions have you
4 reached about Mr. Hueni's analysis of this reservoir?

5 A Well, it's been reached through erroneous
6 data, interpretation of anomalies that were not there. His
7 -- his whole case rests on things that were not facts and
8 he's come up with a theory of vertical segregation, gas
9 going up, oil going down, and it doesn't fit what's been
10 found in the field with respect to -- to the stratified na-
11 ture of this reservoir.

12 And it just is not that way, Mr. Chair-
13 man, it just is not that way.

14 Q Now, Mr. Greer, Mr. Hueni recommended a
15 certain reduction in the gas/oil ratio. In your opinion
16 will a reduction of the gas/oil ratio alone maximize the po-
17 tential of increasing ultimate recovery in the Gavilan-Man-
18 cos formation from gravity drainage?

19 A No, sir.

20 Q If the Oil Conservation Commission should
21 accept Mr. Hueni's reservoir interpretation, and particular-
22 ly the vertical segregation which he has testified to, what
23 do you believe the Oil Conservation Commission must do if in
24 fact it's to carry out its duties to prevent waste and pro-
25 tect correlative rights?

1 A Mr. Chairman, if the Commission really
2 believes that this fantastic theory of Mr. Hueni's is cred-
3 ible, that there exists this tremendous vertical communica-
4 tion, then the reservoir has a potential not of solution gas
5 drive recovery, but of gravity drainage recovery, which is
6 some ten times the solution gas drive recovery.

7 In that instance, Mr. Chairman, the Com-
8 mission, I feel, to carry out its responsibilities and obli-
9 gations, would be obliged to require all the operators to
10 seal off the A, B, and C zones in this pool and perforate
11 only the bottom of the reservoir and produce the bottom part
12 in order to achieve this gravity drainage potential.

13 I realize one of the arguments might be
14 composed of, well, you couldn't get enough productivity if
15 you do that, but all the wells are limited by 50 to 100 per-
16 forations in the pipe now where they attempt to get limited
17 entry. They could seal off those perforations, put another
18 50 or 100 in the bottom and if this tremendous boiling of
19 the reservoir up and down, as Mr. Hueni suggests is really
20 taking place, then this would be the proper action of the
21 Commission to assure the maximum recovery from the reser-
22 voir.

23 Q If Mr. Hueni's proposal is accepted, what
24 effect would that have on waste and correlative rights?

25 A They would continue; the problems which

1 we identified earlier would continue. Correlative rights,
2 an operator would not have opportunity to protect his cor-
3 relative rights. The big wells take all the oil.

4 There would be a loss of the oil which I
5 think is recoverable from gravity drainage, not straight
6 down, but along the dip of the formation, and there would be
7 a number of unnecessary wells drilled and resulting waste
8 occur.

9 Q If the Commission is to act to protect
10 correlative rights and prevent waste, what is your recommen-
11 dation?

12 A That they immediately reduce the allow-
13 able to 200 barrels a day and place a practical gas/oil
14 ratio limit of 1000 cubic feet a barrel.

15 Q Do you have anything further to add to
16 your testimony?

17 A No, sir.

18 MR. CARR: That concludes my
19 direct examination of Mr. Greer.

20 I'd like the record to show
21 that we have used 1 hour and 50 minutes of our time.

22 MR. STAMETS: Thank you, Mr.
23 Carr. I'm going to ask Mr. Greer just two or three ques-
24 tions and then I think we'll move on. I presume you have
25 another witness?

1 MR. KELLAHIN: Yes, sir, we do.

2
3 CROSS EXAMINATION

4 BY MR. STAMETS:

5 Q Mr. Greer, did I understand you to say
6 that you believe that the solution gas oil ratio in the Gav-
7 ilan-Mancos Pool was 480 cubic feet per barrel?

8 A Yes, sir.

9 Q And that's a lower number than I remem-
10 ber hearing any place else in the testimony.

11 A I believe, Mr. Chairman, it's in McHugh's
12 Exhibit -- let's see if I can find the right one.

13 Maybe it was Dugan's exhibit, Dugan's Ex-
14 hibit -- well, McHugh's Exhibit Number Three, under Tab D,
15 the lower line is 480 cubic feet a barrel; the upper line
16 588, and McHugh recognizes that these are the numbers to be
17 considered.

18 Q So it is your opinion that the lower num-
19 ber is more accurate?

20 A Yes, sir.

21 Q Refresh my memory, what did you testify
22 was the bubble point pressure, really, in this case?

23 A For Gavilan?

24 Q Yes.

25 A I came up with a range, I believe, be-
tween 1535 or 40 and 1575 or 80; somewhere in that range.

1 It's written in one of our exhibits.

2 MR. STAMETS: We'll excuse Mr.
3 Greer. He'll be available for cross examination later.

4 Mr. Kellahin.

5 MR. KELLAHIN: Thank you, Mr.
6 Chairman.

7 At this time we would call Mr.
8 John Roe back to the stand and would like the record to re-
9 flect that Mr. Roe has been previously qualified as an ex-
10 pert petroleum engineer and he has been sworn and he's still
11 under oath.

12
13 JOHN ROE,
14 being called upon to testify and having been previously
15 sworn, remains under oath and testified as follows, to-wit:

16
17 DIRECT EXAMINATION

18 BY MR. KELLAHIN:

19 Q Mr. Roe, I'd like to direct your atten-
20 tion to the package of exhibits I have passed out in the
21 hearing room and specifically ask you to identify what is
22 offered as Dugan Production Corporation Exhibit Number
23 Three.

24 Would you identify that for us, please?

25 A Yes, sir. Exhibit Number Three is a pre-

1 sentation of the current production and/or my estimate of
2 the potential production for every well, all 59 wells that
3 have been drilled and completed and are ready for production
4 in the Gavilan-Mancos Pool area, plus information on one
5 well that's drilling and 13 locations for the nine different
6 operators that are active in the Gavilan-Mancos Pool area.

7 In addition we've included the data,
8 production data on four Canada Ojitos Unit wells that have
9 been completed and one that is currently in the completion
10 process.

11 I will point out that the left portion,
12 the 13 columns on this graph, were presented initially in my
13 testimony on August 8th as Dugan Production Exhibit Number
14 One.

15 Q Is this exhibit identical to Dugan Pro-
16 duction Corporation Exhibit Number One with the exception of
17 the additional information on the far right of the exhibit?

18 A That is correct. The information on the
19 far right was added to Dugan Production Corporation Exhibit
20 Number One at the request of the Commission in order to pre-
21 sent the effect on individual operators and individual wells
22 that the imposition of a GOR restriction only, leaving the
23 current allowable as is.

24 Q Mr. Stamets just asked Mr. Greer a ques-
25 tion about the solution gas/oil ratio Mr. Greer had used in

1 the Canada Ojitos Unit.

2 You have testified earlier that the solu-
3 tion gas/oil ratio that you used or determined applied to
4 the Gavilan-Mancos Pool was the 588 cubic feet of gas to 1
5 barrel of oil.

6 Would you explain to us why you have uti-
7 lized the 588 number as a solution gas/oil ratio?

8 A Yes, sir. I am aware of Mr. Greer's PVT
9 data and up until PVT data was available from well in the
10 Gavilan-Mancos Pool, which is McHugh's Loddy No. 1, we were
11 using PVT data that was available from the Canada Ojitos
12 Unit.

13 Basically, as a result of our study
14 group, engineering study group subcommittee studying this
15 pool, we have agreed that it probably would be more appro-
16 priate to utilize PVT data from a well in the Gavilan-Mancos
17 Pool area if we had confidence in that data and I personally
18 have confidence in the data that we obtained in the fluid
19 sample from the Loddy No. 1, which is where the 588 comes
20 from.

21 Q You heard the testimony on Friday, Mr.
22 Roe, by Mr. Pomeroy with regards to his tabulation and his
23 comments with regards to the apparent effect the various
24 suggested restrictions would have on various interest
25 owners.

1 Do you have an opinion, Mr. Roe, as to
2 whether your presentation, Exhibit Number Three, is a more
3 accurate and reliable presentation of the effect on the
4 operators of the various proposed reductions in producing
5 and gas/oil ratio (unclear)?

6 A Yes, I have an opinion.

7 Q What is that opinion?

8 A I believe that upon reviewing Koch's Ex-
9 hibits Number Four and Five that there's a good chance that
10 there is an impression given that Dugan Production and
11 Jerome P. McHugh have some hidden benefits in asking the
12 Commission to restrict the gas/oil ratio and oil production
13 rate.

14 On Koch's exhibit it indicates that
15 McHugh and Dugan both recognize the largest percentage in-
16 creases after allowables are restricted as proposed.

17 There -- there are some misleading cal-
18 culations there. It's my feeling that the real impact upon
19 individual wells or individual operators is more properly
20 presented in my Exhibit One initially, as revised and pre-
21 sented in Dugan Production Exhibit Three.

22 The main problem that I see in Koch's
23 presentation was that by comparing April to June and then
24 contrasting the percentage change between April and June's
25 production for each operator, and then also contrasting the

1 reduced production rates with April's rate, if you're un-
2 aware that during this April to June time framed operators
3 were putting additional wells on production, which is the
4 case for Dugan Production and McHugh, plus two other opera-
5 tors, Mobil and Mesa Grande, the actual oil, increase in oil
6 production that occurred between April and June, appears as
7 a positive benefit that could easily be misunderstood that
8 this is simply a positive thing that resulted because of
9 our proposed application.

10 For instance, Dugan Production rates dur-
11 ing April of 1986 averaged 25 barrels of oil per day. This
12 was from two wells that we were operating. During May we
13 placed the Tapacitos 4 on production and during June our
14 production from the Tapacitos 4 alone averaged 153 barrels a
15 day.

16 Our company production during June was
17 188 barrels a day, and so a large part of the 430 percent
18 that was shown as a change in production is simply because
19 Dugan put one well on; McHugh put ten wells on production
20 during this period of time. Also not reflected on Koch's
21 exhibit was the fact that Mobil put all three of their wells
22 on production between April and May, resulting in a produc-
23 tion during June of 388 barrels of oil per day for them,
24 which basically is an infinite increase if we use this same
25 line of thinking.

1 Mesa Grande putting their four wells on
2 production during this time period resulted in an increase
3 in production from them from a daily average in April of 399
4 barrels a day to an average of 725 barrels a day in June.

5 Now the numbers that I just quoted are
6 different from what was presented on Koch's numbers. Koch
7 basically reflected a very small increase in production for
8 Mesa Grande between April and June.

9 Q Mr. Roe, let's turn to page four of Exhi-
10 bit Number Three and if you'll look at the middle of the
11 tabulation where it says total Gavilan Pool area, and as you
12 read from left to right, if you'll find that portion of the
13 exhibit that refers to the June '86 production, the reser-
14 voir barrels of voidage a day, the 26,000 barrel number, and
15 then go over and look at the proposed allowable reduction
16 under the McHugh proposal of approximately 14,000 reservoir
17 barrels a day, and then finally, under the sensitivity case
18 that was used in Mesa Grande's proposal of only the solution
19 gas/oil ratio, the 21.5 number.

20 Having directed your attention to that
21 portion of the exhibit, Mr. Roe, can you explain to us what
22 the significance is of the tabulation in terms of what
23 you're trying to accomplish with the proposed reduction in
24 the producing rate to 200 barrels a day and the gas/oil
25 ratio down to 1000-to-1?

1 A Yes, sir. As we've indicated there, and
2 I might just clarify now what I show under June '86 produc-
3 tion and/or potential reflects actual production based upon
4 June's production as reported to the Commission and for
5 wells that had -- had no production during June but were
6 completed and ready to produce, which we have approximately
7 16 of those wells, I have estimated, based upon production
8 test data that's available, or maybe a well produced -- did
9 not produce in June for some other reason; it was maybe
10 shut-in for lack of a gas market or problems with their gas
11 contract, but the 8188 barrels that I show as being June's
12 production, it's comprised of 2117 barrels of estimated pro-
13 duction from wells that we really have shut-in and to date
14 we have not seen the production, the impact upon the reser-
15 voir from production from those wells.

16 It also includes 6071 barrels, which is
17 an actual per producing day average from wells that did pro-
18 duce in June.

19 Q What's the rationale behind the proposed
20 McHugh reduction in producing rate and gas/oil ratio?

21 A The -- what we were trying to obtain is
22 recognizing the fact that during June we have right now
23 wells completed that could cause a reservoir voidage of ap-
24 proximately 26,000 barrels a day. We recognize -- and that
25 voidage is causing a rate of pressure decline in the reser-

1 voir that is -- that we're uncomfortable with. We feel a
2 need to study the reservoir to be sure there is not a dif-
3 ferent method to develop and produce the reservoir than
4 we're currently operating under. Right now we think there's
5 a good chance there is.

6 So recognizing that we currently have
7 potential for 26,000 barrels a day, we're unhappy with the
8 rate of pressure decline. We feel that the rate of pressure
9 decline needs to be slowed down to some lower rate, and we
10 have chosen an oil rate and gas/oil ratio that is -- we feel
11 to be practical considering that the reservoir has been on
12 production, the gas/oil ratio has increased. Our intentions
13 were to buy some time with the reduction but still maintain
14 a production level that hopefully wouldn't cause undue eco-
15 nomic hardship on operators in the pool.

16 Q If the Commission adopts Mr. McHugh's
17 proposal and reduces reservoir voidage to 14,000 barrels a
18 day, what period of production time does that relate to or
19 correspond to?

20 A This is a production level that existed
21 in March and April of this year, which is about the time we
22 started formulating our plans and trying to get something
23 moving with regards to studying the reservoir.

24 Q Let me direct your attention now, Mr.
25 Roe, to Dugan Production Corporation Exhibit Number Four,

1 which is the colored bar graph following the last exhibit.

2 Before we discuss your interpretation of
3 the exhibit, would you take a moment and orient us as to how
4 the exhibit is prepared and what you're attempting to de-
5 pict?

6 A Yes, sir. The purpose of making this ex-
7 hibit, and this exhibit consists of five pages, the first
8 page is really the only page we'll talk about, the informa-
9 tion presented on the last four pages is simply the tabular
10 data that supports each individual sensitivity case that we
11 considered. It's presented in the same manner by well by
12 operator as was the Exhibit Three that we just discussed.

13 For ease in comparison of one case versus
14 another case, we've presented the top page of Exhibit Four.
15 We've identified each case that we're -- we have presented
16 at the bottom. For instance, the leftmost case, which I've
17 got a red arrow under, that is what we showed to be June '86
18 actual and/or potential production. It was presented on Ex-
19 hibit One and again on Exhibit Number Three.

20 I've chosen the four largest companies
21 which would be McHugh, Mesa Grande, Mallon Oil, and Meri-
22 dian, and I've identified those in color code, yellow,
23 orange, green, and blue, and I've been consistent across the
24 graph. So the comparison of each operator's share of the
25 production under any one scenario is -- is hopefully a lit-

1 tle easier as far as just a visual comparison.

2 Q On the graph on the far left there are
3 some horizontal red lines approximately 9000 and then it
4 continues up and there's two more lines, what's the
5 significance of those lines?

6 A Okay. Those -- those are the approximate
7 reservoir voidages that existed in January, as Mr. Kellahin
8 said, that the first, the bottom line is 9306 reservoir
9 barrels a day. Now this reflects the actual, not any
10 potential, this is the actual pool production that did occur
11 during January '86, and it corresponds, I've indicated on
12 the righthand portion of the -- of Exhibit Four, it
13 corresponds to a daily rate of 4234 stock tank barrels a day
14 and 4435 MCF a day and this did come from 34 wells.

15 The next line up is the production
16 voidage, which is approximately 11016 reservoir barrels per
17 day, that did occur during May of 1986.

18 The uppermost line is the approximate
19 reservoir voidage that actually occurred during June of 1986
20 and that volume was approximately 17,163 reservoir barrels
21 per day.

22 So by having the three lines across the
23 page, you get an idea of where each case would relate to the
24 reservoir voidage during January, May, and -- or January,
25 May, and June.

1 Q If we go to the far right side of the
2 tabulation, the bar graph, and look at the sensitivity test
3 that's based simply on reducing the gas/oil ratio down to
4 588, in your opinion, Mr. Roe, is that a significant enough
5 decrease in reservoir voidage?

6 A No, sir, it does not provide the level of
7 voidage that we feel necessary in order to slow the rate of
8 pressure decline. It basically gives us a rate of pressure
9 -- or rate of voidage that is not grossly different. In
10 other words, the total reservoir voidage under that scenario
11 would be a bout 23,700 reservoir barrels per day, which com-
12 pares to the current potential of 29,000 and a desired level
13 of about somewhere between 11 and 14,000 barrels per day.

14 Q Do you have an opinion as to whether or
15 not we are being as effective with preserving the reservoir
16 energy if we only reduce the gas/oil ratio to the 588 number
17 as opposed to the proposed McHugh solution?

18 A Yes. I have an opinion and I feel that
19 if we do not also make an adjustment on the oil rate, as
20 I've indicated with the visual presentation on Exhibit Four
21 or the actual tabular information on Exhibit Three, if we
22 restrict only the gas/oil ratio to 588 and leave the oil at
23 702, we will still have a reservoir voidage potential of
24 about 24,000 barrels a day.

25 McHugh's proposal would put the reservoir

1 voidage at a range of about 15,000 reservoir barrels per
2 day.

3 And again, now, that is going to put us
4 back at a level that we're still not happy with. The reser-
5 voir pressure is declining at a rate that's still pretty --
6 pretty fast, and we don't have a whole lot of time even at
7 that level of reservoir voidage to arrive at a conclusion as
8 should we be doing something different to the reservoir.

9 Q Let's turn, Mr. Roe, to Exhibit Number
10 Five and have you identify the three pages that compose Ex-
11 hibit Number Five.

12 A Okay. Exhibit Number Five, as Mr. Kella-
13 hin said, consists of three pages. These are nothing more
14 than a reproduction of a production graph that we keep
15 monthly, plotting monthly production data for Jerome P.
16 McHugh's ET No. 1 on page one; the Janet 2 on page number
17 two; and the Native Son No. 2 on page three.

18 Q Mr. Hueni, in his testimony last week ad-
19 vised us that he had not utilized production data after the
20 May '86 production information.

21 In your opinion is there significant pro-
22 duction occurring in June and July that would affect the
23 formulation of opinions about the gas/oil ratio?

24 A Yes, sir. As I indicated on these plots,
25 and I have chosen wells that we are really concerned with,

1 we are starting to see dramatic increases in gas/oil ratio
2 and corresponding decreases in oil rate. A bulk of this is
3 just within the last few months.

4 Q Would you take one of these as an example
5 and show us what is occurring since May's production?

6 A Okay. For instance, in the first page of
7 this -- this exhibit would be the ET No. 1. I -- even dur-
8 ing May the gas/oil ratio in this particular well was -- was
9 exhibiting an increase that we were not real certain of.
10 That increase became more obvious in June and July and even
11 so far in August it's actually increasing.

12 Using ET-1 as an example, say, during
13 February our gas/oil ratio was 439 standard cubic feet per
14 barrel.

15 During July the gas/oil ratio has in-
16 creased to 6492 standard cubic feet per barrel, and we've
17 had a corresponding drop in oil production from 236 barrels
18 a day at its peak level, which I might add was substantially
19 higher rate than we had obtained from the well before, and I
20 personally feel that this higher rate we observed was prim-
21 arily a result of us approaching a bubble point in this
22 well, additional free gas becoming available, the well flow-
23 ing, it probably had the potential for this all along; it's
24 just with the production equipment we had, we just were not
25 seeing the potential until it began to flow with additional

1 gas.

2 As we approach the bubble point the well
3 began to flow, production increased from 900 to 1000 barrels
4 a month, to 5-or-6000 barrels a month, and that production
5 rate is dropping off as the gas/oil ratio is -- is really
6 going out of sight.

7 I haven't plotted August data on here but
8 during the first 18 -- first 15 days in August the gas/oil
9 ratio has averaged 10,470 -- 52. It's actually going up
10 every day.

11 Q Mr. Roe, Mr. Pomeroy testified on Friday
12 and I think he related to his Exhibit Number Ten in his con-
13 clusion and said that the McHugh's proposed cut would save
14 only a meaningless few pounds of pressure.

15 Do you agree with that conclusion?

16 A No, sir, I do not. Referring back to
17 Koch's Exhibit Number Six, it's my understanding that from
18 Exhibit Six, that meaningless few pounds -- at least Exhibit
19 Six covered a 7-month interval. He was talking about 100
20 pounds of pressure.

21 In order to make that forecast it's my
22 understanding that a constant rate of production that
23 existed in June was utilized, and it's also my understanding
24 that -- well, basically a constant rate of production and a
25 rate of pressure decline that was already established in

1 June, which utilized the forecast in the future.

2 Q Mr. Pomeroy forecasted over a 7-month
3 period a loss of 100 pounds of pressure, I believe?

4 A Yes, sir.

5 Q What in your opinion would be the esti-
6 mated loss of pressure over the same interval?

7 A It -- if we make no effort to restrict
8 reservoir voidages that are increasing, it's my opinion that
9 the rate of pressure decline will increase to a level that I
10 have not been able or I cannot calculate, but I would esti-
11 mate that it would be at least 150 to 300 pounds of pressure
12 loss during the same 7-month period.

13 Q In your opinion, Mr. Roe, as a petroleum
14 engineer, is that a meaningless few pounds loss of pressure?

15 A It is not.

16 Q What action, Mr. Roe, can the Oil Conser-
17 vation Commission take to give the working interest owners
18 an opportunity to produce more oil from this reservoir?

19 A Well, it's my opinion that the Commission
20 must take some action to immediately reduce the rate of
21 reservoir withdrawal, the reservoir voidage, and the reason
22 that this is necessary is to give the operators of the Gavi-
23 lan-Mancos Pool, buy them some time that they won't have at
24 the existing rates of pressure decline, to evaluate in a
25 more complete manner what should be done with regards to

1 future development of the reservoir and future production
2 operations of the reservoir.

3 Since conducting our pressure tests or
4 our interference tests in December of '85, we, we being
5 McHugh and Dugan, primarily, but I think probably most of
6 the other operators are -- that are aware of the pressure
7 data are also concerned, that there is a urgent need to ar-
8 rive at a conclusion as to is there a better way to produce
9 the reservoir and is there a better way to further develop
10 the reservoirs.

11 It's my feeling that to date we have es-
12 tablished in my mind undoubtedly that pressure communica-
13 tion, good pressure communication, exists well to well on a
14 current development pattern.

15 It also exists throughout the reservoir.
16 I feel this is supported in Dugan Production's Exhibit Num-
17 ber Two presented on August 8th.

18 In addition to that, I feel that on the
19 existing spacing of 320 acres per well there will be
20 unnecessary wells drilled on a competitive basis. These
21 wells will be required, in order to develop undeveloped ac-
22 reage, prevent lease expirations, protect correlative
23 rights, and prevent drainage. This also was presented in
24 some detail in Dugan Production's Exhibit Number Two.

25 I feel that we have information and have

1 enough data to feel gravity drainage potential, or there is
2 potential to recognize some gravity drainage in the Gavilan-
3 Mancos area, and gravity drainage is occurring.

4 We also, it is my believe, that by
5 allowing continued competitive operations of the reservoir
6 there will be an effort, or there will be waste of natural
7 reservoir energy in the production of higher gas/oil ratio
8 wells, in their efforts to compete for their share of the
9 oil, daily oil production.

10 MR. KELLAHIN: That concludes
11 my examination of Mr. Roe.

12 We move the introduction of
13 Exhibits Three, Four, and Five.

14 MR. STAMETS: Without objection
15 these exhibits will be admitted.

16 I've got just a couple of
17 questions of Mr. Roe, and then we will see what everybody
18 else wants to do.

19 MR. KELLAHIN: Mr. Chairman, my
20 timekeeper here tells me we've used 2 hours and 18 minutes
21 and we'd like to reserve the balance which we believe is,
22 what, 42 minutes, 42 minutes for a later time.

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CROSS EXAMINATION

BY MR. STAMETS:

Q Mr. Roe, there was some discussion about -- a lot of discussion about how this would affect individual operators and they will, some operators would be losing current allowable in production.

Would it be possible at some time ninety days from now to go through there and calculate again how much each operator has lost or gained in comparison to the others between the allowables as they would have been and the allowables as calculated under your proposal, and then to restore balance should that prove to be the correct thing to do?

A The way you asked the question I'd have to answer yes, that's possible.

Q Thank you. The second question is one that I asked a number of folks on the other side last week and they all answered in the negative and I kept thinking I was asking the question wrong.

In this solution gas drive reservoir, if we allow wells to produce at GOR's above the solution gas-oil ratio, you say it's 588, if we allow wells to produce at 1000 or 2000, are we pooping off our reservoir energy and not making the best use of it in producing the oil out of

1 reservoir?

2 A If I could just clarify a little bit, if
3 solution gas drive is the only mechanism that's in effect, I
4 think possibly the answers you got earlier would be the same
5 as mine, is the rate that you allow the pressure to decline
6 and the gas to evolve is probably not going to substantially
7 affect ultimate recoveries from the reservoir.

8 But what we have here and why it's impor-
9 tant and maybe why you're expecting a different answer, and
10 why I'll give you a different answer, is I don't feel solu-
11 tion gas drive is the only mechanism that exists.

12 I do feel solution gas drive is going to
13 be important if Mr. Hueni is right, and we have a reservoir
14 600 feet thick, which I don't agree with, but if we do, we
15 will have some of that gas that evolves from solution go to
16 the top of the structure that's 600 feet thick and basically
17 act as a gas cap.

18 You have these wells that are completed
19 in this gas cap or completed close enough to the gas cap
20 that then will start producing gas out of the gas cap and
21 that's where the reservoir waste is going to occur, is
22 rather than that gas being trapped in the gas cap and ser-
23 ving to displace oil downward, as Mr. Graer said, in order
24 to take advantage of that, we've got to go in and squeeze
25 off all of our upper perms and let this gas cap drive the

1 oil down to the bottom of the pool.

2 If we don't force that mechanism to
3 operate in the reservoir, then there will be reservoir
4 energy wasted by anybody that's producing gas out of the gas
5 cap, whether that gas cap exists at the top of the 600 foot
6 reservoir or at the top of the reservoir that we're referring
7 to as the Gavilan Dome.

8 And that's one of our primary concerns
9 right now, is an operator that's got a high gas/oil ratio,
10 if he has the only restriction of 1.4-million a day or 700
11 barrels of oil a day, he can produce up to 1.4-million
12 trying to get more oil and using McHugh's ET as an example,
13 the gas/oil ratio right now is 10,000-to-1.

14 We're going to be able to produce a lot
15 more gas trying to get our share of the oil out of that well
16 than -- than really is going to be effective for the
17 reservoir, and again, that's -- my statement of that is
18 because I feel some of that gas is probably going to be more
19 than just the solution gas drive process working. It's also
20 producing some gas from a free gas phase in the reservoir.

21 Q Under those conditions you would be using
22 more than your fair share of reservoir energy.

23 A Yes, sir.

24 Q All right.

25 MR. STAMETS: We'll excuse this

1 witness and move on, then, to the cons, the opponents over
2 here, and what is your pleasure at this point?

3 Who's first?

4 MR. LOPEZ: Mr. Chairman, let
5 me ask you then a couple things off the record.

6

7 (Thereupon a discussion was had off the record.)

8

9 MR. LOPEZ: On behalf of Mallon
10 and Mesa Grande, I would at this time, Mr. Chairman, request
11 we be given for procedural, substantive due process reasons,
12 the same opportunity to prepare surrebuttal to the testimony
13 we heard today.

14 The testimony we heard this
15 morning from Mr. Greer and Mr. Roe goes far beyond anything
16 contemplated as rebuttal. It was new evidence, new testi-
17 mony with respect to matters occurring thirty years ago, and
18 I would think that it would be only fair and equitable that
19 we be given the same time frame in which to prepare our case
20 with our books of exhibits, if necessary, to rebut what
21 we've heard this morning and at least the four days that
22 they were given since the hearing was recessed last Friday.

23 MR. CARR: Mr. Stamets, I would
24 submit that every bit of Mr. Greer's evidence was locked in
25 and in response to testimony that was presented by the cons,

1 if you want to call them that; that it was properly rebuttal
2 testimony and if they were not anticipating that, they
3 should have been when Mr. Kellahin advised the Commission
4 and everyone in the room that we would call Mr. Greer for
5 rebuttal testimony this morning.

6 We believe that there is no un-
7 fair advantage in going ahead and wrapping this up.

8 We found out yesterday that we
9 had about four or five hours worth of testimony that we had
10 to reduce, hopefully, into ninety minutes. We didn't make
11 that, but we came close.

12 And perhaps you want to break
13 for lunch now and give them an opportunity to respond, and
14 we would like to conclude this hearing today.

15 MR. PADILLA: Mr. Chairman,
16 earlier I objected for the same reason, especially when Ex-
17 hibits Number Seven and Eight were -- at least Exhibit Seven
18 was being presented by Mr. Greer.

19 In looking at Exhibits Seven
20 and Eight, most of that information is entirely new evi-
21 dence. The question on (unclear) and the questions on
22 reservoir materials presented by Mr. Greer this morning are
23 entirely different.

24 On Friday Koch reviewed our
25 testimony, engineering testimony that was going to be pre-

1 sented through Mr. Bennett. We thought at that time that
2 that might be cumulative evidence and it might not be neces-
3 sary in light of the Commission's admonition of shortening
4 the hearing.

5 Part of what we were going to introduce
6 through Mr. Bennett involved reservoir studies of fractured
7 formations and anticipating whether or not Mr. Bennett, who
8 also had a conflict today, and in deciding whether or not we
9 should put on -- we needed him today here, we anticipated
10 that we would be looking at some type of rebuttal and the
11 scope of the testimony would be on rebuttal.

12 We do not have that type of case and it's
13 evident that we've been somehow set up in trying to --
14 trying to view Mr. Greer's testimony today.

15 So I would concur and I would join Mr.
16 Lopez' motion.

17 MR. STAMETS: The Commission is
18 going to not continue this case. We are going to allow it
19 to go to conclusion today.

20 Each side was aware of that
21 when we concluded last week.

22 I don't think that the testi-
23 mony that we've heard today is new, startling, or unavail-
24 able to anybody, and at best, we would take a recess till
25 1:00 o'clock if that's everybody's choice, and allow you to

1 organize the data that you have, and certainly we did not
2 suggest that you leave any of your experts at home for to-
3 day.

4 MR. PADILLA: Well, if I may
5 respond to that, Mr. Chairman.

6 Normally we follow, and I
7 believe the rules of the Commission state that the rules of
8 civil procedure will be followed (not understood) on trial
9 to a court. In that event, normally, the rules and the
10 scope of testimony are limited to what has been previously
11 testified to whether it's rebuttal or surrebuttal (not
12 clearly understood).

13 MR. KELLAHIN: Mr. Examiner,
14 point of clarrification. The New Mexico Rules of Civil Pro-
15 cedure do not concur with Mr. Padilla's analysis of those
16 rules. You are not limited to rebut only that information
17 that is presented on direct, and they are not so construed.

18 MR. PADILLA: Well, you're cer-
19 tainly not allowed to introduce or bring in entirely new
20 testimony on rebuttal.

21 MR. STAMETS: The Commission
22 does not believe that we heard anything new this morning.

23 We believe we heard simply a
24 massaging (sic) of information which had been presented in
25 one form or another in this case at an earlier date.

1 Also, I believe that -- that it
2 says we are going to follow those rules generally but not
3 exactly, and this is going to have to be one of those times
4 when we follow them generally. I don't consider any of the
5 participants here without resources or disarmed or without
6 experts of high caliber who are capable of going on with
7 this hearing today.

8 And since the time is as it is,
9 we're going to recess till 1:00 o'clock and allow those --

10
11 (Thereupon the noon recess was taken.)

12
13 MR. STAMETS: The hearing will
14 please come to order.

15 Where is Mr. Lopez?

16 MR. PADILLA: I would like to
17 cross examine Mr. Roe at this time.

18 MR. STAMETS: Very good.

19
20 CROSS EXAMINATION

21 BY MR. PADILLA:

22 Q Mr. Roe, let me direct your attention to
23 a few things you testified about this morning.

24 It's my understanding that -- that based
25 upon the schedule that you have on page number one, Dugan

1 has approximately eight wells in the Gavilan-Mancos Pool, is
2 that correct?

3 A I have listed four wells that we -- are
4 actual wells, and four additional wells that are planned;
5 they are locations for planned wells.

6 Q In other words, only the ones with the
7 figures on columns -- well, I'll just column, the first col-
8 umn on cumulative production is the only wells that show any
9 production there are the ones that are producing, is that
10 correct?

11 A Yes, sir.

12 Q Let's go now to the June 6th, 1986, pro-
13 duction, and let me ask you to identify for the Dugan
14 Production the June production was 228 barrels a day, is
15 that correct?

16 A Yes, sir. I have indicated that during
17 the month of June Dugan could have produced 228 barrels. Of
18 that 228 you'll notice that 40 of it has subscript E, which
19 means we don't have a pipeline connection for that well and
20 if we could get permission to vent the gas, it's my best
21 estimate it would produce 40, but what we actually produced
22 was 188 barrels of oil per day, and that is an actual
23 number.

24 Q Going across the exhibit, then with the
25 proposed allowable, you still have a figure of 228 barrels,

1 is that correct?

2 A Yes, sir.

3 Q So you show no reduction of allowable
4 (inaudible to the reporter.)

5 A That is correct.

6 Q And the same applies with respect to the
7 last column.

8 A Yes, sir.

9 Q Let's go on down to the Mallon group of
10 wells and you show for June an average daily production of
11 1811 barrels a day, is that right?

12 A Yes, sir.

13 Q Under your proposal they would have a re-
14 duction of 772 barrels or a reduction to 772 barrels.

15 A Yes, sir.

16 Q Approximately how much of a reduction is
17 that?

18 A Okay, under the existing, actual condi-
19 tions, June '86, the number right below the 1811 indicates
20 that Mallon Oil has 19-1/2 percent of the production or po-
21 tential that would -- could exist during June.

22 Q Now, Mr. Roe, this is not based on the
23 number of proration units that Mallon operates, correct?

24 A I'm sorry.

25 Q In other words, there's no acreage factor

1 in this computation.

2 A No, sir, it's strictly based on barrels
3 of oil per day.

4 Q Okay. Now, let me go back to my previous
5 question. What's the approximate reduction -- or let me ask
6 you this question instead.

7 Would you agree that the reduction from
8 1,811 to 772 would be greater than 50 percent?

9 A Yes, sir.

10 Q Now let's go on to the next page and I'd
11 like to ask you some questions with regard to the McHugh
12 wells.

13 In looking at the McHugh wells would you
14 agree with me that only, possibly only one well of all the
15 wells listed in that is capable of producing like the first
16 three Mallon wells on the first page?

17 A Only one well?

18 Q Yes, the one that's right in the middle
19 of the page. The one that produces 619 and another, the Na-
20 tive Son No. 2 produces 440.

21 A I think we need to clarify one thing just
22 a little. Basically most of McHugh's wells are producing
23 against pipeline pressure, which is averaging around 250
24 pounds.

25 If we had our wells, a lot of which are

1 flowing, producing into a gathering system which has a lower
2 operating pressure, such as Mallon's wells, our wells might
3 be a little higher during June than they are. They're later
4 in their productive life and McHugh has had higher producti-
5 vity from his wells. But basically, under existing pipeline
6 conditions your assessment is correct; there is only one
7 well that's capable of producing higher rates at --

8 Q Would reducing the GOR reduce the pipe-
9 line pressure?

10 A No.

11 Q You're producing directly into the pipe-
12 line, is that correct?

13 A Yes.

14 Q No gathering system whatsoever?

15 A Well, that's not true. Mr. McHugh has
16 installed several gathering systems in order to deliver gas.
17 That is -- that is correct, but he has not installed com-
18 pression or processing facilities such as Mallon has.

19 Q In other words, what you're telling me is
20 that if you reduce the oil allowable there is a possibility
21 that most of these McHugh wells would run up to 200 barrels
22 a day.

23 A I think I have some numbers on -- on my
24 tabulation that would basically reflect what you're trying
25 to get at. For instance, during the month of June '86

1 McHugh's wells represented 39.7 percent of the total pool
2 production. That is the number that lies right below the
3 daily average production during June.

4 Under McHugh's proposed application his
5 -- rather than 39.7 percent of the total production, McHugh
6 would only produce 37.5 percent of the total production, so
7 in fact his total production with respect to the total would
8 actually be decreased and that was basically my comments
9 with respect to Koch's exhibits, is -- is McHugh would
10 experience actual reduction in percent of the total pool.

11 Now any operator that basically has small
12 volume wells isn't going to be affected as much as the oper-
13 ators with larger volume wells, and that is correct.

14 Q Well, let's look at your subtotal line on
15 the bottom of page two. The deduction as you have calculated
16 it for June 1986 production of 36 -- 2,686 to your proposal
17 of 2,035 is a reduction that's over 50 percent, correct?

18 In other words, you're not going to be
19 cut as drastically as Mallon wells would be cut.

20 A That is correct. Mallon Oil will, if you
21 look at the percentages underneath Mallon's production, he
22 will share or carry a larger burden, in other words, exist-
23 ing he has 19-1/2 percent of the total pool. Under the
24 existing proposal of McHugh's application, he would have
25 14.2 percent of the total pool. So he would take a greater

1 percentage but he -- his wells are causing a big part of the
2 problem that we're concerned with. A lot of my pressure
3 data did indicate that we are -- his wells are likely drain-
4 ing more than 320 acres.

5 And that was the big part of my presenta-
6 tion in Exhibit Number Two.

7 Q And you've also shown here that McHugh
8 has 28 wells, is that correct?

9 A Again, there's 28 entries on this tabu-
10 lation. There's actually only 23 completions and 5 loca-
11 tions.

12 Q Of these wells listed here you already
13 have a cumulative production of 1.3-million barrels of oil,
14 isn't --

15 A Yes, sir.

16 Q -- that also correct?

17 A Yes, sir.

18 Q A little greater than 1.3-million.

19 A Yes, sir. We've been producing those
20 wells since early -- or the latter part of 1983, also.

21 Q So let me see if I understand this cor-
22 rectly. We have -- Mallon is going to suffer the larger re-
23 duction. McHugh has already produced a considerable amount
24 of oil from the pool and now you're asking Mallon in your
25 proposal to have further reduction, a disproportionate re-

1 duction, isn't that true, in a nutshell?

2 A Well, that's -- from the standpoint of
3 just cranking through the numbers, that's the way it is,
4 yes, but part of my testimony was that the allowable of 702
5 barrels a day allows the wells capable of producing that
6 much of draining areas that exceed the 320-acre unit that
7 they have allocated to them, and I feel we've substantiated
8 that fairly -- fairly conclusively with pressure measure-
9 ments between Mallon's wells and Dugan Production's wells or
10 Mallon's and Canada Ojitos wells.

11 Q Well, would you agree with me that the
12 number of wells out in the field is in direct proportion to
13 the spacing?

14 A I'm sorry, the number of wells is --

15 Q The number of wells out in the Gavilan-
16 Nancos Pool is directly proportional as far as the spacing
17 rules.

18 A Yes.

19 Q For every well there's a 320-acre prora-
20 tion unit.

21 A Yes, sir, I'd agree with that.

22 Q And that's -- those are the rules that --

23 A Well, that's not true. There is one
24 spacing unit that has two wells in it, which is operated by
25 Mr. --

1 Q Possibly with an exception, valid excep-
2 tion.

3 A Yes. There is one authorized exception,
4 yes, sir.

5 Q If we go on an acreage basis, just from
6 looking at your Exhibit Number Three, Dugan has eight prora-
7 tion units out there. He doesn't have a whole lot of pro-
8 duction.

9 Mallon has six wells and they have quite
10 a bit of production.

11 And McHugh -- well, three of those wells,
12 Mallon wells, have quite a bit of production, but on an ac-
13 reage basis McHugh as a disproportionate number of proration
14 units, isn't that correct?

15 A McHugh has a larger acreage position in
16 this area and he has been more expeditious in developing his
17 acreage, that is correct.

18 Now, I might add, you know, Dugan Produc-
19 tion has we -- it's true, we only operate four wells but we
20 do have an interest in 38 wells that exist in the pool.

21 Dugan Production's acreage position is
22 about the third largest in the pool, which brings back Meri-
23 dian's witness testified to the real way to analyze this in
24 the impact upon individual companies would be from a net in-
25 terest basis. That would be a much more tedious calculation

1 and we did not -- the true impact upon each operator is not
2 --

3 Q It's not reflected in your exhibits, is
4 that correct?

5 A That is correct. In other words, you
6 have to look at the net interest in each well and I was not
7 prepared to make that calculation.

8 Q Let me quickly have you refer to your Ex-
9 hibit Number Four and ask you, sir, to -- do you agree with
10 me that this exhibit does not show an acreage factor in it?

11 A I'm not sure I understand what you mean,
12 an acreage factor.

13 Q Well, looking at Exhibit Number Three,
14 McHugh has at least 28 proration units out there and if I
15 look at the little, yellow rectangles here, that -- there's
16 no acreage computation or factor in that --

17 A In other words, what's presented there is
18 basically the wells operated by Mr. McHugh, that's correct.

19 In other words, I have not made an effort
20 to account for only McHugh's ownership in the total pool, as
21 I haven't in Dugan's or any others.

22 What I've presented here would be basic-
23 ally the wells operated by each operator.

24 MR. PADILLA: I believe that's
25 all I have, Mr. Examiner -- Mr. Chairman.

1 MR. STANETS: Next? The wit-
2 ness may be excused.

3

4

5 GREGORY B. HUENI,
6 being called as a witness and having been previously sworn
7 and remaining under oath, testified as follows, to-wit:

7

8

DIRECT EXAMINATION

9 BY MR. LOPEZ:

10 Q The record will show that you're still
11 under oath and that you're the same Mr. Hueni that testified
12 previously in these hearings.

13 Have you had an opportunity to review the
14 testimony and evidence presented by Mr. Greer this morning
15 in this hearing?

16 A Yes, I have.

17 Q Over the lunch hour?

18 A Yes, I have.

19 Q And if so, I would like you to comment on
20 this, please.

21 A Yes, we have reviewed the information
22 presented in Mr. Greer's exhibits.

23 What I'd like to do is I'd like to look
24 at the various exhibits he presented and comment with re-
25 spect to those individually.

1 Before we would look at the first one,
2 I'd like to make a general statement that gas cap expansion
3 is not a bizarre phenomenon that happens in reservoirs; that
4 it is something that's been observed worldwide and, in fact,
5 it's the same equivalent, or more or less equivalent to the
6 gravity drainage that Mr. Roe discussed in his testimony, as
7 well.

8 So it's not -- it's not a bizarre pheno-
9 menon and it is one which we still believe is one of the
10 principal mechanisms for production in this particular
11 field.

12 If possible, I would like to refer now to
13 the BMG exhibit with the yellow cover on it and I'd like to
14 try and comment on the various exhibits within this overall
15 exhibit that are perhaps pertinent.

16 The first plot following the title of the
17 exhibit is a blue sheet which was taken from our report,
18 which shows oil production and it shows gas/oil ratio, and
19 it has circled in the period 1985-1986 the gas/oil ratio in-
20 formation and it is designated as -- or a handwritten note
21 saying that this is wrong.

22 The data that we have presented includes
23 two wells that Greer elected to exclude. That was the Gavi-
24 lan Howard No. 1 and the Gavilan No. 1. Both of those wells
25 are wells in which we unfortunately don't know the exact

1 amount of gas being derived from the Mancos formation as op-
2 posed to the Dakota formation. It is perhaps not completely
3 correct to characterize this as wrong. It's simply there is
4 a certain amount of gas production that is attributable to,
5 perhaps, the Dakota in those two wells that should not be
6 included in the Mancos, but unfortunately nobody really
7 knows what the volume of that -- that gas production is.
8 So, we have included those two wells in this plot. We men-
9 tioned in our direct testimony that we recognize the diffi-
10 culty of doing that and subsequently we had referred to the
11 gas/oil ratio information presented by Mr. Roe, which ex-
12 cludes the Gavilan No. 1 and the Gavilan Howard.

13 That gas/oil ratio information was pre-
14 sented as a plot of pressure and gas/oil ratio versus pool
15 total cumulative oil production. It showed pressure trends
16 for individual wells. It showed the producing gas/oil ratio
17 from 1984 through, I believe, June of 1986. It showed what
18 they interpreted to be the PVT data, indicated solution GOR.

19 They had two lines on that, a 588 and a
20 489 line. This is one of the exhibits in -- in the yellow
21 notebook, is this particular plot.

22 We would like to note with respect to
23 that plot that once again, that a pool total cumulative oil
24 production of 200,000 barrels, a gas/oil ratio goes to a
25 value greater than the solution gas/oil ratio. We've had --

1 we've heard the argument that the bubble point pressure is a
2 value lower than the one we used in our analysis. Our ana-
3 lysis was based on a bubble point pressure of 1770, which
4 pressure was reached about the same time that the solution
5 GOR went greater than the PVT data indicated GOR.

6 We realize the difficulties in obtaining
7 good fluid samples and representative fluid samples, and we
8 don't underestimate those -- those difficulties, but we be-
9 lieve that the fluid sample data has to be in agreement with
10 field producing conditions and this is actual producing con-
11 ditions that have indicated that we have production of free
12 gas from the reservoir, and that can only occur if we drop
13 below the bubble point pressure over a large area of the re-
14 servoir.

15 So we have used as an indication that the
16 bubble point pressure is higher the actual field producing
17 GOR behavior, as shown on that particular plot.

18 I'd like to move to the next page back,
19 which is a pink sheet. It is a Horner solution gas drive
20 analysis run for the -- the Gavilan Mancos Pool. We have
21 once again curves showing predicted GOR and actual GOR, ac-
22 tual pressure and predicted pressure, and we have on that
23 particular exhibit, we have our predicted GOR -- well, we
24 have the notes that -- that Mr. Greer has penciled in; our
25 predicted GOR being 3100, the Greer predicted GOR being 2200.

1 It was his contention that that was not a
2 result of the difference in fluid properties but more a dif-
3 ference in the rock properties, as well as, perhaps, some
4 incorrect calculation of solution gas drive performance.

5 I'm not sure how to respond to that, that
6 type of criticism, other than the fact that we have used
7 this program in several studies. We've hand-checked it.
8 We've checked it against published literature data, and it
9 has been consistently valid in all cases and we see no
10 reason why it should experience some sort of problem in this
11 particular calculation.

12 We would note that regardless of whether
13 we would take our curve, where we predict a GOR of 3100 or
14 Greer's curve, where we predict a GOR of 2200, both of those
15 are far in excess of the actual GOR that's been realized in
16 the field, which has been between 1000 and 1500.

17 We would like to next turn to the tab
18 marked Section A. It is a reservoir fluid study performed
19 -- it is information taken from a reservoir fluid study per-
20 formed for McHugh and Associates on the Loddy No. 1 Well.

21 We would like to make the point with re-
22 spect to any kind of fluid analyses that in order to have a
23 valid fluid analysis the reservoir fluid cannot be disturbed
24 either prior to the sampling, either by production from the
25 field or by pressure drawdown at the well itself in which

1 The sample was taken. In essentially all of the fluid
2 samples which we've seen presented by Mr. Greer, there is a
3 very distinct possibility that the drawdown in the vicinity
4 of the wellbore was sufficient over an extended period of
5 time to cause gas to come -- to evolve from the oil, such
6 that the gas that's recovered in the sample chamber is less
7 than that originally contained in the oil.

8 Once again, if this is not the case, it's
9 very difficult to explain the production of free gas prior
10 to after 200,000 barrels of cumulative production.

11 We -- we have reviewed the Loddy No. 1
12 data. If we would turn in this particular set of
13 information back, let's see, there is the title page, there
14 is a page that gives reservoir fluid analysis, formation
15 characteristics, and well characteristics. Following that
16 is a summary of samples received in laboratory. Following
17 that is a hydrocarbon analysis of reservoir fluid sample.
18 Following that is a volumetric data reservoir fluid sample.
19 The next page back, which is 5 of 12 is a pressure volume
20 relations, and finally, on page 6 of 12 there is
21 differential vaporization data presented at a temperature of
22 170 degrees Fahrenheit.

23 The -- this differential vaporization
24 data goes from the lab test of bubble point pressure of 1482
25 at which they record a solution gas/oil ratio of 588, and

1 then it goes for pressures below that.

2 It also indicates the relative oil volume
3 factor column, which is the third from the left.

4 If we would read subscript 1 on the solu-
5 tion gas/oil ratio column, it indicates cubic feet of gas at
6 15.025 psia and 60 degrees Fahrenheit per barrel of residual
7 oil at 60 degrees Fahrenheit.

8 It does not indicate that that is per
9 barrel of stock tank oil.

10 Reservoir engineers before they perform
11 reservoir engineering calculations have to make the conver-
12 sion from a residual oil basis to a stock tank barrel oil
13 basis. In order to do that you have to use separator tests
14 run on the crude sample that reflect the field separator
15 conditions.

16 So the differential vaporization data
17 presented on page 6 of 12 cannot be used directly in reser-
18 voir engineering analysis.

19 To the best of my knowledge in reviewing
20 all the data that's been -- or all the calculations that's
21 been done on the Canado Ojitos Unit, as well as on the Gavi-
22 lan-Mancos Pool up to this point in time, nobody has made
23 that conversion, which is required and is very clearly ex-
24 plained in classical reservoir engineering texts, such as
25 Amex, Bass, and Whiting. (sic)

1 It is essential to make that -- that cor-
2 rection before you do any reservoir engineering analysis and
3 that is the reason we have separator tests.

4 Now, when we said that we used separator
5 test data, contrary to what Mr. Greer said that that's
6 highly inaccurate, basically it is extremely necessary to
7 make that separator test correction to the differential
8 vaporization data prior to using the data in the calcula-
9 tions.

10 So we have basically used the differen-
11 tial vaporization corrected for actual field separator con-
12 ditions, which has not been done by any of the other parties
13 to the best of our knowledge.

14 We would like to move from that particu-
15 lar chart to the next tab in Mr. Greer's exhibit, which is
16 charts -- or which is Tab B.

17 Following Tab B there is a set of rock
18 property curves, relative permeability of fractured forma-
19 tions, plotted as versus total liquid saturation percent of
20 pore space. As we indicated in our testimony and as Mr.
21 Greer has indicated in his testimony, the curves used in
22 calculation are the same one as shown by the dashed line.

23 For some reason, well, the next page, the
24 pink page is an expansion of the chart, particularly for
25 values of total liquid saturation in the lower end of the

1 range, or the higher end of the liquid saturation range,
2 running from 90 to 100 percent total liquid saturation, and
3 ne indicates that there is a non-linear behavior in that, in
4 that area, and hypothesized, perhaps, I didn't take into ac-
5 count this non-linear behavior.

6 I would say that if we took the results
7 of my Horner solution gas drive analysis, the values of $KgKo$
8 versus total liquid saturation and plotted those points on
9 this non-linear relative permeability curve, we would find
10 that my points fall directly on top of that curve.

11 So it is not a matter of using incorrect
12 relative permeability data.

13 If we would turn to the next page follow-
14 ing the pink sheet, turn to the gold sheet, which is titled
15 Calculated Solution Gas Drive Production Histories for Frac-
16 tured Formations, and we see a plot of pressure and produc-
17 ing gas oil ratio versus recovery, we would note on this
18 particular -- on this particular chart that at a given pres-
19 sure level the gas/oil ratio should be relatively constant
20 for the field, and it's not constant for the field. There
21 are wells that produce widely varying GOR's. We've seen
22 examples of wells presented by Mr. Roe in his exhibits,
23 which we'll look at later, that indicate very high GOR's,
24 but there are many, many more wells that have much more
25 moderate GOR's that are not increasing to the extent that

1 Mr. Roe indicated that the McHugh wells are increasing.

2 If we would turn to Tab C, this is visco-
3 sity data at 170 degrees Fahrenheit. I don't believe that I
4 have any differences with this information.

5 So we then move beyond that tab to Tab
6 D, where Mr. Greer has calculated -- he's calculated the
7 liquid saturation for the Native Son No. 2 for four points
8 in time, December, 1985, through June, 1986. He's used the
9 data that's shown in that calculation. He's used an equa-
10 tion that's designated with an asterisk.

11 At the bottom of the page it says the
12 relative permeability ratio is equal to this producing GOR,
13 which is R minus the dissolved GOR, and then it is adjusted
14 for U_g and U_o and there should be a division sign between
15 the B_o and the B_g values; those shouldn't be one following
16 right on to the other. That's not correct.

17 But we would use the exact same equation.
18 We believe that is a good indication of what K_{gK_o} is and
19 from that we could imply some liquid saturation for the well
20 itself.

21 The one thing that we would have to note
22 about this is that this calculation assumes that all the gas
23 is coming as solution gas from the oil zone and it doesn't
24 give any possibility for gas coming from the gas cap itself
25 or from the higher regions of the reservoir to make this

1 kind of calculation.

2 But we would note with respect to that,
3 if we skipped over the green page and we went then to the
4 Kgko estimates from the Native Son No. 2 production data,
5 that for the assumed bubble point pressure of 1500 psi, that
6 the points that are shown December '85 through June of '86
7 fail to fall on the dashed curve, which is a curve of rela-
8 tive permeability ratio versus liquid saturation.

9 If we were to assume a higher bubble
10 point pressure those curves once again approach the dashed
11 curve that is shown -- shown on the sheet.

12 It appears that the assumed bubble point
13 pressure of 1600 psi tends to give the best match to the
14 dashed curve, indicating once again a higher bubble point
15 pressure than that reported on the laboratory analyses, so
16 once again we don't believe the laboratory analyses are cor-
17 rect. We recognize the difficulty in making this kind of
18 calculation because the gas from the Native Son No. 2, we
19 don't really know if it's coming from the oil zone or from
20 the gas, the gas saturated region at the top of the reser-
21 voir.

22 If we turn to Tab E, there is a section
23 taken from our report on the fluid properties. This sec-
24 tion, which is highlighted, states that the remaining sam-
25 ples were both taken after significant production from their

1 respective pools and it could not be determined if the lab
2 reported bubble point pressure reflected true reservoir con-
3 ditions or if some gas evolution had occurred prior to samp-
4 ling.

5 Once again gas evolution can take place
6 because of withdrawals from the reservoir as a whole or it
7 can take place as a result of withdrawals from the specific
8 well that is -- from which a sample is being taken.

9 He characterized as taking a higher bub-
10 ble point pressure a desparate act on our part. It wasn't a
11 desparate act on our part. It was simply trying to take a
12 bubble point pressure that gave us a gas/oil ratio perfor-
13 mance consistent with observed field performance for the
14 Gavilan-Mancos Pool.

15 We would also note that in his direct
16 testimony Mr. Greer testified initially that the reservoir
17 oil in the Gavilan-Mancos Pool may have been very close to
18 the bubble point pressure at the time it was -- was de-
19 scribed.

20 If that is the case, then I would have to
21 say that our value of 1770 is more accurate than what's in-
22 dicated on the fluid property analyses.

23 I would like to turn to the second of the
24 foldouts which is in that section, that shows a -- the log
25 sections for the Howard No. 1-A, the Canada Ojitos Unit E-6,

1 they've observed fractures, more than a single fracture,
2 more than one parallel fracture in the core itself, so we
3 know that the fracture density is quite high.

4 They've also observed intersecting frac-
5 tures in at least one case, so all fractures are not neces-
6 sarily oriented exactly -- exactly parallel.

7 MR. LOPEZ: I think Mr. Hueni
8 said Habenmeyer (sic) and I think it's Emmendorfer.

9 A I'm sorry, that's correct.

10 We would note with respect to this that
11 one of the comments that was made dealt with the productiv-
12 ity of a well in which both the A and B zones, I believe,
13 were perforated and stimulated, and that a bridge plug was
14 set between the A and B zones. The A zone was not terribly
15 productive, so the bridge plug was withdrawn and the produc-
16 tion increased.

17 With respect to that comment we would
18 have to say that that is normally to be expected. You com-
19 plete in the larger section, you get more productivity, and
20 that is basically what we would expect from a particular
21 well. I don't necessarily believe that that means that
22 there's no vertical communication between the two zones.

23 Following the foldout is a correlation of
24 bottom hole sample data. These correlations that are pre-
25 sented here, and in general all correlations for oil pro-

1 perties, are based on certain assumptions and one of those
2 assumptions is that the gas that is recovered from the well
3 is all that is dissolved in the oil at whatever the reser-
4 voir pressure is at the time the well is flowed.

5 In the event the gas escapes from the oil
6 prior to reaching the wellbore, or in the event that free
7 gas is produced, these correlations are not valid. In using
8 such correlations, therefore, it's simply making the assump-
9 tion that -- well, it's basically assuming the answer and
10 then -- and then using the correlations to prove the answer.

11 Turning beyond the yellow sheets to the
12 comparison of core analysis with gamma ray induction log in-
13 formation, we would note that this particular well that is
14 shown here is a well that's not located anywhere in the vi-
15 cinity of Gavilan-Mancos Pool, and we cannot comment as to
16 the relevancy of that particular pool with respect to the
17 Gavilan-Mancos Pool. We believe that there are significant
18 differences between Gavilan-Mancos and the Canada Ojitos
19 Unit. In that, between those two areas we might expect that
20 -- that if we go even further away, that we would still have
21 other differences that would occur.

22 We talked, or mention was made of a 600-
23 foot producing interval being -- that we had used a 600-foot
24 producing interval as being the basis on which we made our
25 calculations.

1 We used a 600-foot interval as perhaps
2 the maximum thickness that we saw productive out there in
3 order to arrive at a permeability. By dividing by 600 feet
4 we ended up with a lower permeability estimate than we would
5 of had we used, say, 200 feet or 300 feet.

6 We frankly are not sure what the overall
7 producing interval thickness is ourselves, but we felt that
8 we would err on the conservative side, get a lower perme-
9 ability, if we used the maximum thickness that we say, and
10 that is typically perforated by many operators out there.

11 Q Would you care to comment on your opinion
12 with respect to whether -- whatever that is, whether it's
13 consistent throughout the pool?

14 A The --

15 Q The producing intervals?

16 A Well, the producing interval is not going
17 to be -- is not necessarily going to be consistent through-
18 out the pool. That is going to depend on the degree of
19 fracturing and the degree to which those fractures are
20 interconnected.

21 It also will depend on -- potentially on
22 the completion interval and the size of the frac job, as
23 well.

24 If we would move to Tab 5, or I'm sorry,
25 Tab F, in which the history is presented for the Canada

1 Ojitos Unit No. 2. Prior to actually recovering a fluid
2 sample that's used in the analysis, we would note that in
3 this producing history, that the well produced several days
4 before it was sampled. It was a low productivity well. It
5 had a high pressure drawdown. That pressure drawdown was
6 shown on the pink sheet.

7 It showed a well flowing pressure as low
8 as 800 psi at the wellbore, such that -- which considerable
9 below what any of us believe the bottom hole pressure or the
10 bubble point pressure might be for the particular reservoir.

11 So there is certainly ample opportunity
12 for gas to escape from the oil during this period of pres-
13 sure drawdown prior to actually recovering the sample itself
14 in this particular well.

15 So once again, we have the possibility,
16 not only the possibility, the probability that the -- that
17 some gas had escaped from the oil prior to sampling and as a
18 consequence the bubble point pressure was higher than recor-
19 ded on the CORE Laboratories information, which was presen-
20 ted in the yellow sheets, or the gold sheets for that parti-
21 cular tab.

22 If we turn to Tab G, the Canada Ojitos
23 Unit L-11, once again we are presented with the operations
24 that occurred at completion and then mention was made that
25 this well produced over 100,000 barrels of oil prior to ac-

1 tually being sampled.

2 There was an attempt made to produce the
3 well at low rates for a period of time prior to sampling but
4 it's highly unlikely in this fairly thick reservoir that
5 sufficient oil was withdrawn during the conditioning period
6 to actually remove all the oil that might have a lower gas-
7 /oil ratio, and once again, there was substantial production
8 that occurred in this particular well.

9 If we would now turn to Tab -- no, still
10 under that tab but following the yellow sheets, we would
11 turn to the white sheet, which is a presentation of pressure
12 versus cumulative production for the Canada Ojitos Unit. It
13 is the pressure measured at datum of plus 1195 feet expres-
14 sed in terms of pounds per square inch versus cumulative
15 production in hundreds of thousands of barrels.

16 In this particular plot, if I heard cor-
17 rectly, there was an indication that the field produced for
18 a period of time at pressure above the bubble point, at
19 which point during which time the pressure decline was 3000
20 barrels of oil produced per psi pressure drawdown in the re-
21 servoir.

22 Subsequently, when the entire reservoir
23 fell below the bubble point pressure, the rate of pressure
24 decline decreased from 3000 or -- well, it decreased but it
25 caused then an increase in recovery per psi -- per psi drop

1 of reservoir pressure, and such that we then went in the
2 period from 8-million to 12 -- from 800,000 to 1.2-million
3 cubic -- barrels of production. We then had a 7000 barrel
4 per psi pressure drop.

5 If you would recall the pressure versus
6 cumulative production plots that we showed in our exhibit,
7 we showed that pressure versus cumulative production is not
8 concave upward. In other words, the pressure tends to be --
9 stay flat for an extended period of time and it's actually
10 maybe increased a little bit with increase in production
11 recently.

12 In other words, we don't have this two --
13 two slope curve of pressure versus production that's present-
14 ed for the Canada Ojitos Unit. That is indicative of the
15 fact that the reservoir in the Gavilan-Mancos Pool was at
16 the bubble point to begin with, and continues above the bub-
17 ble point. We've never seen any kind of break indicating a
18 change in the number of barrels that can be produced per psi
19 drawdown in the reservoir.

20 And we have pointed that out previously.

21 The other thing that might be of interest
22 is the fact that in the Canada Ojitos Unit this break occurs
23 at approximately July 20th, 1965, when the pressure is at
24 approximately 1520 psi, measured at a datum of 1195 feet.
25 That was after production of what appears to be about

1 300,000 barrels of oil.

2 If we were to correct from the datum
3 depth of 1195 feet down to a datum depth of 370 feet, which
4 is more appropriate for the Gavilan-Mancos Pool, then we
5 would add on approximately 240 psi to the point at which
6 this curve breaks. That would put the pressure in the Gavi-
7 lan-Mancos Pool at which this break would occur at about --
8 at over 1700 pounds, approaching 1750 psi, once again an in-
9 dication that the bubble point pressure in the Gavilan-Man-
10 cos Pool is more on the range of 1750 psi.

11 Q Greg, I think earlier on this point you
12 misspoke and said production above rather than below the
13 bubble point.

14 I think this is a very important point in
15 our presentation and would ask you to go over this point
16 again, if you would, please.

17 A Okay. The pressure versus cumulative
18 production plot can be -- well, if we have a reservoir that
19 has pressures that are in excess of the bubble point pres-
20 sure, in other words, we have no free gas, the only thing
21 that can take the place of the oil that's been withdrawn
22 from the reservoir is the expansion of the remaining fluid,
23 plus any, let's say, contraction of the pore space itself.
24 And as a result of that, those two being the only influences
25 we can see, we would expect to see pressure drop quite rap-

1 idly as fluid is withdrawn from the reservoir.

2 So -- and then when we go to pressures
3 below the bubble point where we have a free gas saturation
4 in the reservoir, then that gas has a great -- greater de-
5 gree of compressibility or expansibility (sic) and so we can
6 take out, provided we don't take out the gas with the oil,
7 we can take out more oil and per psi of pressure drawdown.

8 Normally you expect to see in a reservoir
9 that is what we call under saturated or above the bubble
10 point, you expect to see a period of rapid pressure decline
11 followed by a period of less substantial pressure decline,
12 and that is what we've observed for the Canada Ojitos Unit,
13 but it is not what we have observed for the Gavilan-Mancos
14 Pool.

15 We have a final tab in that presentation.
16 It is Tab H. It is the production history taken from our
17 report for the McHugh Native Son No. 1 and the Homestead
18 Ranch No. 2, indicating a very low gas/oil ratio for those
19 two wells, for those two particular wells.

20 We had used that as evidence of migration
21 already occurring. That's not our only evidence of migra-
22 tion but that is one, one set of evidence of migration. It
23 was pointed out, and I think probably correctly so, that --
24 in fact, Mr. Lyon pointed it out -- that for that kind of
25 low GOR that we see for the Native Son No. 1, that is not

1 consistent with what the flowing bottom hole pressure would
2 be.

3 So I would have to agree with Mr. Greer
4 that there is undoubtedly some problem with the reported gas
5 production on this well. I don't know what it is but it
6 does appear that these wells are low gas/oil ratio wells.
7 Unfortunately, if the reported data isn't correct, I don't
8 know what we have to work with.

9 That -- that concludes my review of
10 Greer's exhibits that are contained in this yellow volume
11 and --

12 Q You might as well move right on to the
13 other volumes.

14 A Well, I had an exhibit that I'd like to
15 present.

16 Q Okay, why don't you turn to Exhibit Num-
17 ber Twelve --

18 A Number Twelve?

19 Q Exhibit Twelve.

20 A All right.

21 Q Okay, I'd ask you to refer to what's been
22 marked as Exhibit Number Twelve and ask you to discuss it.

23 A Exhibit Number Twelve is a calculation of
24 oil in place using a material balance approach for the Gavi-
25 lan-Mancos Pool based on the pressure production history

1 that we had presented in our direct testimony, but instead
2 of using a bubble point pressure of 1,770 psi we've revised
3 our fluid properties to include the fluid properties from
4 the Loddy No. 1, which had a bubble point pressure of 1496
5 psi.

6 So we have replaced our table fluid pro-
7 perties in the middle of the page with -- that reflected a
8 higher bubble point pressure of 1770, with these -- this new
9 set of bubble -- of fluid properties from the Loddy No. 1.

10 The bottom of the page indicates the re-
11 sults of our oil in place calculations. In our direct tes-
12 timony we indicated that there would be a period of time in
13 which the reservoir was undersaturated or was partially un-
14 dersaturated, such that the oil in place calculations could
15 not be used during that -- that period of time.

16 As it turns out, in the event that we are
17 so undersaturated that the bubble point pressure is down
18 around 1500 psi, then we will not reach a partially under-
19 saturated condition through at least 1985, so the values of
20 oil in place that are calculated up to 1985 are the values
21 that should be representative of the reservoir, and I think
22 in reviewing this we can see that the oil in place value
23 that would be calculated in this manner is in excess of 400-
24 million barrels. That's just saying that if we can take --
25 that if we have a reservoir that contains an oil with such a

1 low bubble point, then we must have an awful lot of reser
2 voir down there to take out the amount of oil that we've
3 taken out, seeing the kind of pressure drop that we've seen.

4 We do not believe that the oil in place
5 value of 400-million barrels is correct. We don't believe
6 probably that any other people would -- would feel that same
7 way.

8 We went through this type of reasoning
9 when we were doing our study as a basis for, once again, ap-
10 praising what the value of the bubble point pressure was and
11 we -- this is one of the reasons that we once again elected
12 not to use a 1500 psi bubble point pressure. We elected to
13 use the 1770 psi bubble point pressure.

14 Q Okay, now going to the next volume of ex-
15 hibits introduced this morning, would you care to comment on
16 those?

17 A Yes. The next set of exhibits that I
18 have in front of me are contained in a -- in a brown folder.
19 I'm not sure what the exhibit number was on this.

20 Q Exhibit Seven?

21 A Exhibit Seven. On this the first tab
22 following -- in Exhibit Seven is followed by a yellow sheet
23 talking about comparison of porosity and permeability for
24 two systems of fracturing.

25 MR. STAMETS: I believe that's

1 blue.

2 A Wait, what color did I --

3 MR. STAMETS: Yellow.

4 A Yellow. After awhile you get color
5 blind, after awhile.

6 Okay. The first page following Tab A is
7 indeed blue and it is a comparison of porosity and perme-
8 ability for two systems of fracturing.

9 The -- I believe that -- well, the point
10 that we would like to make on this is that we believe that
11 over the Gavilan-Mancos area that there has been, perhaps,
12 more than one event that's led to fracturing, not a single
13 event such as a flexuring shown here, and in combination we
14 would expect that these multiple events would give rise to
15 -- to different degrees of fracture, fracture density and
16 not necessarily a variation in fracture width.

17 So once again, we are now prepared to
18 accept the proposition that porosity is related to the cube
19 root of permeability. That is one possibility but we
20 recognize that in a geologically complex situation that is
21 just one of multiple possibilities.

22 We would like to turn, then, to Tab B.
23 Tab B has a yellow sheet following it.

24 There are several points that are made
25 here. If I were to read the first part of this presentation

1 simply stating, "With respect to Mr. Hueni's response to the
2 chairman's questions about interference tests conducted in
3 the Canada Ojitos Unit, we assume that Mr. Hueni apparently
4 did not understand the nature of the subject interference
5 tests for his responses were to the effect that:

6 1. Interference testing can only show
7 information about the formation between the test wells and
8 is complicated by fracturing.

9 2. The EI, or exponential integral
10 straight line solution does not apply to a heterogeneous
11 reservoir; and

12 3. The best way to determine the
13 reservoir characteristics is from individual well pressure
14 build-up tests."

15 With respect to this we would once again
16 repeat, the best way to determine reservoir characteristics
17 is from individual well pressure build-up tests.

18 We would also repeat that the EI straight
19 line solution does not apply to a highly fractured
20 reservoir. We would like to present our next --

21 Q Exhibit Thirteen. In this connection and
22 in response to the comment, I now ask you to refer to
23 Exhibit Thirteen and explain why you would introduce this
24 exhibit.

25 A Following the statement --

1 Q Okay, I think we're all with you.

2 A The final paragraph following those three
3 points states that, "Since all three of these statements are
4 incorrect as to the subject reservoir and tests, it is as-
5 sumed that Mr. Hueni didn't have time to study them so his
6 failure to correctly assess the tests is understandable;
7 however, his statements are in the record and the record
8 needs to be set straight."

9 I'd like to turn now Exhibit Thirteen,
10 which is a paper published in October, 1983, by the Society
11 of Petroleum Engineers in the Society of Petroleum Engineers
12 Journal.

13 It is a paper written by Tatiana D.
14 Streltsova, a researcher at Exxon Production Research Com-
15 pany, assigned to study naturally fractured reservoir behav-
16 ior.

17 The first page is simply the cover sheet
18 from that paper.

19 The second page indicates that the --
20 that there is a section of that paper that deals with inter-
21 ference test analysis; talks about pressure pattern for in-
22 terference test analysis.

23 And on the third page highlighted is the
24 statement that we would like to set the record straight
25 with.

1 "Therefore, if one uses a conventional
2 analysis based on the EI curve which does not take account
3 the pressure support offered by matrix blocks on drawdown
4 measurements, then the calculated formation permeability
5 will be overestimated."

6 Not only will the formation permeability
7 be overestimated but so will the storativity (sic) of the
8 reservoir.

9 This is the basis on which we said that
10 the permeability and storativity (sic) numbers presented
11 earlier in Mr. Greer's testimony are higher than we believe
12 -- than properly reflect actual reservoir parameters. That
13 is the reason that we have gone with pressure build-up anal-
14 yses. In fact, if we were to read this entire paper, we
15 would see that a conventional Horner plot used on a single
16 well, pressure build-up survey, would provide reasonable es-
17 timates of fracture conductivity.

18 Q What is your opinion with respect to the
19 value and reliability of the paper?

20 A I believe that this is the most recent
21 information that is available on naturally fractured reser-
22 voirs in terms of pressure transient testing. They have
23 taken this and they've -- basically they've updated the work
24 of Warren and Root, which has been quoted in Mr. Greer's
25 testimony, and have shown the failings of the Warren and

1 Root model, and they've used the data presented by Warren
2 and Root, reanalyzed it using the techniques developed in
3 this -- in this paper and have showed the consistency of re-
4 sults.

5 Q If necessary, would you make the entire
6 paper available to the Commission?

7 A Yes, I would.

8 Q Okay.

9 A One final point that I might make with
10 respect to the yellow sheets in that tab, or on page 2, item
11 2, there is a statement in the Canada Ojitos Unit test area,
12 the geometry of the reservoir is that of individual tight
13 blocks surrounding by a high capacity fracture system.

14 Once again, this is exactly the same type
15 of situation identified by Stretlsova in the paper that
16 we've just referenced to.

17 From there on I would have no comments on
18 the exhibits, simply from the fact that I don't believe the
19 exponential integral solution is the appropriate way to an-
20 alyze the tests.

21 Q Okay, now would you refer to the final
22 volume I think was introduced this morning, Exhibit Eight?

23 A Yes.

24 Q And have you comment on that.

25 A Exhibit Number Eight, which is presented

1 in the black folder, on the Greer testimony, in reviewing
2 that information we would like to turn to Tab A and follow-
3 ing Tab A there is a title Geologic Analysis in Naturally
4 Fractured Reservoirs, and then following that sheet we see
5 several plots of -- and one in particular that was high-
6 lighted in pink, it's Figure 1-56, "Fracture porosity as a
7 function of fracture width and fracture spacing".

8 If I understood correctly, the fracture
9 spacing that was selected from this particular exhibit was a
10 fracture spacing of 1000 centimeters, which I believe
11 approximated 30 feet, if I understood correctly.

12 We would note from the information that
13 we have available in terms of fracture density, we would
14 think that the fracture density of one well per 30 foot is
15 -- is excessively large. It would be much smaller than that
16 or that there would be a much tighter fracture spacing than
17 that that's shown highlighted in this particular exhibit.

18 The significance of that, if we would
19 turn, then, to Tab B, if we had a much tighter fracture
20 spacing we believe that the graph that was shown under Tab
21 B, it is the fourth page back, it has a blue line on it,
22 showing radius of circular drainage area versus producing
23 time to establish steady state conditions in days, that if
24 we had a much tighter fracture spacing, the length of time
25 required to establish steady state conditions would be much
shorter than is shown on this particular graph.

1 certainly a reasonable possibility to think that matrix con-
2 tribution exists.

3 I'd like to turn to Section E, which is
4 the conventional core analysis for Mobil's Lindrith B No. 38
5 Well. This presents the results of the CORE Lab studies,
6 showing helium porosity as well as fluid saturations in
7 terms of oil and water saturation.

8 In the center, in the top center of the
9 page under the date and under the formation, it talks about
10 the drilling fluid and in the drilling fluid it talks about
11 it being water based mud.

12 To the extent that water is used as a
13 coring fluid, we would expect some alteration in the water
14 saturation of the -- of the core itself. To what extent
15 that actually occurred is difficult to determine. If you
16 want to obtain an accurate value for water saturation you
17 normally core with an oil base mud.

18 So to assume that the water saturation
19 number as shown on -- on the CORE Lab report is accurate, is
20 -- is not correct.

21 So if we were to turn, then, to Tab F,
22 followed by several yellow sheets, or a couple yellow
23 sheets, and we were to look then at the saturation shown in
24 columns three and four, we would see that those saturations
25 are exactly the same saturations as -- as taken from the
CORE Lab report.

1 We would note, however, that those satur-
2 ations in column four, the water saturation, is undoubtedly
3 disturbed by the fact that they used a water based mud sys-
4 tem, such that when they take a water saturation in column
5 four and subtract it from 100 percent saturation, the ini-
6 tial reservoir oil in place value that's shown in column
7 five is not correct. It is understated.

8 The water saturation in column four is
9 not the connate water saturation of the rock as it existed
10 in the reservoir.

11 So the calculations that follow that are
12 not particularly meaningful, because those are not the cor-
13 rect saturations.

14 If we would turn to the first tab follow-
15 ing -- or the first page following Tab G, which is a plot of
16 water saturation versus permeability, taken from the core
17 data of the Mobil Lindrith B No. 38, this is just an illus-
18 tration that it's not reasonable because the direction of
19 that trend is to the upper right and as was shown two pages
20 later by the -- by the pink tab, the trends for other
21 fields, such as Rangely and Elk Basin, are in a trend run-
22 ning from the upper left to the lower right and the Lindrith
23 B-38 is just opposite from that trend.

24 Well, if we were to look back, then, at
25 the gold trend, that says simply that it is incorrect to

1 plot water saturation versus permeability with the water
2 saturation taken from the core data because that is not con-
3 nate water saturation and that's exactly what that -- that
4 gold sheet implies.

5 We would finally turn to the last section
6 of this exhibit, which is titled Section II, and we note un-
7 der the sample description, we see sample descriptions pri-
8 marily of shale, and we see almost the way through that the
9 interval is fractured. Once again this is not a well that
10 is located directly in the area, the study area that we're
11 concerned with but it does illustrate that shales as well as
12 silts are fractured, such that vertical communication can
13 exist within the reservoir.

14 Q Having heard Mr. Greer's and Mr. Roe's
15 testimony today, would what you've heard and analyzed change
16 the conclusions you reached last Friday, and I'd ask you to
17 elaborate and in this respect ask you to comment on Exhibit
18 Fourteen, when appropriate.

19 A Okay. The conclusions that we drew last
20 Friday, we feel that at this point there is no reason to
21 change those conclusions.

22 Once again we believe gas segregation is
23 occurring. We believe that we have a reservoir that is at a
24 pressure below the bubble point pressure, that it's been
25 that way for a substantial period of time. The gas has

1 evolved from the oil; that it has migrated away from the
2 well to some extent, not completely. There is always some
3 lateral movement of gas as well as vertical movement of gas,
4 resulting in -- in whatever the observed gas/oil ratio
5 values are.

6 With respect to that point, I would like
7 to comment on Mr. Roe's exhibit, that was titled Dugan Pro-
8 duction Corporation Exhibit Number Three, and at the -- at
9 the final three pages of that exhibit, which are titled Ex-
10 hibit Number Five, are gas/oil ratio plots and production
11 plots for three wells, three of McHugh's wells in the field.

12 We would like to note with respect to
13 those three individual well production plots that those
14 three plots are all -- are for wells that are all located in
15 a high depletion area of the field, more or less following
16 along this northwest/southeast trending direction that we've
17 identified through fracture orientation logs, as well as
18 through some fault mapping; that these gas/oil ratios are in
19 structurally down -- or in structurally intermediate wells,
20 not in the structurally highest wells; that the gas/oil
21 ratios have gone up in response to increased production in
22 those specific wells; that they are not representative of
23 current GORs in many of the wells in the field.

24 For example, we could take the current
25 GORs for the Mesa Grande wells and we would find that those

1 in many cases are in the range of 1-to-2000 standard cubic
2 feet per stock tank barrel.

3 So once again we realize the gas/oil
4 ratios can increase very rapidly with a small increase in
5 gas saturation in a given area of the reservoir. We believe
6 that those -- that that particular area of the reservoir has
7 experienced high depletion, historically high depletion, and
8 it is -- has a slightly higher gas -- gas saturation in that
9 area and higher gas/oil ratios as a result.

10 In the Mallon area of the field, based on
11 July production, the Ribyowids 2-16 had a GOR of 1978.

12 The Fisher 2-1 had a GOR of 1,085.

13 The Howard 1-8 had a GOR of 1344.

14 The Howard 1-11, a GOR of 2214.

15 Once again we see variations between
16 individual wells in the field. We don't see GORs that are
17 necessarily as high as they are on the McHugh wells as
18 presented in Exhibit Five.

19 Q I think you're referring to the McHugh
20 wells as Exhibit Five, not Exhibit Three?

21 A Well, it was attached to Exhibit Three.

22 Q Okay, I think it is

23 A Okay.

24 Q And not Exhibit Five, and in this connec-
25 tion were any of those wells -- do any of those wells have
commingled production?

1 A As a matter of fact, in reviewing Exhibit
2 Five we do see commingled production for the ET No. 1 and
3 we note that the amount of gas that's allocated from the Da-
4 kota is only 6 percent. A higher drawdown in that well, as-
5 sociated with increased production, may have resulted in
6 higher gas production out of the Dakota. That's certainly
7 an unknown at this point in time.

8 The other commingled well is the Janet
9 No. 2 and it has 10 percent of its gas allocated as coming
10 from the Dakota, of its total gas.

11 So once again, higher producing rate in
12 that well, we are not sure if there's still 10 percent of
13 the gas coming from the Dakota.

14 The only well that is a single Mancos
15 producer, I believe, is the Native Son No. 2, and in that
16 particular well, while we have an increasing trend in GORs,
17 it is perhaps not quite as high as the other wells.

18 Q I'd now refer you to what's been marked
19 Exhibit Fourteen and ask you to discuss this.

20 A Exhibit Number Fourteen is a presentation
21 of the amount of gas production that is -- would be with-
22 drawn together with the oil production, and depending on the
23 gas/oil ratio limit.

24 Under the present allowable scheme and
25 for the Mobil proposal, unrestricted production limited only

1 by the depth bracket allowable would result in 702 barrels a
2 day of production with a 2000 GOR, implying that as much as
3 1.4-million cubic feet of gas could be withdrawn from --
4 from the reservoir, together with the oil.

5 The McHugh proposal at 200 barrels a day
6 and 1000 GOR represents a reduction down to 200 MCF per day,
7 which is a substantial reduction.

8 In the event that the McHugh proposal
9 were increased in terms of the oil production rate a bit,
10 but on the other hand, the gas/oil ratio declined down to a
11 value of let's say 598, then the gas allowable would in-
12 crease a bit but would still not amount to the volume of gas
13 proposed by either Koch or Mallon.

14 The Koch proposal would provide for a gas
15 allowable of 413 MCF per day; Mallon-Mesa Grande proposal,
16 453 MCF per day.

17 Once again, in our direct testimony,
18 based on the segregation tendencies of gas and oil, physi-
19 cal properties as we can best arrive at them for the
20 Gavilan-Mancos Pool, we have actually calculated a gas
21 withdrawal rate in excess of this 453 MCF per day value that
22 we propose as being sufficient to be withdrawn while still
23 not doing any kind of damage to the reservoir, still permit-
24 ting the gravity segregation tendencies to occur within the
25 reservoir itself.

1 So the Mesa Grande-Mallon proposal does
2 represent a substantial reduction in the amount of gas pro-
3 duction that would come with the oil, and once again it is
4 our conclusion and our belief that it is the gas, free gas
5 production taken from the reservoir, together with the oil,
6 that does damage to the reservoir.

7 We believe that a low GOR provides the
8 incentive to the operator to do the work that is necessary
9 to reduce the GORs. That means sealing off the upper por-
10 tions of the productive interval. Then that provides an in-
11 centive for them to do that.

12 MR. STAMETS: Excuse me, did
13 you say the proposal is to lower the GOR to 626?

14 A That is what our proposal was, was to
15 lower the GOR but not to change the oil -- oil rate.

16 MR. LOPEZ: One hour and 25
17 minutes, Mr. Stamets.

18 MR. STAMETS: All right.
19 That's very good. Are you all through?

20 MR. LOPEZ: We reserve the rest
21 of our three hours to see what we can do with it.

22 MR. STAMETS: Okay. I just
23 somehow think we've already got more hours here today than I
24 had planned on because of the 47 minutes that the pros had
25 left over there.

1 The opponents have completed
2 their direct re-whatever today.

3 MR. KELLAHIN: Does that in-
4 clude Mr. Pearce?

5 MR. PEARCE: Yes, it does.

6 I try to help, Mr. Chairman.

7 MR. STAMETS: Do you choose to
8 use any of your time in cross examination?

9 MR. CARR: I might have just
10 one question in cross examination.

11 We will ask for a brief recess
12 and then we'll be recalling Mr. Greer for some brief testi-
13 mony, which might not require our 47 minutes; might not re-
14 quire even 42.

15

16 CROSS EXAMINATION

17 BY MR. CARR:

18 Q Mr. Hueni, you've studied the reservoir,
19 the Mancos, in this area and as I understand your testimony,
20 you have come up with a theory about the segregation tenden-
21 cies within that reservoir of the gas and oil; gas moving
22 up, the oil moving down.

23 In his first exhibit, Section H, Mr.
24 Greer pointed out some shortcomings in that, the base data.
25 If I understood your testimony, there may be some difficul-

1 ties there but that's what you had to work with, now is that
2 correct?

3 A I'm sorry, which section were you refer-
4 ring to?

5 Q H, H in Exhibit One, the yellow book.

6 A We used the data from the Engineering
7 Subcommittee.

8 Q And if there are problems with that data,
9 that still was what you had to work with.

10 A That is correct.

11 Q And if there are problems with that data,
12 it might affect your conclusions.

13 A I -- I think it would have to be in terms
14 of identifying the reservoir drive mechanism. I think it
15 would have to be extremely substantial problems with the da-
16 ta.

17 Q So you don't need very good data to get
18 your conclusions.

19 A To get -- to understand what's direction-
20 ally correct, that is the case.

21 MR. CARR: Thank you.

22 MR. STAMETS: Mr. Kellahin, any
23 questions?

24 MR. KELLAHIN: No, sir.

25 MR. STAMETS: This witness may

1 be excused.

2 And you all would like a few
3 minutes?

4 MR. CARR: Yes.

5 MR. STAMETS: We'll take a fif-
6 teen minute recess.

7

8 (Thereupon a recess was taken.)

9

10 MR. STAMETS: Mr. Lopez, would
11 you like to introduce your exhibits?

12 MR. LOPEZ: Yes. I would.

13 Were Exhibits Twelve through
14 Fourteen prepared by you or under your supervision?

15 MR. HUENI: Yes, they were.

16 MR. LOPEZ: We'll tender
17 Exhibits Twelve through Fourteen.

18 MR. STAMETS: Without objection
19 they will be admitted.

20 Mr. Carr, do you have some
21 redirect, or Mr. Kellahin?

22 MR. CARR: I have some redirect
23 for Mr. Greer.

24 MR. STAMETS: Are you ready?

25 MR. CARR: Yes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ALBERT R. GREER,
being recalled and remaining under oath, testified as follows, to-wit:

REDIRECT EXAMINATION

BY MR. CARR:

Q Mr. Greer, you've been present this afternoon for the testimony presented by Mr. Hueni, have you not?

A Yes, sir.

Q I'd like to direct your attention to Benson-Montin-Greer Exhibit Number Six, the yellow book, and first direct your attention to the pink page immediately preceding Tab A and ask you to respond to Mr. Hueni's comments concerning this exhibit.

A Yes, sir. Mr. Chairman, I understand that -- what I understood Mr. Hueni to say was that they used this method all over the world and therefore it's okay.

I'm really disappointed. I had hopes that during the noon hour they would have called their office and had a new run made by their computer with points more closely spaced to give us a more accurate reading, but they had time to do some other things with their computer but they didn't evidently have time to do that.

1 There's no question that the calculated
2 curve is in error. They just don't know by how much, and
3 the fact that it works in the North Sea or Egypt has no
4 bearing on this situation because the problem is in reser-
5 voirs that have relative permeability ratios that are
6 considered good, most of them have a critical gas saturation
7 which is fairly high, 5 to 10 percent, and so a large volume
8 of oil can be produced as gas saturation picked up before
9 the KgKo relation picks up real fast, and in that situation
10 you can take big steps and it doesn't make much difference.

11 So, then ordinarily in the North Sea and
12 other big oil producing areas of the world they have these
13 good resevoirs that -- that really are easier to analyze in
14 this respect than ours.

15 Q Now, Mr. Greer, would you go to Tab E in
16 this exhibit and to the cross section contained in that, the
17 third document, third page.

18 A Yes, sir.

19 Q And I'd ask you to relate the information
20 on that to recent information from the Mallon core.

21 A If we could look under that section over
22 to the cross section, we've heard once again how there's so
23 much vertical communication among these zones and up and
24 down the formation, and that it shows up in cores as well as
25 vertical communication being caused by fracture treatments.

1 I'd say first with respect to the frac-
2 ture treatments tying the zones together, we have done that
3 and they haven't been tied together, and we've demonstrated
4 that.

5 Now, on the core that the companies have
6 jointly gone together in their coring Mallon's Davis Federal
7 Com 3-15, southeast quarter of Section 3, 25 North, 2 West,
8 and it's my understanding that between the B and the C zones
9 there have been no fractures found in -- in that core, which
10 confirms what we've been talking about all along about the
11 stratified nature of the reservoir.

12 Q Now, in that core, what zones were cored,
13 do you know, in the Mallon well?

14 A Of the information I have they cored the
15 A and the B zone and part of the C zone, and we had hopes
16 they would get -- or I had hopes they'd get below the C zone
17 a way, the area that we were interested in, but I'm not sure
18 just where they quit.

19 Q All right, if you'll now go to Tab F, the
20 blue page behind it and respond to Mr. Hueni's comments con-
21 cerning the bubble point.

22 A Mr. Hueni's noted that the pressure had
23 been pulled down to 800 pounds while we were testing the
24 well, and therefore that the sample that we got would not be
25 a valid sample because the pressure had been pulled down and

1 the bubble point would be a false bubble point.

2 The thing that I point out, Mr. Chairman,
3 that's kind of strange, is that if that's the case, why
4 didn't we get a bubble point, say, at 900 pounds, 1000
5 pounds, 1100, 12, 13, 1400 pounds, and of course, one can
6 say, well, that's just -- just happenstance.

7 It seems like strange happenstance that
8 two wells that we took bottom hole samples on and Mr. Hueni
9 says the pressure has been pulled down, the samples aren't
10 valid, why would they check within just a few pounds of each
11 other, and here's one that the pressure could have been as
12 low as 800 pounds. If the sample had been contaminated, so
13 to speak, by the pressure being pulled down to that point,
14 it should have shown a bubble point of 800 pounds and not
15 1500.

16 Q Now if you'll go on to Section G and go
17 to the beige pages, the brown pages in that exhibit and re-
18 view what they are and why they were included?

19 A I would just point out once again how
20 carefully we conditioned this well in order to get a bottom
21 hole sample, and again when we got that bottom hole sample,
22 it checked very closely with the other one that we had
23 before.

24 We tested the well with a minimum bottom
25 hole pressure of 100 pounds higher than the anticipated

1 pressure and sure enough, we got a bottom hole sample that
2 was a good sample, checked within a few pounds of the other
3 one, and there's no way just by happenstance that would hap-
4 pen.

5 But Mr. Hueni then concludes that the
6 bubble point is high, 1700 pounds.

7 Then Mr. Hueni goes over to -- to our
8 pressure production graph and having said five minutes be-
9 fore that that the bubble point was like 1700 pounds, he
10 comes along and tells us how this undersaturated reservoir,
11 the pressure production coefficient changes. So it had to
12 be undersaturated for that to happen.

13 So he's given us a contradiction when he
14 says the bubble point is higher than 1700 pounds and yet he
15 comes along and shows exactly the same thing that I did, how
16 the pressure, the production pressure coefficient increases
17 as the bubble point moves down the structure and the oil be-
18 comes saturated and the compressibility increases so that
19 you get more oil for each pound of pressure drop.

20 Then Mr. Hueni, with Exhibit Twelve, in-
21 stead of giving us what I had hoped he would give us, a com-
22 puter run, tells us about how we could have 400-million bar-
23 rels in place if we had a bubble point of around 1500
24 pounds, and could we introduce our Exhibit Nine now?

25 Q Will you now refer to what's been marked

1 as Exhibit Number Nine? I'd like to have you identify it,
2 identify it and then review the information contained on
3 that exhibit, please?

4 A Mr. Chairman, this is an exhibit that
5 shows how the oil in place calculation can vary depending
6 upon your choice of fluid properties that you use.

7 In this particular instance this graph is
8 calculated on a pressure -- production pressure relation of
9 10,000 barrels per pound, and what that says for Gavilan at
10 the time that about 10,000 barrels per pound of reservoir
11 space was being voided, that if the oil were entirely under-
12 saturated, we look at the upper line, then there would be
13 some 400-450-million barrels of oil in place, similar to
14 what Mr. Hueni shows on his Exhibit Twelve.

15 But I point out, Mr Chairman, if there's
16 some free gas in that reservoir and there's only five per-
17 cent, then the oil in place is more like 150-million bar-
18 rels, or if there's 10 percent free gas in communication
19 with the -- with the oil, then there's like only 100-million
20 barrels in place, and I know that it seems strange that you
21 could have free gas in communication with undersaturated oil
22 in a reservoir. Most engineers will tell you that's impos-
23 sible.

24 Mr. Chairman, we've studied in this area
25 four reservoirs, Boulder, East Puerto Chiquito, West Puerto

1 Chiquito, on the west side of the Basin La Plata Mancos. In
2 all four instances there was undersaturated oil in the
3 reservoir, unquestionably undersaturated. In every instance
4 there was a free gas cap and how much saturated oil there
5 might have been below the gas and above the undersaturated
6 oil, we don't have any idea, but in every instance that hap-
7 pened.

8 And the reason I prepared this graph, Mr.
9 Chairman, was an aid to the Engineering Committee in
10 their study as to how the volume of oil that we're dealing
11 with might depend upon these various factors, and the fact
12 that the reservoir is stratified, the fact that there's free
13 gas, there's no way, no way to tell exactly what you have,
14 and the estimates that we've made, which show 100-million
15 barrels in place, we've estimated that the system compres-
16 sibility is such that about 80 percent was undersaturated at
17 the time that we were making our estimates, about a 5 per-
18 cent free gas, and that shows on this graph about 100-mil-
19 lion barrels.

20 It's a rough estimate but this is how the
21 oil in place varies, and so it really doesn't mean very much
22 that they come up with this Exhibit Twelve and say that this
23 is unreasonable, if you have a 1500 pound bubble point it
24 doesn't mean a thing. You can still have a 1500 pound bub-
25 ble point and still have maybe 100-million barrels in place

1 and the reservoir performs something like it's doing right
2 now.

3 Q Do you have anything further on Exhibit
4 One -- or Exhibit Six?

5 A I think that's all.

6 Q Mr. Greer, was Exhibit Number Nine pre-
7 pared by you?

8 A Yes, sir.

9 MR. CARR: At this time we move
10 the admission of Benson-Montin-Greer Drilling Corporation
11 Exhibit Number Nine.

12 MR. STAMETS: With no objection
13 Exhibit Nine will be admitted.

14 Q All right, Mr. Greer, would you now refer
15 to your Exhibit Number Seven and I'd ask you first to refer
16 to the cartoon and diagram you prepared of different kinds
17 of fracturing in formations.

18 A Yes, sir, the blue sheet, the comment
19 that Mr. Hueni had was that there had been more than one
20 event causing fracturing in the area. We still think that
21 it could be like we've shown in Plate IV, and I would point
22 out, Mr. Chairman, that that's exactly how I arrived at the
23 presentation I have here, is that I assumed that there was
24 more than one event; that in the first event you have cer-
25 tain fracturing and in the second event you have the frac-

1 tures spreading.

2 Q Now would you now proceed back into the
3 exhibit behind Tab B, and I'd like you to refer to the yel-
4 low sheets which relate to the interference testing informa-
5 tion.

6 A Yes, sir. We'll refer to that and the
7 paper, and I don't have the exhibit number of the paper that
8 was presented --

9 Q This was Mr. Hueni's paper --

10 A Exhibit Thirteen, the SPE paper, and I'd
11 point out once again, Mr. Chairman, that people dealing with
12 fractured reservoirs have it so locked in their mind that
13 there's only one kind of a fractured reservoir and that's a
14 reservoir with matrix porosity and fractures in it, and of
15 course that's what this paper has to deal with, which does
16 not have anything to do with our pure, fractured reservoir
17 in Canada Ojitos, and I would like to note that we made the
18 interference test, we made determinations from that inter-
19 ference test that outside of the test area, this large area,
20 which I say is being sampled by the interference test and
21 which Mr. Hueni declines to comment on because he doesn't
22 think the EI formula applies, we concluded that the trans-
23 missibility was some 20 to 40 times higher than what we
24 measured in the individual wells, the average reservoir
25 transmissibility.

1 Two years after we ran an interference
2 test we drilled a well a couple of miles from the test area,
3 and sure enough, we found the reservoir had that high trans-
4 missibility.

5 We ran a test after injecting gas, a
6 steady state test that showed the transmissibility to be be-
7 tween 5 and 10 Darcy feet, just like we had calculated from
8 our test.

9 So, Mr. Hueni says it doesn't apply. It
10 certainly applied in our instance.

11 Q All right, Mr. Greer, are you now ready
12 to go to the diagram you have (not understood) --

13 A Yes, sir.

14 Q The circle showing the wellbore correla-
15 tion?

16 A Yes, sir, this is the relation where I
17 show that the EI formula really does apply. It's under Tab
18 B, where I showed the close correlation between the EI for-
19 mula and the reservoir with the large internal radius, and
20 Mr. Hueni refused to comment on that. I think it would be
21 interesting, since it was a fractured reservoir he said
22 doesn't apply.

23 If it's a homogeneous reservoir there's
24 no question about it, no question about it, and still his
25 statement that interference testing measures only the forma-
tion between the two wells is just wrong.

1 Q Now, Mr. Greer, will you go to your exhibi-
2 bits in the black book, Benson-Montin-Greer Exhibit Number
3 Eight, and I'd like you to refer to the information you have
4 behind Tab F concerning the water analyses on --

5 A Yes, sir. Mr. Hueni says that the satur-
6 ations, the water saturations shown here, are not representa-
7 tive connate water saturations because water has been added
8 by the drilling fluids. That's the very purpose of this --
9 of this first calculation on this yellow sheet.

10 It's pretty hard, Mr. Chairman, to push
11 fluids into the core without pushing some oil out and that's
12 what this is directed at, and it shows that with all those
13 negative numbers, that it doesn't appear that there's a lot
14 of flushing. If there's not a lot of flushing there's prob-
15 ably not a lot of contamination.

16 I notice that the water saturations used
17 by the Mobil engineer pretty well fit the average as to what
18 we show here, but I agree, I agree that there -- that the
19 saturations shown here probably are not right. That's the
20 whole point of the core analyses that we showed and how
21 cooking the kerotin and the water hydration out of the shale
22 completely invalidates the calculation which determines oil
23 and water saturation. So that's my concern, Mr. Chairman.

24 I don't know. I don't think Mobil really
25 knows. I don't believe anybody knows what that water satur-

1
2 ation is and that's why I say it's possible to be assigned
3 100 percent and not any effective permeability whatsoever.

4 That's a possibility.

5 Q Mr. Greer, do you have anything further
6 to add to your testimony at this time?

7 A No, sir.

8 MR. CARR: That concludes our
9 re-rebuttal.

10 MR. STAMETS: Okay. Do you all
11 have anything further?

12 MR. CARR: At this point we do
13 not.

14 MR. STAMETS: Are there ques-
15 tions of Mr. Greer?

16 MR. LOPEZ: No.

17 MR. STAMETS: Does anyone have
18 anything they wish to offer at this time, any additional
19 direct testimony, cross examination, or are we ready for
20 closing statements?

21 MR. LOPEZ: I have just two
22 things to do, Mr. Stamets.

23

24 GREGORY D. HUENI,
25 being recalled as a witness and having been sworn and
remaining under oath, testified as follows, to-wit:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REDIRECT EXAMINATION

BY MR. LOPEZ:

Q Mr. Hueni, you've heard what Mr. Greer just stated, so does this testimony in any way change any of the opinions or conclusions you've reached in your testimony this morning?

A No, it doesn't change any of my conclusions.

MR. LOPEZ: At this point before getting to closing I would like to offer our Exhibits Fifteen and Sixteen. They are letters addressed to the Commission by American Penn Energy, Inc., and Kodiak Petroleum, Inc.

The first letter from American Penn is dated August 26th, 1986, and is submitted by Mr. Al Hermanson, Vice President of Production. Mr. Hermanson attended all the hearing through last Friday but couldn't be here today.

The same is true for Mr. Kent A. Johnson, President, who signed the letter from Kodiak.

Apparently some of these exhibits have the signature page left off of them. I think if you just take a minute to read these two letters, rather than my reading into the record (not clearly understood),

1 but I would like them included in the record.

2 MR. KELLAHIN: Mr. Chairman, we
3 would object to formally including these letters in the
4 transcript of the hearing. Obviously the witnesses are not
5 available to authenticate the letters. I believe the custom
6 and practice of the Commission is to allow various inter-
7 ested parties to submit communications directly to the Com-
8 mission and have the Commission read them and use them for
9 whatever purpose you want, but I believe they're not proper-
10 ly authenticated and ought not to be part of Mr. Lopez' case
11 and marked as exhibits.

12 MR. LOPEZ: My response to
13 that, Mr. Chairman, is I did enter my appearance on behalf
14 of both companies at the beginning of the hearing. We have
15 three hours to do with as we wish today. We've certainly
16 heard from Mr. Greer on much hearsay, which he admitted as
17 much this morning. If it's allowed in, I don't see how this
18 is any different.

19 MR. STAMETS: The Commission
20 will accept these exhibits and give them the weight that we
21 have always given letters which have been received.

22 That is, we'll accept them for
23 what they're worth.

24 We have also received a letter
25 from Amoco Production Company which says a number of things

1 including that it's their opinion that the applicants and
2 protestants presented technically competent testimony con-
3 cerning the reservoir and various production considerations.

4 The fact that the testimony
5 presented was in part so diametrically opposite demonstrates
6 the need for additional collective reservoir studies.

7 They say if we err, we should
8 err on the side of the prevention of waste. They take no
9 position on spacing and unitization issues; whatever we do
10 should be of limited duration, not exceeding ninety days.

11 And there are copies here for
12 everybody at the close of the hearing.

13 Are there closing statements?

14 MR. LOPEZ: I'd be glad to do
15 it. Are there any comments from the audience? I mean I
16 know the Howards are here but I don't think they could stand
17 the distance, either.

18 But there are other people
19 here.

20 MR. STAMETS: Feel free to go
21 ahead. I'm ready to.

22 MR. LOPEZ: Mr. Chairman, Mem-
23 bers of the Commission, I'm certain I can be quite brief. I
24 think after five days you've either got it figured out or
25 you're so hopelessly confused that nothing I could say could

1 straighten that out.

2 I would first like to state
3 that it is our position that there clearly is no crisis. We
4 don't reserve to epithets and we will try and restrain our-
5 selves from sanctimonious self-congratulation and the con-
6 descension that we saw evidenced on the other side and to
7 which we take exception.

8 The position of Mallon and Mesa
9 Grande in this case is one which is a sincere and intense
10 attempt to reach what we consider to be a rational and
11 prudent compromise between the two opposing views taken on
12 the reservoir producing characteristics of the Gavilan-Man-
13 cos Pool.

14 We believe that the restriction
15 on production based on the gas/oil ratio limitations, as
16 we've recommended, is the only one that made sense. For the
17 period during which the Technical Subcommittee can continue
18 its work, it would seem, as we've recommended, that this
19 period of study probably should be concluded by the time the
20 whole issue of spacing on the Gavilan-Mancos Pool is re-
21 examined by the Commission in March pursuant to its earlier
22 order.

23 This is a classic case where
24 Mr. Greer has gone from preaching to meddling. It has been
25 demonstrated that Mr. Greer has no interest in the Gavilan-

1 Mancos Pool. His interest lies in the West Puerto Chiquito
2 Pool.

3 There are three wells that I
4 will address later, but which clearly lie on the western
5 side of the permeability barrier or restriction, however you
6 wish to characterize it, which have producing
7 characteristics clearly more similar and identifiable with
8 the Gavilan-Mancos Pool and which should be treated
9 similarly.

10 The interests of Mallon and
11 Mesa Grande have been demonstrated to be significant and
12 large. The interests of the other working interest owners
13 who support our position have also been demonstrated to be
14 of significance and major.

15 We will hear that Mr. Greer has
16 had twenty-five years experience in the Canada Ojitos Unit
17 and that our various witnesses, because of their youth, and
18 because of their inexperience in the San Juan Basin, which
19 has not really been demonstrated, carry no weight.

20 I think quite the contrary.
21 There may be some benefit to traveling outside of San Juan
22 County and seeing how the rest of the world operates and how
23 comparisons with other comparable reservoirs throughout the
24 world may shed light and knowledge with respect to the
25 producing characteristics of the Gavilan-Mancos. So if it

1 is a condemnation that our witnesses have in fact traveled
2 outside San Juan County, so be it. We think it's a positive
3 benefit and that they haven't been subjected to the blinders
4 of having one year experience repeated twenty-five times
5 over the course of history.

6 The good faith and serious na-
7 ture of Mallon-Mesa Grande is further demonstrated by the
8 fact that they selected as competitors who have been in dis-
9 pute before this Commission on this various pool, to select
10 an independent third party in whom they had confidence to
11 tell them the real facts.

12 The acreage position and the
13 producing position of both these companies clearly demon-
14 strate their major commitment to this pool. There are no
15 two operators that want a bigger bang for their buck and it
16 is in this vein and in this sense that they presented their
17 testimony here today.

18 What we've heard from McHugh
19 and Greer is what at best can be characterized as a mis-
20 guided attempt to compare apples and oranges.

21 At worst it is a thinly dis-
22 guised attempt to intimidate the other working interest
23 owners in the pool into a unit of their making while at the
24 same time allowing McHugh to capture the reserves of offset
25 operators in the pool because of his position and because of

1 the history of the production of his wells, as well as pro-
2 viding an opportunity for Mr. Greer to continue his tradi-
3 tional posture of not drilling any wells and of claiming
4 that one well will drain the entire San Juan Basin.

5 The evidence that we have that
6 we are comparing apples and oranges, and that the West Puer-
7 to Chiquito is different and not applicable to the Gavilan-
8 Mancos Pool, is first demonstrated by the fact that after
9 twenty-five years of drawdown in the Puerto Chiquito, and
10 after the production of millions and millions of barrels of
11 oil, we only have 80 pounds difference in initial reservoir
12 pressures between the Puerto Chiquito and the Gavilan-Man-
13 cos.

14 In addition, this separation is
15 further supported by the fact that the interference test
16 performed on the Dugan-Greer wells up in the northwest, or
17 the northeast portion of the Gavilan-Mancos Pool, across the
18 unit boundary, experienced immediate interference within a
19 matter of hours.

20 There is further support for
21 the separation by the fact that Mr. Emmendorfer's testimony
22 demonstrated that both horizons above and below the Gavilan-
23 Mancos experienced different geological characteristics and
24 pinch-out at the area of the permeability barrier.

25 The real similarity between the

1 two pools is that it's a highly fractured, both of them are
2 highly fractured reservoirs. At least this is what we ini-
3 tially heard from Mr. Greer as of two weeks ago.

4 If I understood the testimony
5 of Mr. Roe and Mr. Greer at that time, we were all in agree-
6 ment that the Gavilan-Mancos, as well as the Puerto
7 Chiquito, were one great, big barrel with communication
8 throughout the horizon.

9 Now we've heard contradictory
10 testimony today that we have stratified horizons in the
11 Gavilan-Mancos. I don't know what their true position is.
12 The record currently reflects that they've taken both sides
13 of the issue.

14 I don't think it would gain us
15 anything to re-examine all the engineering testimony that
16 you have heard today. It is clear that the two camps have
17 diametrically opposed views.

18 The thinly disguised attempts
19 of the Greer-McHugh camp to intimidate other working inter-
20 est owners into a unit simply won't fly. We're pretty much
21 divided 50/50. In order to get statutory unitization it's
22 going to take at least 75 percent volunteer joinder and that
23 can't be reached.

24 The Greer camp suggested that
25 the 1,200 barrel a day ratio should only be temporary for

1 ninety days until unitization were accomplished. If we were
2 all in agreement, I seriously doubt that unitization could
3 be accomplished within ninety days of today's date.

4 The only true issues before the
5 Commission are the issues of correlative rights and the pre-
6 vention of waste.

7 Let's take the first -- or the
8 last first, with respect to the prevention of waste.

9 There has been no evidence, in
10 fact without re-arguing it, I would say the evidence is con-
11 vincing that from the position of Mobil and clearly from the
12 position of Mallon-Mesa Grande, that there will be no gain
13 or loss to ultimate recovery in the pool if you restrict or
14 don't restrict production. I'll let the testimony and the
15 record speak for itself.

16 The only -- the basis, only
17 basis on which Mr. Greer claims waste will occur is due to
18 down dip drainage, or gravity drainage. I think the
19 evidence has been ample that the difference between the de-
20 gree of slope of the Puerto Chiquito and the Gavilan-Mancos
21 indicates that the Gavilan-Mancos will not experience the
22 kind of vertical drainage recovery that Mr. Greer has en-
23 joyed over the last twenty-five years, but assuming for pur-
24 poses of argument that there is something to what he says,
25 we move on to the issue of correlative rights.

1 His position would be a clear
2 violation of other working interest owners correlative
3 rights because the evidence is uncontroverted that the
4 McHugh wells lie on the down dip slope, have enjoyed the
5 greatest production historically in the pool, and have the
6 greatest pressure drawdowns; consequently, this thinly dis-
7 guised attempt is no more than an effort to severely re-
8 strict production so his portion of the pool can be repres-
9 sured and any oil that might otherwise be drained by others,
10 according to the rules of the Commission, would migrate to-
11 wards their leases, clearly in violation of the other par-
12 ties' correlative rights.

13 My final point would be that if
14 the Commission were to adopt any other recommendation than
15 the one that we've suggested, which we feel is a conserva-
16 tive and rational approach, and one that is clearly between
17 totally contrary views as to how to produce the reservoir,
18 that the effect, or if you were adopt the McHugh-Greer ap-
19 proach, that it would indeed affect the drilling of addi-
20 tional wells, especially at a time, which the Commission can
21 recognize, may be the time that we will enjoy the highest
22 price for the product, because historically, after January
23 the prices drop, and that in fact the result will be that
24 the ultimate recovery will be affected because prudent oper-
25 ators will not be allowed to develop the pool on a consis-

1 tent and rational spacing pattern so that it can be -- so
2 that the production can be fully realized.

3 My final comment would be to
4 call your attention to the last Dugan Exhibit Four and point
5 out that the only scenario under which the effect of
6 restricted production on the operators in the -- the major
7 operators in the pool that would have less than two percent
8 variance between operators, would be the proposal that the
9 Mallon-Mesa Grande group has put forth, namely, the -- or
10 close to it, it's 588 GOR; we selected 546, with the current
11 oil allowable remaining at 702.

12 That has the most even effect
13 across the operators as their exhibit shows. Any other ex-
14 hibit would have a greater impact adversely on the Mallon-
15 Mesa Grande group and a commensurate advantage to the Greer-
16 McHugh group.

17 I'm sure my other cohorts will
18 have other things to add but I think that fairly well sum-
19 marizes our position.

20 MR. STAMETS: If your other co-
21 horts have about five minutes apiece that they'd like to add
22 at this point, we would provide that opportunity.

23 MR. PADILLA: Mr. Chairman,
24 Members of the Commission, Mr. Kelley, this is a very impor-
25 tant case just by the cross section of audience that has

1 been here during the course of this hearing.

2 We have had producers. We have
3 had royalty owners. We have had refining companies and ob-
4 viously the parties involved in this case who have contested
5 the application vigorously.

6 We are comparing in this case
7 the West Puerto Chiquito and the Canada Ojitos type of pro-
8 duction with a competitive basis. Probably it is too late
9 at this point to even attempt to compare those.

10 We have a number of producing
11 wells in the Canada Ojitos Unit that on the relative basis
12 produce a lot of oil. The mechanisms for recovery of the
13 oil are two entirely different things.

14 If we go and say that an
15 analogy of apples and oranges is incorrect. It's more an
16 analogy of apples and a brick.

17 With respect to the nature of
18 the emergency, I was working on what I was going to say to-
19 day last night and I looked at Webster's definition of emer-
20 gency. That definition is that it's -- refers to any sudden
21 or unforeseen situation that requires immediate action.

22 A synonym for emergency is cri-
23 sis, another word that has been used around here by the ap-
24 plicants in this case. It refers to an event regarded as a
25 turning point which will decisively determine an outcome.

1 Now, we have had two sides pre-
2 sent testimony here. On Friday the chairman pointed out
3 that both sides had done an equally good job and I don't see
4 anything decisive about the application and the case pre-
5 sented by the applicants in this case. The true nature of
6 what's going on here is that you have, especially in the
7 McHugh application, they have at least twenty-eight wells or
8 in that order, which have cumulative production of 1.3-mil-
9 lion barrels.

10 At the same time they're trying
11 to restrict the allowable and at the same time severely and
12 -- penalize the production that can be obtained from the
13 Mallon wells, in which Koch Exploration has its working in-
14 terest.

15 So what we really have here is
16 that on the Greer side Mr. Greer, obviously, doesn't want to
17 drill any wells because it's not within the contemplation of
18 the operation of his unit.

19 On the competitive side, on the
20 Gavilan Unit, you simply are bound by the current regula-
21 tions on spacing. It's must a matter of producing that and
22 there has been on compelling testimony here one way or the
23 other that the emergency exists and that we should be bound
24 by what the applicants say, other than the fact that this
25 morning we have reduced the scale, I guess, from a reservoir

1 in an emergency or crisis situation to a reservoir in
2 trouble.

3 As I view that, it seems like
4 it's a down -- it no longer is an emergency situation, pre-
5 sumably based upon the presentation that was made by Mr.
6 Hueni.

7 As far as a compromise is con-
8 cerned, we have presented evidence here that in the nature
9 of a compromise, to try to get some kind of a study that has
10 been going on. Now, as I understand this compromise, we may
11 have compromised ourselves away. As I see this thing, we
12 have through the course of this hearing seen only the car-
13 toon and the main feature is to be presented later by the
14 applicants.

15 I'd venture to say that there
16 are going to be further proceedings regarding this develop-
17 ment of the Gavilan-Mancos Pool and I think we have made ob-
18 jections regarding testimony that was presented regarding
19 units and with regard to spacing.

20 Certainly acreage has been to-
21 tally ignored in this case. Twenty-eight wells and twenty-
22 eight proration units, maybe with one exception. Acreage is
23 important and I think that the Continental Oil case versus
24 the Oil Conservation Commission has not been followed and I
25 understand you have to determine total reserves as reason-

1 ably as can be done, or as practically as can be done, but I
2 think that that has been totally ignored and that has been
3 missing. You're simply taking some kind of a new formula
4 and it's not followed any case authority for any equitable
5 method of allocating production in accordance with the con-
6 servation laws that have been (inaudible) by the Commission.

7 Thank you.

8 MR. STAMETS: Thank you, Mr.
9 Padilla.

10 MR. PEARCE: Thank you, Mr.
11 Chairman.

12 Following along the line of my
13 witnesses to this proceeding, I'll try to move swiftly. I
14 think that's for the benefit of everybody here, but let's
15 see.

16 What I want to do in the next
17 couple of minutes is try to bring this thing back down out
18 of what I consider the ether. We've got conflicting petro-
19 leum engineering opinions. We've got more data floating
20 around this room than we can possibly analyze and frankly
21 I'm not sure we know what to do with it.

22 I want to bring us back down to
23 where I think we're supposed to be in this proceeding.

24 We're here today because Jerome
25 McHugh filed an application for a lower limiting gas/oil

1 ratio and lower production allowables for the Gavilan-Mancos
2 Pool.

3 Now this case was consolidated
4 with the case from the West Puerto Chiquito Mancos Pool but
5 the applicant in that case has said he doesn't want to be
6 here by himself and if you don't grant Mr. McHugh's applica-
7 tion, he don't want you to grant his.

8 For that reason I'm not going
9 to pay any attention to the West Puerto Chiquito because it
10 hasn't got anything to do with what's going on here. He's
11 talking about some possible future boundary agreement be-
12 tween the two pools. That's far enough down the road that
13 I'm not going to worry about that. I don't think we have to
14 worry about that in this room today.

15 What we've got to worry about
16 today is Mr. McHugh's application, and when we started this
17 hearing five hearing days ago, and a couple of weeks, coun-
18 sel for Mr. McHugh said that we have a state of emergency
19 and he said that he'd show that the pool was in the midst of
20 a dramatic, irreversible, reservoir-wide pressure decline
21 and production changes. He said that he'd show that the ac-
22 celerated pressure declines and the increasing dissipation
23 of reservoir energy are resulting in waste.

24 Now, Mr. McHugh filed this ap-
25 plication and by filing that application Mr. McHugh took the

1 burden upon himself. I don't think the record shows that
2 he's met that burden and in the absence of him meeting that
3 burden, I don't think you can grant his application and I
4 don't see any need to compromise on an application that
5 ought to be denied. I don't think that's fair.

6 This pool is operating under
7 statewide rules and those rules were themselves a compro-
8 mise, I think. I think history will show that if the Divi-
9 sion did not know specifically what should be done, the de-
10 termined statewide rules ought to apply.

11 I don't think the Division or
12 anybody in this room knows what ought to be done and I think
13 the statewide rules ought to apply. I think that's why we
14 have statewide rules.

15 Let's look at what Mr. McHugh
16 has shown us so far.

17 The first witness to this pro-
18 ceeding, outside of a landman, I guess, the second witness,
19 was Mr. McHugh's own geologist.

20 Mr. McHugh's geologist testi-
21 fied that the developed area of this pool showed what he
22 called very low relief. All the structure maps that we've
23 seen in this proceeding so far confirm that. Maybe a thin
24 pancake up there on top, but it's flat.

25 The same McHugh expert witness

1 concluded that this was a solution gas drive reservoir.
2 That's what he said it was.

3 Mr. Roe, the petroleum engineer
4 who's primarily responsible for the applicant's operation in
5 this area agreed with that. He said, and I quote: We indi-
6 cated that solution gas drive is our primary production
7 mechanism.

8 Further on he said, the fact
9 that GOR is increasing is something that is predictable and
10 we should expect in a solution gas drive reservoir.

11 Mr. Roe plotted some Gavilan
12 production data dealing with pressures and GORs on a graph
13 which have been around for a long, long time, and we all
14 showed you that graph. It was that infamous orange piece of
15 paper and it looked like that, and Mr. Roe said, that if you
16 exclude the early production when he thought this pool was
17 producing above the bubble point, if you excluded that data,
18 that he suspected that pressures and GORs in this pool would
19 match the predicted solution gas drive curves, which are in
20 his exhibit.

21 That graph indicates that ulti-
22 mate recovery from a solution gas drive reservoir is not
23 rate dependent. I asked him the question and he answered
24 the question. He said, no, if it's solution gas drive it
25 doesn't matter whether you take it out quickly or you take

1 it out slowly, you don't get any more oil.

2 Mr. Chairman, if the reservoir
3 is performing as you would expect it to perform, and if the
4 pressures and the GORs are matching the predicted curves for
5 those two sets of data, and if the ultimate recovery is not
6 increased by reducing the rate of production, I don't under-
7 stand what the emergency is out here.

8 (Interrupted by turning tape)
9 primarily a solution gas drive reservoir, there may be a
10 gravity production mechanism which needs to be utilized.

11 Let me just hang this up for a
12 minute so I can talk about it and maybe it will speed me up,
13 Mr. Chairman.

14 This is -- this happens to be
15 Mobil's structure map. It's not all that different from
16 other folks structure maps. The testimony, Mr. Chairman,
17 indicated that the flattest part of the West Puerto Chiquito
18 Pool is twice as steep as the steepest part of the Gavilan
19 Pool and therefore gravity is a factor in the Gavilan Pool.

20 Now I didn't follow that logic,
21 since their own geologist indicated that it was an area of
22 very low relief, but if you look at the pool, Mr. Chairman,
23 what you find is that there are only two sections which are
24 going to benefit from gravity drainage, if there is any,
25 Sections 20 and 29 of 25 North, 2 West. Both those are

1 McHugh tracts.

2 To the west of that are two
3 short sections in which Mr. McHugh, the applicant in this
4 matter, has proposed well locations.

5 We've also had the indication
6 during this case, Mr. Chairman, that there is a possibility
7 of secondary gas cap recovery mechanism. We don't see the
8 type of structures which would lend themselves to that
9 mechanism.

10 In addition, the geologist for
11 Mr. McHugh testified that high GORs seem to be related pri-
12 marily to areas of higher production rather than structure.

13 In contrast to this gravity
14 structure theory bouncing back and forth across the table,
15 one party to this case has presented you with core data
16 which indicates that the matrix will contribute production
17 in this reservoir. That core analysis has been backed up by
18 properly done log analysis.

19 Mr. Chairman, it's right, if
20 you let the matrix produce in a field, it will produce, and
21 once again, that matrix production is not rate sensitive.
22 The matrix will give up that oil slowly or quickly, and I
23 don't think it is waste to let that matrix give it's oil up
24 more quickly. It's not going to give up more oil if you
25 slow it down. It's just going to make everybody wait

1 more than a 1,300,000 barrels of oil. Mr. McHugh has twen-
2 ty-three wells out here and he's indicated during his testi-
3 mony that those wells cost about \$500,000 a well.

4 If you take into consideration
5 the gas production that he's had with that oil production, I
6 think Mr. McHugh's got payout on his wells. He doesn't have
7 any money on the table. He can afford to reduce his income
8 string for as long as it takes to force everybody into a
9 unit because he's got payout. That's not the case for other
10 operators in this pool, Mr. Chairman.

11 We're extremely concerned. We
12 don't have wells that have been a long time and we've got a
13 lot of money on the table right now and if you reduce allow-
14 ables and you reduce production, we can't earn return on
15 that money.

16 During his testimony this
17 morning Mr. Greer indicated that there was in his opinion a
18 normal human tendency to accept the things that support your
19 initial conclusion. It seems to me that we've got some of
20 that going on from the applicant in this matter. I'm afraid
21 the applicant has concluded that he needs to reduce allow-
22 ables in order to enhance the recovery from his already par-
23 tially depleted wells. The operators and owners of other
24 tracts in this pool have come to a radically different con-
25 clusion.

1 For these reasons, Mr. Chair-
2 man, Mobil asks that the application of Jerome P. McHugh to
3 lower the limiting gas/oil ratios and lower the allowables
4 in this pool be denied so that other operators in this pool
5 who have not been the beneficiaries of long, high produc-
6 tion, be allowed to drill the wells that are necessary, ne-
7 cessary wells for them to recover their fair share of
8 reserves by utilizing their fair share of this reservoir's
9 energy.

10 Thank you, Mr. Chairman.

11 MR. KELLAHIN: Mr. Chairman,
12 I'll be the first one to tell you that most of the cases we
13 do over here are routine, garden-variety cases that I ven-
14 ture to say both you and I forget after we do them. We've
15 done it over again.

16 But occasionally, every five or
17 six years, a case comes along and grabs everyone's attention
18 and gives the Commission the unique opportunity to exercise
19 its discretion and make a permanent contribution to oil and
20 gas conservation. This is one of those kinds of cases.

21 We think that you do not have
22 to decide right and wrong in this case. You don't have to
23 be an engineer, a geologist, or any technical person, to re-
24 solve this case. We have abundant quantities of all those
25 kinds of people that can talk ad infinitum about what to do

1 with this reservoir.

2 What we need is some wisdom and
3 some common sense from you gentlemen to help us out of this
4 predicament. It's one we are creating for ourselves and you
5 can see by the polarization of the parties in this case you
6 must intervene or serious consequences will occur to this
7 reservoir.

8 Mr. Padilla indicated that
9 there was no Oil Conservation concept that was involved in
10 this. This case is a bedrock of conservation; it's a ques-
11 tion of waste. It has nothing to do with economics. If we
12 could resolve the economic issue we'd have done that among
13 ourselves.

14 The waste question is one you
15 need to address and help us resolve and it's simply whether
16 or not this pool is being operated in such a way that it's
17 inefficient, excessive, and improper. That's the very first
18 sentence out of your book.

19 It's not very often you get a
20 case squarely on that issue. Why don't you need to decide
21 right and wrong? Because what you need to do is write the
22 next chapter of what may be a very long book.

23 The first chapter was the
24 spacing case where the Commission agreed several years ago
25 to 320-acre spacing on a temporary basis.

1 This is the next chapter in the
2 story and it's a chapter based upon whether or not we take
3 and seize the fading opportunity to get gravity drainage re-
4 covery out of this reservoir or forever lose that chance.
5 Depending upon how you write that chapter we're either going
6 to have a tragic example on how to mismanage a reservoir or
7 a textbook case on how the Commission ought to conduct its
8 affairs.

9 I said awhile ago you don't
10 have to be an engineer or a geologist to figure out how to
11 handle this case and I sincerely believe that. I've sat
12 here for as many days as you have listening to testimony
13 that I couldn't comprehend; I haven't a clue as to what some
14 of these guys are talking about, but I don't think you have
15 to understand that in order to break the polarization of the
16 parties. This is not a one time case. It's a temporary
17 solution to give us a time so that these fine technical
18 people can help us resolve the issue of how to produce this
19 reservoir.

20 I think there's only two things
21 that you have to do. One is come up with a solution that
22 compels the working interest owners to resolve their own
23 problem in this reservoir.

24 The second thing is you must
25 take sufficient action to prevent waste and conserve the re-

1 servoir energy in this pool.

2 What position will you don?
3 It's not the classic one where you can take each extreme,
4 cut it down the middle somewhere in a compromise and think
5 you've solved the problem. We've got a stalemate now. I
6 suggest to you that if you adopt Mesa Grande-Mallon ap-
7 proach, that just perpetuates the stalemate and we're no
8 farther along tomorrow than we are today.

9 Let's examine the position of
10 the various parties in the case.

11 Mobil's got an interesting po-
12 sition. They've got two wells that produce in this pool.
13 They come in here and say, "There's nothing wrong, looks
14 fine to me. Got a lot of matrix production down there,
15 we're going to suck it out and draw that pressure right
16 down." Wouldn't that be great? We'd love it if they're
17 right.

18 But what if they're wrong?
19 What if you don't take action and they turn out to be wrong?
20 We've blown our chance to get what Mr. Greer and Mr. Roe
21 have said they think will occur in this reservoir, the im-
22 pact of gravity drainage.

23 Mobil's not alone on that posi-
24 tion. Koch, Mesa Grande, and Mallon, as well as McHugh and
25 Greer, all realize something must be done. It's a question

1 of degree. Mesa Grande and Mallon have suggested that in
2 order to effectively produce the reservoir we must reduce
3 the gas/oil ratio, if nothing else; bring that down to the
4 solution gas/oil ratio, and then Mr. Hueni says everything
5 works just fine.

6 That's great. What if Mr.
7 Hueni's wrong? We've missed the chance to get the gravity
8 drainage that Mr. Greer has experienced and established for
9 you in the Canada Ojitos Unit, which he says will occur in
10 the Gavilan-Mancos.

11 We need to seize upon that op-
12 portunity. In order to do that, I'm intrigues with Mr. Kel-
13 ley's suggestion several days ago. I think he said why
14 don't we just shut the whole thing in. That would get some-
15 body's attention.

16 Maybe that is the approach ex-
17 cept it's too extreme because that kind of drastic action
18 will solve the first problem. It will get everybody to some
19 kind of solution within the ninety day period, which is a
20 small window to try to resolve the tremendous disparity of
21 opinions you have here today, but it's going to take drastic
22 action to get to that point.

23 How do we solve both of the
24 solutions? Mr. Kelley's suggestion of shutting in the whole
25 reservoir will accomplish one. It gets everyone's atten-

1 tion, but we contend it would be wasteful and it would vio-
2 late correlative rights.

3 We've got to have a minimum
4 producing rate in this reservoir that continues to let the
5 operators recover some income source from this reservoir.
6 We suggest that the level of voidage Mr. Roe has spent weeks
7 and months examining is the level that ought to be adopted
8 and it's the one that restores this reservoir to the produc-
9 ing rates in April prior to the drastic effects that he's
10 testified to that we are seeing with the June and July pro-
11 duction and the gas/oil ratios. They're going right out the
12 (unclear). Everything we said to you back on June 7th has
13 been supported by the testimony of our witnesses.

14 We think that's the solution;
15 it's drastic. It's going to get the economic attention of
16 the operators. It's what we have to have. It avoids poten-
17 tially the stalemate and allows you, then, not to have to
18 decide who's right or wrong about how the pool operates.
19 You've taken the most conservative action available to you
20 in order to give that mechanism of gravity drainage an
21 opportunity to be further examined by these fine technical
22 people.

23 As we went along I thought of
24 all kinds of cute and clever things I thought were interest-
25 ing and I've forgotten most of them. The one thing I think

1 has made the biggest impression upon me in the last five
2 days of hearing is Mr. Greer's testimony with regards to the
3 effect of each day's delay in action in reducing the levels
4 of withdrawal in the reservoir.

5 Mr. Roe has told us there is no
6 loss of production; we're simply postponing it until some
7 later date, but Mr. Greer has told us that at the rate of
8 \$150,000 a day we are losing the opportunity to take advan-
9 tage of the gravity drainage.

10 This hearing started on August
11 7th. It is now August 27th and we've just thrown away
12 \$3,000,000.

13 MR. CARR: May it please the
14 Commission, Benson-Montin-Greer Drilling Corporation is here
15 before you today because we have an interest in the Mancos
16 formation in the area which is the subject of these consoli-
17 dated cases. This is a common resevoir. There's communica-
18 tion in varying degrees throughout the reservoir, and we
19 have wells on both sides of the permeability restriction
20 which runs across the subject area.

21 We're also here today because
22 we have a problem with that reservoir. I don't want to be
23 now accused of downgrading emergency to trouble to problem,
24 but we have a problem because the reservoir is in trouble
25 and it is in trouble because we have an emergency situation

1 and we're here today because the operators in the pool can-
2 not agree as to what must be done right now to deal with
3 that problem, and so we come before you and we're presenting
4 to you what is certainly a complex question. In doing this
5 we are not looking for Solomon to come and split this for
6 us. We're not asking somebody to give everybody a little
7 something. We're asking for a decision that is based
8 squarely and soundly on the statutory duty imposed on each
9 of you by the New Mexico Oil and Gas Act.

10 This Commission is a creature
11 of statute. Your powers are expressly defined and limited
12 by the Oil and Gas Act and it is your duty to take what ac-
13 tions must be taken to prevent waste and to protect correla-
14 tive rights.

15 If you are to carry out your
16 duty in this case in view of the evidence presented, we sub-
17 mit you have no alternative but to act, to act now, to take
18 meaningful action, action that will effectively address the
19 problem which is clearly before you. A half decision, a
20 compromise which merely reduces gas/oil ratios, is no deci-
21 sion at all. It leaves us with the same problem. It leaves
22 us with no solution in the foreseeable future and it really
23 gives no one here any incentive to get together and try and
24 work this problem out.

25 We submit you must act immedi-

1 ately. You must limit production in the Gavilan-Mancos and
2 the West Puerto Chiquito Mancos Pools. You need to limit to
3 the 200 barrels a day per 320-acre unit and you need to set
4 a gas/oil ratio of 1000-to-1 for a ninety day period, and if
5 you do, it is our hope that the operators can get together
6 and that real progress can be made towards solving the prob-
7 lem which is before you.

8 Now the evidence presented in
9 this case has been extensive; it's probably better to
10 characterize it as exhaustive, but I think any characteriza-
11 tion of the evidence shows that we probably have excessive
12 withdrawal rates in the Gavilan; that we have potential re-
13 servoir problems unless action is taken, unless it's taken
14 now. If no such action is taken underground waste will oc-
15 cur.

16 We have evidence that excessive
17 -- an excessive number of wells will have to be drilled in
18 the area. This is surface waste, and the evidence shows
19 that correlative rights in the area will be impaired unless
20 action is taken.

21 If you take action, if we can
22 work out something that will enable us to efficiently
23 produce the reservoir, then all operators in the pool are
24 afforded an opportunity to produce their just and fair share
25 of those reserves.

1 If no action is taken and we
2 are right and permanent reservoir damage occurs, then every-
3 one's correlative rights are impaired.

4 Now those who are in opposition
5 to this application would say, well, we're going to lose all
6 this revenue. That's not true. That is simply not true.
7 The revenue will be deferred and all we're seeking is that
8 that be deferred and those reserves will be there and those
9 reserves can be made up at a later time.

10 You have basically two solu-
11 tions being proposed, one by Mr. Hueni for Mesa Grande and
12 Mallon; one by Mr. Greer for Dugan, McHugh, and Benson-Mon-
13 tin-Greer.

14 Now what are we really looking
15 at? We are looking at four weeks work, compared to the work
16 of more than a quarter of a century.

17 We're looking at the work and
18 the testimony of a man who's spent a large portion of his
19 life studying and developing this area, and we contrast that
20 testimony with a man who's hired to tear this work down.

21 Mr. Greer's testimony, we sub-
22 mit to you, is accurate and the reasons it's accurate, the
23 reason it is accurate, is that it was not developed for the
24 purposes of this hearing. It was developed so he could
25 operate effectively the Canada Ojitos Unit. It was devel-
oped, it was used, and whether it is one lesson that took

1 twenty-five years to learn or twenty-five one year lessons
2 it's been proven right and his testimony is right.

3 Mr. Hueni's data and conclu-
4 sions are based on information which is inaccurate and in-
5 complete.

6 If you accept Mr. Greer's posi-
7 tion and he is right, we submit you will have carried out
8 your statutory duty.

9 If you accept Mr. Greer's posi-
10 tion and he's wrong, some income will be deferred, but the
11 reserves will still be there.

12 If on the other hand you want
13 to accept Mr. Hueni's testimony and he is wrong, the only
14 thing you will have done, and it will come back to you, you
15 will have authorized waste and you will have impaired the
16 correlative rights of every single operator in that area in
17 that formation.

18 Yes, you're being asked to de-
19 cide a complicated question but we submit it isn't diffi-
20 cult. What we're asking you to do is limit production,
21 limit withdrawals for a ninety-day period, and we submit
22 what we are asking you to do is consistent, based on this
23 record, with what the New Mexico Oil and Gas Act directs you
24 to do.

25 MR. STAMETS: Thank you, Mr.
Carr.

(Thereupon a recess was taken.)

1 REPORTER'S NOTE: The following is the decision of the
2 Commission as announced by Chairman Richard L. Stamets
3 following the conclusion of presentation of testimony on
4 Wednesday, 27 August, 1986.

5
6 MR. STAMETS: First of all let
7 me begin by saying that this is probably the most difficult
8 case that I have seen in many, many years. Also the overall
9 quality of the testimony I thought was excellent on both
10 sides, which is one of those things that makes it extremely
11 difficult to render a decision in this case.

12 I would personally like to
13 grant everybody's request, everybody's position; however,
14 that cannot be. Perhaps Amoco said it best when they said
15 that if we must err, there's always the opportunity to err,
16 that we must err on the side of prevention of waste.

17 When we look at the evidence in
18 this case, we believe that the preponderance of the evidence
19 indicates that there will be some benefit to the reservoir
20 from the gas which disassociates itself from the oil. We
21 believe that McHugh, et al, indicated that might be from a
22 major gas cap.

23 Mallon-Mesa Grande indicated
24 that might be a gas cap on each individual well.

25 Nevertheless, to allow that gas

1 There are equity problems, as
2 well. Obviously McHugh's wells have been in this reservoir
3 for some period of time. He has enjoyed the drainage.

4 Those who have recently com-
5 pleted would like to enjoy that same amount of drainage.

6 Nevertheless, the spectre of
7 waste is quite clear in this pool.

8 We've had recommended a produc-
9 tion level of 200 barrels a day. While this may serve to
10 prevent waste, if the gravity drainage is as strong a factor
11 as some of the testimony in this case would indicate, that
12 does not address the situation of an operator who has only
13 recently completed his well based upon the anticipated pro-
14 duction which he will get from that well.

15 Therefore the Commission will
16 for the short term adopt the lower allowable of 400 barrels
17 per day, an allowable which we may reduce at a later time,
18 or an allowable which we might increase at a later time.

19 We are most impressed by the
20 engineering testimony on both sides. We would desire to see
21 those people testify for the same ends the next time this
22 comes before the Commission.

23 We would encourage everybody to
24 try and arrive at a position which everyone can support. We
25 believe that at any future hearing we must have much clearer

1 evidence about gravity drainage in the Gavilan Pool. We
2 must have much clearer evidence as to what -- how much oil
3 is there in the unit or reservoir and how do each of the
4 units relate to one another.

5 We would ask that the attorneys
6 for McHugh and Greer supply us with a draft order which will
7 have the appropriate findings and ordering paragraphs in
8 conformance with the decision that we have announced here
9 today, and which will go into effect at the beginning of the
10 proration day, September 1, 1986.

11 I'd like to have that order by
12 no later than a week from Friday morning.

13 MR. PEARCE: Excuse me, is it
14 your intention to have this order in effect until it is
15 changed or is there some time limit on this order?

16 MR. STAMETS: The application
17 was for ninety days.

18 MR. KELLAHIN: Mr. Chairman, it
19 said not less than ninety days.

20 MR. STAMETS: Not less than
21 ninety days, thank you, Mr. Kellahin. Ninety days from Sep-
22 tember 1 is December 1, isn't that correct?

23 MR. LYON: Right.

24 MR. STAMETS: Not a very good
25 time to have a hearing.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true, and correct record
of the hearing prepared by me to the best of my ability.

Sally W. Boyd CSR