

STATE OF NEW MEXICO  
ENERGY AND MINERALS DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BLDG.  
SANTA FE, NEW MEXICO

17 September 1986

EXAMINER HEARING

IN THE MATTER OF:

Application of Merrion Oil & Gas Cor- CASE  
poration for directional drilling and 8989  
an unorthodox bottom hole oil well lo-  
cation, McKinley County, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Jeff Taylor  
Legal Counsel for the Division  
Oil Conservation Division  
State Land Office Bldg.  
Santa Fe, New Mexico 87501

For the Applicant: Tommy Roberts  
Attorney at Law  
Farmington, New Mexico

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

STEVEN S. DUNN

Direct Examination by Mr. Roberts	3
Cross Examination by Mr. Catanach	14

E X H I B I T S

Merrion Exhibit One, Plat	5
Merrion Exhibit Two, Structure Map	6
Merrion Exhibit Three, Tabulation	9
Merrion Exhibit Four, Schematic	10
Merrion Exhibit Five, Economic Summary	11
Merrion Exhibit Six, Bar Graph	13

1

2

MR. CATANACH: Call next Case

3

8989.

4

MR. TAYLOR: Application of

5

Merrion Oil and Gas Corporation for directional drilling and

6

an unorthodox bottom hole oil well location, McKinley Coun-

7

ty, New Mexico.

8

MR. ROBERTS: I'm Tommy

9

Roberts, P. O. Box 129, Farmington. The zip code is 87499.

10

I'm appearing on behalf of the

11

Applicant, Merrion Oil and Gas Corporation and I have one

12

witness to be sworn.

13

MR. CATANACH: Are there any

14

other appearances in this case?

15

16

(Witness sworn.)

17

18

STEVEN S. DUNN,

19

being called as a witness and being duly sworn upon his

20

oath, testified as follows, to-wit:

21

22

DIRECT EXAMINATION

23

BY MR. ROBERTS:

24

Q

Would you please state your name and your

25

place of residence?

1           A           My name is Steve Dunn and I'm from Farm-  
2 ington, New Mexico.

3           Q           What is your occupation?

4           A           I am Operations Manager for Merrion Oil  
5 and Gas Corporation.

6           Q           How long have you been employed in that  
7 capacity?

8           A           I've been employed by Merrion Oil and Gas  
9 for 10-1/2 years; the last 5-1/2 years as Operations Mana-  
10 ger.

11          Q           Are you familiar with the operations of  
12 Merrion in the area which is the subject of this applica-  
13 tion?

14          A           Yes, I am.

15          Q           Have you testified before the New Mexico  
16 Oil Conservation Division on any prior occasion?

17          A           Yes, I have.

18          Q           In what capacity?

19          A           As a petroleum engineer.

20          Q           Are you familiar with the application in  
21 this case?

22          A           Yes, I am.

23                           MR. ROBERTS:   Mr. Examiner, I  
24 would ask that Mr. Dunn's qualifications as an expert in the  
25 field of petroleum engineering be accepted.

1 MR. CATANACH: Mr. Dunn is so  
2 qualified.

3 Q Could you briefly describe the purpose of  
4 this application?

5 A Merrion Oil and Gas seeks authority to  
6 plug back, side track and directionally drill our Federal 21  
7 Well No. 1, located at a standard surface location 2,310  
8 feet from the south and west lines of Section 21, Township  
9 20 North, Range 5 West, Ojo Encino-Entrada Pool, to a new  
10 unorthodox bottom hole location within 100 feet of a point  
11 2310 feet from the south line and 2,610 feet from the west  
12 line of the same section 21, the northeast quarter of south-  
13 west quarter of this section to remain as the dedicated ac-  
14 reage to the well.

15 Q Mr. Dunn, would you turn to what's been  
16 marked as Exhibit Number One and identify that exhibit?

17 A Exhibit Number One is a lease ownership  
18 plat of Section 21, Township 20 North, Range 5 West, cover-  
19 ing the Ojo Encino-Entrada Pool and its offsetting leases.

20 Q Would you summarize the data illustrated  
21 on this exhibit, which is pertinent to the application in  
22 this case?

23 A This exhibit shows that all leases in  
24 this section are Federal leases. Merrion is 100 working in-  
25 terest owner of the lease covering the west half of the east

1 half of Section 21, shown in blue, and offsetting the Ojo  
2 Encino-Entrada Pool to the east.

3 We are also 75 percent working interest  
4 owner in the southwest quarter of Section 21, with the ex-  
5 ception of the northeast of the southwest quarter, where we  
6 own 100 percent of the working interest.

7 Merrion is also 100 percent working  
8 interest owner in the southeast quarter of the northwest  
9 quarter of that same section in the Entrada formation only.  
10 The remainder of this quarter section, we have no working  
11 interest.

12 Q Mr. Dunn, turn to what's been marked as  
13 Exhibit Number Two and identify that exhibit.

14 A Exhibit Number Two is a well location and  
15 structure map of the Entrada formation in the Ojo Encino  
16 Pool area.

17 Q Summarize the data illustrated on this  
18 exhibit which is pertinent to this application.

19 A The Ojo Encino-Entrada Pool consists of  
20 the southeast quarter of the northwest quarter and the  
21 northeast quarter of the southwest quarter of Section 21,  
22 Township 20 North, Range 5 West, and is identified by the  
23 orange outline on Exhibit Number Two.

24 here are two wells in the pool, the Fed-  
25 eral 21 No. 1, located at 2,310 feet from the south line,

1 2,310 feet from the west line, and the Federal 21 No. 2, at  
2 2,310 feet from the north line, 2,310 feet from the west  
3 line in Section 21, also.

4 Our proposed unorthodox bottom hole loca-  
5 tion is shown on Exhibit Two in pink and the estimated ex-  
6 tent of the oil saturated Entrada is shown with a green out-  
7 line.

8 Q Describe the data on which the structure  
9 map was developed.

10 A The structure map was delineated using  
11 subsurface well logs and seismic data.

12 Q And please describe, if you would, the  
13 data on which the estimate of the extent of the oil satur-  
14 ated Entrada formation is based.

15 A The extent of oil saturation was found  
16 also using subsurface well logs and the seismic derived  
17 structure.

18 Q What percentage of the working interest  
19 applicable to the Entrada formation within the boundaries of  
20 the existing pool does Merrion own?

21 A We own 100 percent.

22 Q What amount of acreage is contained with-  
23 in the boundaries of the pool?

24 A 80 acres, more or less.

25 Q And, Mr. Dunn, on what spacing is the Ojo

1 Encino Pool currently developed?

2 A 40-acre spacing.

3 Q What are the standard location require-  
4 ments for wells drilled within the boundaries of this pool?

5 A A standard location is 330 feet from any  
6 outer boundary of a spacing unit.

7 Q What is the current status of the wells  
8 that have been drilled within the boundaries of the pool?

9 A The Federal 21 No. 1 Well was plugged  
10 back and a completion attempt made in the Menefee formation.  
11 That was unsuccessful and the well is not producing present-  
12 ly.

13 The Federal No. 21-2 Well was produced to  
14 its economic limit and is currently shut in.

15 Q Mr. Dunn, would you explain the signifi-  
16 cance of structure with respect to the production of oil  
17 from the Ojo Encino-Entrada Pool?

18 A The Entrada is a bottom water-drive re-  
19 servoir where the oil is 14 times more viscous than the for-  
20 mation water. Because of the viscosity difference, water  
21 tends to flow much more easily than the oil through the re-  
22 servoir; therefore, the higher a well is structurally, the  
23 less water coning is a problem, the less water we have to  
24 handle. This extends the reservoir life and increases the  
25 recovery.

1           Q           What is the location of the highest  
2 structural portion of the Entrada formation in this pool?

3           A           As shown on Exhibit Two, the highest  
4 structural portion of the reservoir is enclosed by the +930  
5 foot contour line and is generally located along the  
6 north/south half section line.

7           Q           Where is the location with respect to the  
8 highest structural portion of the formation?

9           A           The proposed location is positioned at or  
10 near the structurally highest area of the Entrada Pool.

11          Q           And what are the footages associated with  
12 the bottom hole location of the proposed unorthodox loca-  
13 tion?

14          A           The proposed bottom hole location is  
15 within 100 feet of 2,310 feet from the south line and 2,610  
16 feet from the west line of Section 21, Township 20 North,  
17 Range 5 West.

18          Q           Turn to Exhibit Number Three and identify  
19 that exhibit.

20          A           Exhibit Number Three is a tabulation of  
21 predicted recoveries from several Entrada pools in the  
22 vicinity of Ojo Encino.

23          Q           Where are these Entrada pools located in  
24 relation to the Ojo Encino-Entrada Oil Pool?

25          A           The Arena Blanca Entrada Pool is approxi-

1 mately four miles to the southeast.

2 Eagle Mesa is approximately eight miles  
3 to the southeast.

4 The Leggs Entrada Pool is thirty-five  
5 miles to the northwest.

6 And Papers Wash is located six miles  
7 south of Ojo Encino.

8 Q What is the basis for the estimates of  
9 ultimate recovery illustrated in this exhibit?

10 A Production decline curves on the wells in  
11 these pools were used to predict remaining reserves. The  
12 remaining reserves were then added to the cumulative produc-  
13 tion to find the ultimate recoveries expected.

14 Q What conclusions, if any, can you draw  
15 from the data illustrated on this exhibit with respect to  
16 the recovery of oil from the pool?

17 A Well, the average recovery expected from  
18 an entrada reservoir is 34 percent of the oil in place by  
19 simple arithmetic average.

20 The Ojo Encino Pool has recovered nine  
21 percent of the oil in place and so we believe that there  
22 exists reasonable recovery potential of twenty-five percent  
23 of the oil in place, or around 240,000 barrels.

24 Q Refer to Exhibit Number Four and identify  
25 that exhibit.

1           A           Exhibit Number Four is a wellbore  
2 schematic of the Federal 21 No. 1 Well showing its present  
3 condition.

4                   The well is completed in the Menefee at  
5 approximately 2200 feet with several bridge plugs and cement  
6 retainers below.

7           Q           What's the significance of this exhibit  
8 with respect to this application?

9           A           This exhibit is intended to show that in  
10 order to return this well to production in the Entrada a  
11 fairly extensive workover would be required, and Merrion de-  
12 cided the cost of returning this well to production should  
13 be weighted against the cost and benefits of directionally  
14 drilling a new well.

15           Q           Briefly describe the process by which you  
16 would propose to utilize this wellbore for purposes of  
17 directional drilling.

18           A           Basically the bridge plug and retainers  
19 would be drilled out and we would cut a sixty foot windows  
20 in the casing at approximately 4000 feet. A cement plug  
21 would then be set and directional drilling would kick off at  
22 this point, using directional equipment.

23           Q           Refer to Exhibit Number Five. Identify  
24 that exhibit.

25           A           Exhibit Number Five is an economic sum-

1 mary comparing two cases.

2 Case one is to directionally drill to the  
3 top of the Entrada structure and Case two is to produce the  
4 Entrada in the existing wellbore.

5 Q In Case one you have assumed a recovery  
6 factor of 30 percent. What is the basis for the use of a 30  
7 percent recovery factor?

8 A Well, 30 percent recovery is more conser-  
9 vative than the 34 percent and I wanted to be a little more  
10 conservative. And the other reason is it fits very well  
11 with the average Entrada well's initial rate in the area of  
12 184 barrels per day used in this analysis.

13 Q What conclusions, if any, are you able to  
14 draw from the data illustrated on this exhibit with respect  
15 to the potential for increasing the recovery of oil in the  
16 Ojo Encino Oil Pool?

17 A Well, by drilling to a better position on  
18 top of the structure, we believe a substantial portion of  
19 the remaining potential can be recovered, which we've esti-  
20 mated in Exhibit Five at 194,000 barrels.

21 On the other hand, by re-opening the  
22 present wellbore we will recover far less at approximately  
23 59,000 barrels.

24 Q Please turn to what's been marked as Ex-  
25 hibit Number Five and identify that exhibit.

1           A           Exhibit Number Six?

2           Q           Exhibit Number Six, I'm sorry.

3           A           Exhibit Number Six a bar graph which  
4 shows the cost of drilling a new well versus directionally  
5 drilling and we estimate the cost of a new well at \$502,000  
6 and we believe we can directionally drill, on the other  
7 hand, at -- for a cost of \$235,000.

8           Q           Okay, what conclusions are you drawing  
9 from the data represented here in this exhibit?

10          A           Well, from a cost standpoint it is much  
11 more desirable for us to directionally drill than to drill a  
12 new well.

13          Q           Aside from the consideration of econo-  
14 mics, are there any other advantages in directionally drill-  
15 ing from the existing wellbore?

16          A           It allows us to use the existing surface  
17 location and the production equipment that's already in  
18 place.

19          Q           Mr. Dunn, in your opinion will the grant-  
20 ing of this application result in the prevention of waste  
21 and the protection of correlative rights, and be in the in-  
22 terest of conservation?

23          A           Yes.

24          Q           Mr. Dunn, are you familiar with the re-  
25 quirements set forth in Rule 1207 of the Rules and Regula-

1 tions of the New Mexico Oil Conservation Division?

2 A Yes, I am.

3 Q Have those requirements been satisfied in  
4 this case?

5 A Yes, they have. Merrion Oil and Gas is  
6 the operator in the Entrada of the offsetting leases that  
7 require notification.

8 Q Were Exhibits One through Six either pre-  
9 pared by you or at your direction and under your supervi-  
10 sion?

11 A Yes, they were.

12 MR. ROBERTS: Mr. Examiner, I  
13 would tender Exhibits One through Six into evidence.

14 MR. CATANACH: Exhibits One  
15 through Six will be admitted as evidence.

16 MR. ROBERTS: And I have no  
17 other questions of this witness on direct.

18

19 CROSS EXAMINATION

20 BY MR. CATANACH:

21 Q Mr. Dunn, do you -- does your company in-  
22 tend to run directional surveys on the well when it's com-  
23 pleted and ready to go?

24 A We'll have to run a directional survey in  
25 the existing well the way it is right now, just to make sure

1 of where it's located, and then we will be running continual  
2 directional surveys to control where we're going.

3 Q So after you finish drilling you will  
4 know where that bottom hole location is.

5 A Yes.

6 Q The bottom hole location looks like it's  
7 30 feet from -- from that section, that quarter quarter  
8 section line. In the event that the bottom hole location  
9 crosses that quarter quarter section line, do you intend to  
10 dedicate a different quarter section to that well?

11 A Well, since we're 100 percent working  
12 interest owner in the offsetting lease, yes, we could.

13 Q The well was producing from the Entrada  
14 formation before you completed in the Menefee?

15 A That's correct.

16 Q And why was the Entrada abandoned?

17 A Merrion Oil and Gas recently purchased  
18 this well, as well as the other well that's in the pool.  
19 Texaco was the operator prior to that and they felt that the  
20 Entrada was at its economic limit, at least this is my best  
21 estimate, they thought it was at its economic limit and  
22 attempted a recompletion in the Menefee but it was  
23 unsuccessful.

24 MR. CATANACH: I have nothing  
25 further for Mr. Dunn. He may be excused.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Is there anything further in  
Case 8989?  
If not, it will be taken under  
advisement.

(Hearing concluded.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO  
HEREBY CERTIFY the foregoing Transcript of Hearing before  
the Oil Conservation Division (Commission) was reported by  
me; that the said transcript is a full, true, and correct  
record of the hearing, prepared by me to the best of my  
ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 8988,  
heard by me on Sept. 17, 1986.

David R. Catanzano, Examiner  
Oil Conservation Division