

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 6 January 1988

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Penroc Oil Corpor- CASE
10 ation for salt water disposal, 9287
11 Lea County, New Mexico.

12 BEFORE: Michael E. Stogner, Examiner
13
14

15 TRANSCRIPT OF HEARING
16
17

18 A P P E A R A N C E S
19
20

21 For the Division:
22
23

24 For the Applicant:
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STOGNER: I'll call next Case Number 9287, the application of Penroc Oil Corporation for salt water disposal, Lea County, New Mexico.

The applicant has requested that this case be continued to the Examiner's hearing scheduled for January 20th, 1990 -- 1988.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9287, heard by me on 16 January 1988.
Michael P. Stogor, Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

20 January 1988

EXAMINER HEARING

IN THE MATTER OF:

Application of Penroc Oil Corporation CASE
for salt water disposal, Lea County, 9287
New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

For the Applicant:

W. Thomas Kellahin
Attorney at Law
KELLAHIN, KELLAHIN & AUBREY
P. O. Box 2265
Santa Fe, New Mexico 87504

I N D E X

1

2

3 MOHAMMED YAMIN MERCHANT

4 Direct Examination by Mr. Kellahin 4

5 Cross Examination by Mr. Catanach 17

6 Redirect Examination by Mr. Kellahin 19

7 Recross Examination by Mr. Catanach 22

8

9

10

11

E X H I B I T S

12

13 Penroc Exhibit One, Plat 4

14 Penroc Exhibit Two, C-108 6

15 Penroc Exhibit Three, C-103 6

16 Penroc Exhibit Four, Tabulation 7

17 Penroc Exhibit Five, Tabulation 8

18 Penroc Exhibit Six, Well Data 10

19 Penroc Exhibit Seven, Sketch 10

20 Penroc Exhibit Eight, Sketch 11

21 Penroc Exhibit Nine, Log 12

22 Penroc Exhibit Ten, Tabulation 12

23 Penroc Exhibit Eleven, Schematic 13

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

E X H I B I T S

Penroc Exhibit Twelve, Summary	14
Penroc Exhibit Thirteen, Summary	14
Penroc Exhibit Fourteen, Water Analysis	15
Penroc Exhibit Fifteen, Tabulaton	15
Penroc Exhibit Sixteen, Plat	15
Penroc Exhibit Seventeen, Return Receipts	16

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CATANACH: So we'll call Case 9287, which is the application of Penroc Oil Corporation for salt water disposal, Lea County, New Mexico.

Are there appearances in this case?

MR. KELLAHIN: If the Examiner please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing on behalf of Penroc Oil Corporation.

Mr. Examiner, may the record reflect that Mr. Merchant is already under oath. He has been qualified as an expert petroleum engineer and we're prepared to go forward with his exhibits in this case.

MR. CATANACH: The record will so indicate, Mr. Kellahin.

MOHAMMED YAMIN MERCHANT,
being called as a witness and having been previously sworn upon his oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q Mr. Merchant, would you take a moment and look at what I've marked as Exhibit Number One, which is the plat of this area on which you've identified the well loca-

1 tion. For the record would you simply state the name of the
2 well and where it is located?

3 A Okay. The name of the well is George
4 McGonagill No. 1. It's located in the northeast quarter of
5 the northeast quarter, Section 2, Township 18 South, Range
6 35 East, Lea County, New Mexico.

7 Q Where is this well in relation to the
8 well we discussed in Case 9297?

9 A This well is approximately four miles to
10 the northeast of the earlier discussed case.

11 Q And in fact if we look at the southwest
12 corner of this display, Exhibit One, we find Section 8
13 where the prior well is located, do we not?

14 A That is correct.

15 Q So as we move to the north and east we're
16 looking at the George McGonagill Well?

17 A Yes, sir.

18 Q Would you describe for the Examiner what
19 has been the history of that well?

20 A This well was originally drilled to the
21 Abo by the then Aztec Oil and Gas Corporation in 1961. They
22 were unsuccessful. After extensive testing they were unsuc-
23 cessful to making a completion in the Abo. It was plugged
24 and abandoned. Later on it was re-entered by Buddy West-
25 brook out of Hobbs to be completed in the San Andres, and it

1 was later abandoned. In fact, immediately after the recom-
2 pletion attempt because San Andres was watered out.

3 It was then, the third time it was re-
4 entered by Apollo Energy, which is my previous company, and
5 we came up the hole to the Upper San Andres and we tested
6 the Abo, it wasn't no good, and we came up the hole to the
7 Upper San Andres and it was watered out.

8 So after three different operators, three
9 attempts, the wellbore for all practical purposes is not any
10 good for commercial production.

11 Q You propose to utilize what footage in-
12 terval in the San Andres for disposal?

13 A Okay. Okay, we intend to dispose from a
14 depth of 4790 to 5086 feet, which is all of San Andres.

15 Q Let me direct your attention now, Exhibit
16 Number Two is simply the C-108, Mr. Merchant, let me direct
17 your attention to Exhibit Three, which is your C-103 for
18 this well.

19 A Okay, C-103 is an intent filed with the
20 OCD to re-enter the well. It is -- it is already open in
21 the Upper San Andres and we intend to drill out the CI
22 bridge plug set at 4970 and add additional perforations in
23 the San Andres before -- prior to putting injection, which
24 is similar, by the way, to the Rice salt water disposal
25 wells.

1 Q Okay. The source of the water to be dis-
2 posed of in the subject well is what source?

3 A The source, there'll be multi-source.
4 Number one, we'll utilize, if necessary, for our State "AF"
5 lease, which is constantly in a disposal bind with Rice En-
6 gineering.

7 We hope that "AF" No. 3, the earlier
8 case, will take care of the No. 1 Well. If it don't, we'll
9 utilize the produced water from the Devonian from the "AF"
10 coming to the George McGonagill lease.

11 The second purpose for the disposal well
12 in George McGonagill is the severe need of disposal facili-
13 ties in the Buckeye area. As most of us are aware, most
14 major oil company problems in Buckeye area which is no dis-
15 posal for the San Andres and Abo water, mostly San Andres,
16 and the water will be trucked in within a mile from the
17 wellbore -- well site.

18 Q Let's go to the tabulation of information
19 that starts on Exhibit Four and have you discuss some of the
20 more -- some of the rest of the information.

21 For example, what do you anticipate to be
22 the maximum daily disposal rate?

23 A The maximum daily disposal rate is 5000
24 barrels a day. The average daily rate is approximately 2500
25 barrels a day and that's going back talking to Rice Engine-

1 ering. They said their wells can take over 300 barrels an
2 hour on vacuum.

3 So based on experience in the San Andres,
4 especially the lower San Andres, in the southeast New Mexico
5 area, most of these wells will take 2-to-3000 barrels a day
6 on vacuum easily.

7 Q The Commission guidelines for a surface
8 limitation pressure of .2 psi per foot of depth will be a
9 limitation, then, that is acceptable for you for disposal
10 purposes in this well?

11 A That is correct. I mentioned earlier I
12 do not foresee any surface pressures but if there is, they
13 shouldn't exceed that .2 psi per foot.

14 Q Let's turn now to the second page of that
15 tabulation. I think it's been marked as Exhibit Five. Do
16 you propose to treat the injection interval, Mr. Merchant?

17 A Initially there may not be a need but
18 since we don't know exactly what it will do we'll put some
19 kind of treatment on it.

20 Q Based upon your studies of the area do
21 you find any geologic or hydrologic connection between the
22 disposal interval and any underground sources of drinking
23 water?

24 A There's a fresh water well located east,
25 east of the subject well but we do not see any problem be-

1 cause of the proper cementing and casing practices.

2 Q Can you approximate where the water well
3 that's east of your location?

4 A Yes, approximately a mile and a half
5 east, Tom.

6 Q And do you know the ownership of that
7 well?

8 A R. D. Lee and Bill Lee.

9 Q And they are the same owners of the sur-
10 face at which the disposal well is to be located?

11 A That is correct.

12 Q And have you obtained the concurrence of
13 Mr. Lee and his father with regards to the use of this well
14 for disposal purposes?

15 A Verbal, yes; written, I don't have one,
16 but it's a minor problem to submit one if that's necessary.

17 Q Do you have the necessary approvals for
18 the utilization of this wellbore for commercial disposal
19 purposes?

20 A From the --

21 Q From the Lees.

22 A Yes, sir, I do.

23 Q So you can utilize off -- off lease pro-
24 duced water for disposal in this well.

25 A That is correct.

1 Q Other than the Lees' water well to the
2 east, are you aware of any other sources of fresh water?

3 A No, I'm not aware of any.

4 Q Can you approximate for us, Mr. Merchant,
5 the depth at which the Lee water well is producing?

6 A It's between 150 to 200 feet subsurface.

7 Q Do you know whether or not that is
8 Ogallala water or some other fresh water source?

9 A It's Ogallala water.

10 Q Do you know whether or not there are
11 shallow fresh water sands occurring below the base of the
12 Ogallala in this area?

13 A Not to my knowledge.

14 Q Have you made an examination of the
15 wellbores within a half mile radius of the disposal well?

16 A Yes, sir, I have.

17 Q Let's turn to Exhibit Number Six and com-
18 plete our discussion on the George McGonagill No. 1 Well.
19 You have tabulated the perforation information and the cas-
20 ing information.

21 Let's turn, sir, to Exhibit Number Seven
22 which shows the current wellbore sketch for that well and
23 have you talk about both of those exhibits at the same time.

24 A Okay. The current wellbore sketch shows
25 the surface casing set at 320 feet, cement circulated to

1 surface. The 8-5/8ths is set at 3498 and once again cement
2 circulated to surface, using 1365 sacks of cement.

3 When the well was originally plugged back
4 in 1962 or 63, part of the production casing was pulled and
5 that's why you see a 5-1/2 casing stub at 2888, and during
6 extensive testing of the Abo, as well as the San Andres, by
7 Apollo Energy, that casing stub was tested many, many times,
8 pressure tested, and it is in good shape.

9 The wellbore sketch also shows the pre-
10 sently open perforation from 4790 to 4846, which was non-
11 commercial. I believe it was two barrels of oil and 350
12 barrels of water.

13 And the proposed wellbore sketch also
14 shows the additional perforations we will make in the San
15 Andres.

16 The wellbore sketches also show the Abo
17 perforations from 8780 to 9080, which were abandoned back in
18 1982 or '83 when we re-entered it.

19 Q Let's draw your attention now to Exhibit
20 Eight, which is the proposed completion for disposal.

21 A The proposed well will have a 2-7/8ths
22 plastic-coated tubing set at approximately 4600 feet inside
23 a plastic-coated Bake Model AD-1 packer, injecting into the
24 perforations from 4970 to 5086.

25 MR. CATANACH: Tom, I've got

1 that marked as Exhibit Number Eleven.

2 MR. KELLAHIN: Okay, would you
3 mind remarking those for me?

4 MR. CATANACH: Sure, what should
5 that be?

6 MR. KELLAHIN: The proposed
7 wellbore schematic I have as Number Eight.

8 MR. CATANACH: Okay.

9 Q Number Nine, Mr. Merchant, let me direct
10 your attention to that. It's the portion of a log that
11 shows the perforations in the McGonagill Well. Can you
12 identify that for us?

13 A Once again, this is a copy of the portion
14 of acoustic log run on this well back in 1961 and it shows
15 the interval which we propose to open from 4790 to 5086.

16 Q Okay.

17 A That's all I have.

18 Q All right. Let's review the information
19 with the Examiner on those wells within the half mile radius
20 that penetrate the San Andres formation, either have
21 produced from the San Andres or produced below that
22 interval.

23 My Exhibit Ten is your tabulation of
24 information on the Apollo Energy Lee No. 1 -- No. 2 Well in
25 Section 2?

1 A That is correct.

2 Q All right, sir.

3 A Okay, the Lee No. 2 (unclear) is located
4 one location, a little more than one location, west of the
5 George McGonagill No. 1. It was originally drilled by ARCO
6 Oil and Gas and by Sinclair in the 1960's and was plugged
7 and abandoned as an Abo dry hole.

8 It was re-entered at a later date, in the
9 early eighties by Apollo Energy, which is formerly myself,
10 and we were unsuccessful in recompleting it in the Abo and
11 we abandoned that zone. We came up to the San Andres, per-
12 forated it, tested it, and it was all water, and as this ex-
13 hibit will show, it was properly plugged and abandoned.

14 Q You have prepared a schematic of that
15 wellbore and that's marked as Exhibit Number Eleven?

16 A That is correct. It shows the San Andres
17 perfs from 4222 to 4232 and also the Lower San Andres perfs
18 from 5082 to 5094, as well as the Abo perfs, sets of Abo
19 perfs, from 8400 feet all the way down to 8992, which were
20 properly abandoned at various times.

21 Q Is that the only plugged and abandoned
22 well within the half mile radius that produced from or pene-
23 trated through the Abo?

24 A Through the Abo?

25 Q Yes, sir.

1 A No, there is one more -- a couple of
2 other wells.

3 The second one is the Cities Service
4 State BJ No. 1, which is still producing from the Abo from
5 8904 to 8952.

6 Q Well, I didn't make myself clear. The
7 Apollo Lee No. 2 Well is the only well that's plugged and
8 abandoned.

9 A Oh, I'm sorry, yeah. That's the only
10 well I know of which is plugged, yes.

11 Q Okay. Let's go the producing wells now
12 and looking at Exhibit Twelve, that starts the two-well
13 summary with the Cities Service BJ No. 1 and then the Cities
14 Service BJ No. 3 Wells?

15 A BJ No. 1 and BJ No. 3 both are Abo wells
16 drilled in the mid-sixties and are currently producing about
17 7 or 8 barrels a day and as the information on it shows,
18 that they are both -- both have proper casing and cement
19 jobs.

20 Q Exhibit Thirteen is the information on
21 the Hondo Oil Lee 946 State No. 3 Well and then the Penroc
22 Lee No. 1 Well.

23 A Once again the information on this
24 exhibit shows that it does have proper casing and cement in
25 both these producers, both Hondo as well as Penroc's well

1 within that half a mile radius.

2 Q I direct your attention now, Mr.
3 Merchant, to Exhibit Number Fourteen and have you identify
4 that.

5 A Exhibit Number Fourteen is once again a
6 water analysis from Halliburton.

7 The first one is a water well, the fresh
8 water well belongs to the Lee Cattle Company or the Lee --
9 R. D. and Bill Lee, and the second one is an analysis of
10 produced water off the Devonian well, off State "AF" No. 1.

11 Like I mentioned earlier, that the well
12 will be -- if approved, will be open for commercial disposal
13 and we will be taking water, predominantly San Andres, in
14 the Buckeye area.

15 Q Prior to utilization of this wellbore for
16 disposal of other waters from other formations, is it
17 acceptable to you to submit water analyses to the District
18 Office of the Division and have a determination made by the
19 District Office as to the compatibility of the fluids?

20 A I don't have a problem submitting that
21 information.

22 Q Let me discuss with you now Exhibits
23 Fifteen and Sixteen. One is a tabulation of disposal wells
24 in the area and the other is a plat.

25 Would you brief the Examiner on what

1 other disposal facilities are being utilized in the area and
2 what formations in which they dispose of fluids?

3 A Okay. The -- going from top to bottom,
4 the first -- the first three are Rice Engineering Disposal
5 wells.

6 The first one is open hole from 4885 to
7 5855, a ratehr large open hole.

8 The second one is perforated from 4973 to
9 5713, and third one is 5230 to 5755.

10 You will note that they are all in the
11 San Andres.

12 The (unclear) next to the BTA -- BTA No.
13 2 in Unit letter G and the BTA No. 2 in Unit letter E, they
14 are -- the first one is completed open hole in the Abo as a
15 disposal well and the second one is in the San Andres. To
16 my knowledge the two BTA wells are being utilized only by
17 BTA. compared to the three Rice wells, that are being
18 utilized for commercial disposal.

19 Q Then finally, looking at Exhibit Seven-
20 teen, that's the notices, would you describe what you've
21 done with regards to notification?

22 A This is again certified mail notices to
23 all the offset operators, as well as the surface owners,
24 which in this case is R. D. Lee.

25 MR. KELLAHIN: That concludes

1 my presentation, Mr. Examiner.

2 We would move the introduction
3 of Mr. Merchant's Exhibits One through Seventeen.

4 MR. CATANACH: Exhibits One
5 through Seventeen will be admitted into evidence.

6

7

CROSS EXAMINATION

8

BY MR. CATANACH:

9 Q Mr. Merchant, I have a question on the
10 Cities Service State BJ No. 1 Well. It's on Exhibit Twelve.

11 A All right.

12 Q That long string of 5-1/2 inch casing is
13 set at 9009 and cemented with (unclear) sacks; top of the
14 cement at 5085. That is below the -- the injection -- your
15 injection zone in your proposed disposal well.

16 A That is -- that is correct and that was
17 one reason, even though the half a mile radius, if you look
18 on this -- on the plat, we barely missed it. I don't have
19 a, you know, reason for saying why. It is that way.
20 There's not something I can do about it.

21 Q But it is within one-half mile --

22 A Well, --

23 Q -- of your well?

24 A Depending on how the bird flies, or how
25 you make that circle, if you make that circle with a very

1 sharp pencil, it's outside the half mile radius, the BJ No.
2 1.

3 Q Well, have you -- have you actually
4 looked at both well locations and actually figured out the
5 distance between the two?

6 A That's out of the half a mile radius.

7 Q It is out of the half mile radius?

8 A Yeah. But the cement is, like you men-
9 tioned of the long string, is only to 5085.

10 Q Right, which -- which leaves a potential
11 risk of -- of the -- your injected fluid migrating up the 5-
12 1/2 inch annulus.

13 A In the area normally most of the water
14 disposal, everywhere I'm familiar with in southeast New Mex-
15 ico, including on those three Rice wells to the -- to the
16 north, to the north of us there, you notice Rice Engineering
17 have a well immediately to the north of the Cities Service
18 well in question and they're disposing water in it right
19 now. And we are much, much further away.

20 Q Locate those wells for me. You've got
21 your Rice Engineering wells --

22

23 (There followed a discussion off the record.)

24

25 MR. KELLAHIN: Let's go back on

1 the record, Mr. Examiner.

2 Off the record, Mr. Examiner, I
3 have shown you my copy of Exhibit Fifteen, I believe it is,
4 Sixteen, which shows the location of the Cities Service JB
5 No. 1 Well in relation to the three Rice disposal wells and
6 finally in relation to the Penroc proposed location.

7

8 REDIRECT EXAMINATION

9 BY MR. KELLAHIN:

10 Q Let me ask you, in relation to that
11 exhibit now that's before all of us, Mr. Merchant, have you
12 seen or are you aware of any adverse effect that the Rice
13 disposal has had upon the Cities Service BJ No. 1 Well?

14 A No effect whatsoever.

15 Q And what is the relationship of that well
16 to the nearest Rice disposal well? How many feet apart is
17 it?

18 A Just looking at this map seems like it's
19 660 feet, they are 660 feet apart; 330 from the property
20 line to Rice's well and 330 from the property line to Cities
21 Service' well, so it's 660 total.

22 Q Do you see any potential for contamina-
23 tion of the interval being produced in the Cities Service
24 from injection or disposal of fluids in your well from the
25 fact that the annular space in the 5-1/2 inch casing is not

1 full of cement?

2 A No, I don't. Rice have been injecting or
3 disposing in there on vacuum or gravity feed, like they call
4 it, for quite a few years, at least 10 or 11 I know of, and
5 they are sitting located direct offset 330 feet of the sec-
6 tion line, or 660 from the wellbore.

7 And the Penroc proposed disposal well is
8 going to be over half a mile and we have good casing and
9 cement having been brought to the surface.

10 Q On another subject, Mr. Merchant, Rice
11 Engineering has sent a letter to the Commission with regards
12 to your application today to express their concerns about
13 your plan of operation for your disposal well.

14 And if I might take a moment, Mr.
15 Examiner, I'd like to show you their letter dated January
16 4th of '88, Mr. Merchant, in which Mr. Goodheart writes a
17 letter to the Commission.

18 Have you seen this letter before the
19 hearing today?

20 A No, I have not. This was the first time.

21 Q Let me ask you to take a moment and read
22 the letter to yourself so that you understand what their
23 concern is.

24 A I've reviewed the letter.

25 Q All right. Having reviewed the letter,

1 Mr. Merchant, would you summarize in your opinion what Rice
2 Engineering is requesting of the Commission?

3 A Rice Engineering's point is that they are
4 -- they have three disposal wells in the area, which are
5 being operated on a gravity feed system; that they would
6 like to see Penroc's well restricted to some kind of pres-
7 sure or no pressure at all.

8 That's all.

9 Q Do you see a need or a justification to
10 have the Examiner grant you a surface limitation pressure
11 greater than the pressure limitation set forth in the Divi-
12 sion memorandum which is a limitation of .2 psi per foot of
13 depth?

14 A No, I don't. I believe we would not see
15 any pressures as long as we're within the .02 -- .2 psi per
16 foot limitation, we'll be in good shape.

17 Q Within that limitation and a true vacuum
18 injection do you see any need to honor Rice's request that
19 your disposal be conditioned only upon a vacuum disposal
20 system?

21 A No, I don't.

22 Q Why not, sir?

23 A Because there will come a time, as long
24 as Rice has been disposing in there, there'll come a time,
25 it may not be in my lifetime but it will, where it will

1 eventually require some kind of pressurized system and I'm
2 not going to sit here today and commit to something I can't
3 live with.

4 MR. KELLAHIN: Nothing further.

5

6

REXCROSS EXAMINATION

7 BY MR. CATANACH:

8 Q I take it, Mr. Merchant, you haven't done
9 any injectivity tests on that well yet?

10 A Mr. Examiner, I have not ran any
11 injectivity tests on this well but during the regional
12 testing and completing of the Lower San Andres it was later
13 squeezed, the two Lower San Andres, actually it was done in
14 two stages, earlier by Buddy Westbrook and later on by
15 Apollo Energy, and the third San Andres, Upper San Andresd,
16 which is opened by myself, that in each instance the well
17 would be on a screaming vacuum as soon as you put any kind
18 of water to it during the acid jobs.

19 Q So you don't think that you could live
20 with just a vacuum system initially?

21 A Without having any kind of test I don't'
22 think so. I feel pretty comfortable that it will take it on
23 vacuum because that's the history of San Andres in the area,
24 especially the Lower San Andres, but I would like to have
25 the liberty or the approval to live within the limitation of

1 the .2 psi per foot, and I cannot see how I would be affec-
2 ting Rice or anybody else because I won't be fracturing any-
3 thing if I stay within my limitation.

4 MR. CATANACH: Okay. I have
5 nothing further of the witness.

6 Is there anything further in
7 Case 9287?

8 MR. KELLAHIN: No, sir.

9 MR. CATANACH: If not, it will
10 be taken under advisement.

11

12 (Hearing concluded.)

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9287, heard by me on Jan 20 1988.

David R. Catanock, Examiner
Oil Conservation Division