

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BLDG.  
5 SANTA FE, NEW MEXICO

6 30 March 1988

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Read & Stevens, Inc. CASE  
10 for termination of gas prorationing 9346  
11 cancellation of overproduction and  
12 emergency relief from shut-in re-  
13 quirements, Buffalo Valley-Pennsyl-  
14 vaian Gas Pool, Chaves County, New  
15 Mexico.

16 BEFORE: Michael E. Stogner, Examiner

17 TRANSCRIPT OF HEARING

18 A P P E A R A N C E S

19 For the Division: Charles E. Roybal  
20 Attorney at Law  
21 Legal Counsel to the Division  
22 State Land Office Bldg.  
23 Santa Fe, New Mexico 87501

24 For the Applicant: James G. Bruce  
25 Attorney at Law  
HINKLE LAW FIRM  
P. O. Box 2068  
Santa Fe, New Mexico 87504

For El Paso Natural Gas: John F. Nance  
Senior Attorney  
El Paso Natural Gas Company  
P. O. Box 1492  
El Paso, Texas 79978

A P P E A R A N C E S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

For Mewbourne Oil:                   W. Thomas Kellahin  
  Attorney at Law  
  KELLAHIN, KELLAHIN & AUBREY  
  P. O. Box 2265  
  Santa Fe, New Mexico 87501

I N D E X

STATEMENT BY MR. KELLAHIN	6
CHARLES B. READ	
Direct Examination by Mr. Bruce	11
Cross Examination by Mr. Nance	29
Cross Examination by Mr. Kellahin	36
Questions by Mr. Lyon	51

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

E X H I B I T S

Read & Stevens Exhibit One, Plat	14
Read & Stevens Exhibit Two, Plat	15
Read & Stevens Exhibit Three, Cross Section	18
Read & Stevens Exhibit Four, Cross Section	19
Read & Stevens Exhibit Five, Letter	27

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. STOGNER: Call next Case Number 9346.

MR. ROYBAL: Application of Read & Stevens, Inc. for termination of gas prorationing, cancellation of over-production and emergency relief from shut-in requirements Buffalo Valley-Pennsylvanian Gas Pool, Chaves County, New Mexico.

MR. STOGNER: There should be a comma between gas prorationing and cancellation.

Call for appearances in this matter.

MR. BRUCE: Mr. Examiner, my name is Jim Bruce from the Hinkle Law Firm in Santa Fe, representing the applicant in this case.

MR. STOGNER: Are there any other appearances?

MR. NANCE: Mr. Examiner, my name is John Nance. I'm representing El Paso Natural Gas Company.

MR. STOGNER: Are you going to have any witnesses, Mr. Nance?

MR. NANCE: El Paso does not plan to have a witness. No, sir.

MR. STOGNER: Okay. Are there

1 any other appearances?

2 MR. WEBER: Mr. Examiner, I'm  
3 Bill Weber, representing TransWestern Pipeline Company. I  
4 have no witnesses.

5 MR. STOGNER: What is your cap-  
6 acity with TransWestern, Mr. Weber?

7 MR. WEBER: I am a Senior Gas  
8 Supply Representative.

9 MR. STOGNER: Are there any  
10 other appearances?

11 MR. KELLAHIN: Mr. Examiner,  
12 I'm Tom Kellahin from the Santa Fe law firm of Kellahin,  
13 Kellahin & Aubrey. I'm appearing on behalf of Mewbourne Oil  
14 Company. M-E-W-B-O-U-R-N-E.

15 MR. STOGNER: Oil Company?

16 MR. KELLAHIN: Yes, sir.

17 MR. STOGNER: Are you going to  
18 have any witnesses, Mr. Kellahin?

19 MR. KELLAHIN: Not for today's  
20 hearing. When it's appropriate, I have a preliminary matter  
21 to raise with you on the notices.

22 MR. STOGNER: Okay, Mr. Kel-  
23 lahin.

24 Are there any other appearances  
25 at this time?

1 You may continue, Mr. Bruce.

2 MR. BRUCE: I'll defer to Mr.  
3 Kellahin.

4 MR. STOGNER: Mr. Kellahin,

5 MR. KELLAHIN: Mr. Examiner, my  
6 client called me yesterday and I was informed that the no-  
7 tice letter that they received for purposes of this hearing  
8 was a letter sent out by Read & Stevens on March 23rd of  
9 this year.

10 Mewbourne Oil Company is an in-  
11 terest owner in one of the wells in the Buffalo Valley Pool  
12 and is interested in this case.

13 The information I have is that  
14 the March 23rd letter is the only letter that they have re-  
15 ceived. They received that last Thursday on the 24t.

16 As you know, the notice rules  
17 require under 1207, Subsection B, that notice be sent at  
18 least 20 days prior to the hearing.

19 I've advised Mr. Bruce of my  
20 concern yesterday over the notice issue and my client has  
21 directed me to request the Commission that the case be con-  
22 tinued until the April 13th hearing at which time we will  
23 have had sufficient opportunity to review the application  
24 and prepare a presentation for the Examiner.

25 We are not prepared to go for-

1 ward today because of the notice issue. We simply have not  
2 had enough time to review the application and (unclear) to  
3 make a presentation.

4 MR. STOGNER: And this notice,  
5 you said it was dated the --

6 MR. KELLAHIN: The 23rd.

7 MR. STOGNER: And when did you  
8 receive it?

9 MR. KELLAHIN: The next day, on  
10 the 24th, which is last Thursday.

11 There may have been other no-  
12 tices sent. If so, I am unaware of them and perhaps Mr.  
13 Bruce can tell us, but that's all.

14 MR. STOGNER: Mr. Bruce?

15 MR. BRUCE: Mr. Examiner, I  
16 checked with my client and I believe the March 23rd date is  
17 correct. I believe also, and Mr. Kellahin may correct me,  
18 that we do have the permission of Mewbourne to put on our  
19 witness today subject to, if necessary, reappearing on the  
20 13th of April and continuing the case until April 13th to  
21 receive additonal comments or whatever (unclear).

22 MR. KELLAHIN: I certainly have  
23 no objection to that, Mr. Examiner. I don't want to put Mr.  
24 Read to any disadvantage by making part of his presentation  
25 today and then having to come back in two weeks and be sub-

1 ject to cross examination at that point, but if applicant  
2 desires to go forward today, I'm certainly willing to sit  
3 here and listen to his presentation, and I would have no ob-  
4 jection to (unclear).

5 MR. STOGNER: Mr. Bruce, when  
6 were you aware of this discrepancy?

7 MR. BRUCE: Yesterday at about  
8 2:00 o'clock.

9 MR. STOGNER: Mr. Kellahin, why  
10 didn't Mewbourne start action on this a little bit sooner?

11 MR. KELLAHIN: I don't know.  
12 They routed it to their engineers. I was called yesterday  
13 at 2:00. I inquired as to what had occurred. They said  
14 they got their notice last Thursday and were looking at it,  
15 called me on Tuesday, and I called Mr. Bruce within five  
16 minutes, advised him of my concern so that he would have an  
17 opportunity to notify his client before he left Roswell of  
18 the fact that it appears that we're going to have to have  
19 some more time, and go on from there.

20 MR. STOGNER: And, Mr. Bruce,  
21 what do you propose today?

22 MR. BRUCE: I would like to put  
23 on my witness, my sole witness.

24 MR. STOGNER: And continue the  
25 case until the 13th of April --

1 MR. BRUCE: Yes, sir.

2 MR. STOGNER: -- at which time  
3 will you present more testimony or --

4 MR. BRUCE: We do not have  
5 plans to present any more testimony, no. We would just like  
6 to keep it open to -- to allow Mewbourne a chance.

7 MR. STOGNER: And, Mr. Kella-  
8 hin, you would present evidence at that time.

9 MR. KELLAHIN: Yes, sir.

10 MR. STOGNER: And call a wit-  
11 ness.

12 MR. KELLAHIN: That's my plan.

13 MR. STOGNER: Mr. Bruce, do you  
14 know of any other discrepancies in the notification process  
15 other than Mr. -- other than Mewbourne?

16 MR. BRUCE: I am not certain.  
17 I believe my -- my client can testify as to that. Also I  
18 believe he contacted the other interest owners by phone, or  
19 other operators by phone, by the phone and they received  
20 both written and oral notice of the hearing, and everybody  
21 else has indicated they have no objection to this case.

22 MR. STOGNER: Have you got  
23 waivers to that extent? Or is this just by telephone  
24 conversation?

25 MR. BRUCE: By phone conversa-

1 tion.

2 MR. READ: Telephone conversa-  
3 tion.

4 MR. STOGNER: Okay. Why don't  
5 we go ahead and -- and continue with the examination of the  
6 witness today and we may have -- that may shed some light on  
7 the situation on that and we'll have to act on that.

8 MR. KELLAHIN: Let me ask a  
9 question so that I can save us some time today, if I may.

10 MR. STOGNER: Okay.

11 MR. KELLAHIN: Whether Mr. Read  
12 is -- it won't be too great an inconvenience to see if he'll  
13 be available for us on the April 13th hearing date. If he  
14 cannot be, then I will attempt in my own feeble way to ask  
15 him the questions that concern me, but if he can come back  
16 in two weeks, then perhaps my own client can answer my  
17 questions rather than trying to examine Mr. Read.

18 MR. STOGNER: Mr. Bruce?

19 MR. READ: I would prefer to  
20 put on my testimony today if it's convenient; just save me  
21 an extra trip up here from Roswell; that's the only concern  
22 I have right now. But if it's necessary I'll make a special  
23 trip back.

24 MR. KELLAHIN: It would be my  
25 preference to have Mr. Read return on the 13th or I'll

1 advise Mr. Bruce just as soon as I can of whether it's  
2 necessary for Mr. Read to return or not. I'll try not to  
3 impose an inconvenience on him but I'm really at a disadvan-  
4 tage because know what my client proposes to do with regards  
5 to the application.

6 MR. STOGNER: And, Mr. Bruce, I  
7 assume you understand the situation here and will act  
8 accordingly, so (unclear) with Mr. Kellahin --

9 MR. BRUCE: Yes, sir.

10 MR. STOGNER: -- and I think  
11 after we hear some of the testimony you all can settle that  
12 at that time.

13 Shall we continue?

14 MR. BRUCE: Sure.

15 MR. STOGNER: Okay, Mr. Bruce?

16

17

CHARLES B. READ,

18 being called as a witness, testified as follows, to-wit:

19

20

DIRECT EXAMINATION

21

BY MR. BRUCE:

22

Q Will you please state your full name and  
23 city of residence, please?

24

A Charles B. Read, Roswell, New Mexico.

25

Q And what is your occupation and who is

1 your employer, Mr. Read?

2 A I'm President of Read & Stevens Oil Com-  
3 pany.

4 Q And have you previously testified before  
5 the OCD?

6 A Yes, I have.

7 Q And are you familiar with operations in  
8 the Buffalo Valley-Pennsylvanian Gas Pool?

9 A Yes, sir.

10 Q And your previous testimony was as an en-  
11 gineer, I believe.

12 A That's correct.

13 MR. BRUCE: Mr. Examiner, are  
14 the witness' credentials acceptable?

15 MR. STOGNER: Before I answer  
16 that question, let's swear him in at this time.

17 MR. BRUCE: Uh-huh.

18 MR. STOGNER: Are there any  
19 other witnesses?

20 Please stand.

21

22 (Mr. Read sworn upon his oath.)

23

24 MR. STOGNER: Let the record  
25 show that I'll accept your witness' qualifications.

1 MR. BRUCE: And can we grand-  
2 father in the first four or five questions?

3 MR. STOGNER: We shall, if  
4 there are no objections.

5 If there are no objections we  
6 shall grandfather the last four or five questions.

7  
8 CHARLES B. READ,  
9 being called as a witness and being duly sworn upon his  
10 oath, testified as follows, to-wit:

11

12

DIRECT EXAMINATION CONTINUED

13 BY MR. BRUCE:

14 Q Mr. Read, briefly what does Read &  
15 Stevens, Incorporated seek in this case?

16 A Our company proposes to seek termination  
17 of prorationing in the Buffalo Valley-Pennsylvanian Gas Pool  
18 and cancellation of overproduction for wells in the pool.

19 Q Would you please summarize the reasons  
20 Read & Stevens seeks to terminate prorationing?

21 A Read & Stevens believes that prorationing  
22 is no longer needed because the findings upon which prora-  
23 tioning was ordered for this pool are no -- no longer exist.

24 First there is a demand for gas which  
25 Read & Stevens cannot meet under current prorationing rules.

1                   Second, the geology of the field as de-  
2 developed over the past twenty years shows that prorationing  
3 is not necessary to protect correlative rights.

4                   Third, there have been substantial chan-  
5 ges in gas purchasing and marketing practices over the past  
6 two to three years, which make the assignment of allowables  
7 inequitable.

8                   Finally, prorationing leads to economic  
9 hardship on operators who are willing to sell gas at market  
10 prices by limiting income causing higher operating costs and  
11 causing longer payout periods for wells drilled in the  
12 field.

13                   Deliverability of wells varies and needs  
14 -- we need good gas wells to pay for the low quality, poor  
15 deliverability wells.

16                   Q            Would you please refer to Exhibit Number  
17 One and describe it briefly?

18                   A            Exhibit Number One shows the Buffalo Val-  
19 ley Field in blue triangles and immediately south of that  
20 field is the Diamond Mound Field, which is shown by hexago-  
21 nal colored yellow.

22                   Q            And is the Diamond Mound an Atoka Morrow  
23 Gas Field?

24                   A            That is correct.

25                   Q            And is it prorated or un-prorated?

1           A           It is not prorated.

2           Q           Would you please move on to Exhibit Num-  
3 ber Two and briefly discuss it?

4           A           Exhibit Number Two outlines the Buffalo  
5 Valley Field and the acreage which is operated by Read &  
6 Stevens has been shown in yellow, and other acreage in which  
7 Read & Stevens has an interest with our investor group is  
8 shown in blue. We are the non-operator in acreage shown in  
9 blue. We are the operator on acreage shown in yellow.

10          Q           Describe Read & Stevens experience in  
11 this pool.

12          A           Read and Stevens drilled the second well  
13 in this pool some 22 years ago and since that period of time  
14 we presently operate 19 wells in the field and we represent  
15 a group of our investors who have participated over many  
16 years in development of the entire field. There are approx-  
17 imately 30 wells in the field at the present time and we  
18 have an interest in 8 other wells as a non-operator, but we  
19 do operate 18 of the 30 wells.

20          Q           So you have an interest or -- or operate  
21 wells or represent your interest group in approximately 24  
22 or 25 of the wells in the pool.

23          A           It's 26 wells and there are 4 wells in  
24 the field that we do not have an interest in or are not rep-  
25 resented.

1           Q            Could you please discuss the production  
2 from the Buffalo Valley Pool, well, over the past year or  
3 so?

4           A            The production from the Buffalo Valley  
5 Field is predominately gas with condensate associated with  
6 the production, and we have -- it's producing from the Atoka  
7 Morrow formation, which is Lower Pennsylvanian in age.  
8 There are differences of geological opinion as to what is  
9 classified as Atoka and what is Morrow, but basically we  
10 call it the Atoka-Morrow porosity that is producing through-  
11 out the field. It is a land channel depositional area of  
12 which the channel porosities vary from 1 to 5 different por-  
13 osities throughout the field and it does not necessarily all  
14 porosities or all sand depositions do not underlie every  
15 well in the field. You might drill one well and you'll have  
16 a producing porosity from the channel sand and the offset  
17 well may have 4 or 5 sand lenses in it that would be produc-  
18 tive.

19                        So it is indeterminate where the gas pro-  
20 duction will come from from well to well. It is primarily a  
21 porosity and permeability condition. There is no water as-  
22 sociated with the production. It is dry gas with high BTU,  
23 BTU of roughly 1125 BTU, and a small amount of condensate  
24 with the production.

25           Q            So, in essence, you could drill a very

1 good well in one unit and in an offsetting unit drill a dry  
2 hole or a very poor producer.

3 A We've drilled several dry holes in the  
4 area and we've drilled several marginal wells, and we've al-  
5 so drilled some good wells, so we have found the productive  
6 horizon and also we have found the nonproductive limits of  
7 the field in certain areas.

8 Q Are all wells currently in the field con-  
9 nected to a pipeline?

10 A All of our wells are connected to a pipe-  
11 line, yes, and it is my presumption the other wells by other  
12 operators are also connected.

13 Q With respect to -- well, in the pool how  
14 many wells would you consider high capacity or good produ-  
15 cing wells?

16 A In the wells that are owned by Read &  
17 Stevens that we operate and we consider a high capacity well  
18 a well capable of producing 400 MCF per day or more, we have  
19 7 of those wells that reach that capability.

20 We have 11 wells that have deliverabili-  
21 ties of less than 400 MCF per day.

22 Q And how many wells operated by other par-  
23 ties would you consider high capacity?

24 A I really haven't made that study. Prob-  
25 ably of the 18 wells I would say you can maybe assume 50

1 percent; usually that's a reasonable assumption.

2 Of the other 12 wells in all probability  
3 you might expect 6 of them to be high capacity wells and 6  
4 of them to be low capacity wells.

5 Q Are any of Read & Stevens high capacity  
6 wells shut-in?

7 A Well, we have experienced shut-in on num-  
8 erous occasions over the past year and we were shut-in on  
9 three occasions during the month of January and February  
10 because of pipeline curtailment, primarily.

11 We have other wells right now that are  
12 awaiting a sale of gas that are shut-in by pipeline purcha-  
13 sers.

14 Q You previously just went over briefly  
15 some of the geology of the Buffalo Valley Pool. I would re-  
16 fer you to Exhibit Number Three, the cross section on the  
17 wall. Would you discuss that in more detail, please?

18 A The cross section on the right is a cross  
19 section from north to south across the main channel develop-  
20 ment in the field of the Atoka-Morrow sand, starting at the  
21 north, which is a dry hole that was drilled by Cities Ser-  
22 vice several years ago, and progressing south of their 5  
23 wells which are centered right through the center of the  
24 field and, as you will see, the second -- the second log up  
25 there, we have one sand porosity that is producing.

1           The next well you have three productive  
2 sands.

3           The next well there are four sands pro-  
4 ductive, and then on the south edge of the field you have  
5 roughly four more sands, all of which the thickness of the  
6 sands vary from well to well. The porosity and permeability  
7 conditions vary and the -- of course, which would affect the  
8 reserves associated with each one of those boreholes.

9           Q           Are the sands discontinuous in nature?

10          A           Yes, they are. They are discontinuous  
11 from one well to the -- to the next.

12          Q           Would you please now move on to Exhibit  
13 Four, the cross section of the Diamond Mound Pool, and dis-  
14 cuss that briefly?

15          A           The Diamond Mound Pool is a cross section  
16 of the nonprorated field to the south, which produces from  
17 virtually the same formation as the Buffalo Valley Field.  
18 It's all Atoka-Morrow in age, and proceeding from west to  
19 east across the field you'll see that in the first well  
20 there are five sands productive; the next well, two sands; I  
21 can't see the other one but the next well there's one sand;  
22 and then another well with two sands being productive. And  
23 that cross section extends east to west across the Diamond  
24 Mound Field, and it's representative of production in that  
25 particular area.

1           Q           Because of the discontinuities in the  
2 porosity, would you consider it unlikely that a -- that --  
3 if one well is producing and a well in the next unit is  
4 shut-in or not producing, that it would have its correlative  
5 rights adversely affected?

6           A           I don't think that the correlative rights  
7 would be adversely affected because the field has pretty  
8 well reached a stabilization of deliverability, and the low  
9 deliverability wells are producing in most cases when there  
10 are pipeline purchasers available at maximum capacity and  
11 the good wells, which have deliverability in excess of  
12 400,000 per day, are also producing at maximum capacity.

13                       So most wells in the field have the  
14 opportunity to produce at maximum deliverability providing  
15 there is a market for the gas.

16           Q           In your opinion will continuation of  
17 prorating cause hardship to interest owners in the pool?

18           A           Yes. I think prorating will continue  
19 to create hardship because we, as operators, have to sell  
20 our gas when pipeline conditions make demand for gas; that  
21 is especially true during winter months and we have a high  
22 demand for gas in the winter months, a low demand for gas in  
23 the summer months, and we have wells that we had drilled in  
24 the field that have never paid out, are marginal wells that  
25 have extremely long periods of pay out, and then we have

1 some good wells that we need to produce the good wells at  
2 maximum capacity to receive their return on our investment  
3 and to pay for the dry holes we've drilled; to pay for the  
4 marginal wells, and also to pay for those wells that are  
5 shut-in that do not have pipeline -- are shut-in because of  
6 curtailment of the pipeline purchaser.

7 Q Which pipelines serve this field?

8 A There are three pipelines in the field at  
9 the present time, Phillips Petroleum Company, El Paso  
10 Natural Gas, and Transwestern.

11 Q And who are the other operators in the  
12 pool?

13 A We have -- Belnorth has one well. BHP  
14 has two wells. DEPCO owns four wells. Mewbourne Oil Com-  
15 pany has one well. And Mountain States Petroleum has four  
16 wells and Yates Petroleum, two wells.

17 Q Mr. Read, would you briefly describe  
18 changes in gas marketing over the last, say, two or three  
19 years, which have affected Read & Stevens?

20 A Well, we have experienced fluctuating  
21 prices. There has been no stability in gas pricing in the  
22 area. Prices have fluctuated from one time we were selling  
23 gas, approximately three years ago, in the range of \$3.25 an  
24 MCF, and last summer we sold gas for as low as \$1.25 an MCF.

25 We have experienced severe shut-in per-

1 iods. We've sold gas in many cases 1 or 2 days a month be-  
2 cause there was no pipeline purchaser that was interested in  
3 purchasing our gas.

4 We have other wells that we've had on  
5 production for -- and we used to sell gas for 4 or 5 days a  
6 month and then shut them in for 25 days a months.

7 During the month of December, January and  
8 February and March we have virtually been operating at full  
9 capacity and full deliverability because the demand for gas  
10 has been very firm and we have been able to sell 100 percent  
11 of our deliverability approximately 30 days out of each  
12 month.

13 Prices have varied over the past year  
14 from \$1.25 in the summer to as high as \$2.05 during the  
15 month of February.

16 Q How does Read & Stevens market its gas  
17 currently? How do you market your gas currently?

18 A We, of course, are trying to market our  
19 gas under a contract that we have executed many old  
20 contracts that were executed many years ago. We have also  
21 been selling -- we have gotten releases on a month to month  
22 basis to sell gas on the spot market and at the present time  
23 we have 6 to 7 gas purchasing marketing companies that have  
24 been interested in buying our gas on a 30-day basis on a --  
25 at spot market prices, and in order to market that gas we

1 get 30-day releases from our contract purchasers and have  
2 been marketing on a 30-day basis.

3 In some cases we have gotten releases and  
4 terminated our old contracts. We have cancelled the old  
5 contracts and we have renegotiated new contracts with other  
6 purchasers for a one year period.

7 The gas is based on a market clearing  
8 price on a month to month basis of which either the operator  
9 or the pipeline purchaser can cancel the contract on 30 days  
10 notice.

11 Q Previously you said that many of your  
12 wells in the past produced only a day or two a month because  
13 people were not interested in purchasing gas from those  
14 wells.

15 Did you mean that they were not interes-  
16 ted in purchasing at \$3.00 per MCF?

17 A Well, in some cases we had gas contracts  
18 that were as high as \$2.55 and in the \$3.00 range, that they  
19 elected not to purchase gas under contract and then in other  
20 areas we had agreed to sell gas at negotiated prices that  
21 were not acceptable to the pipeline purchaser and so we sold  
22 to third party marketing companies, and then there were many  
23 other cases where we had no market for our gas and we had  
24 to shut the wells in and numerous occasions we were shut-in  
25 for sometimes 29 and 30 days a month. On other occasions we

1 were shut-in for 25 days a month with no sales being made of  
2 our products.

3 Q In your opinion, do current allowables on  
4 your wells take into account the varying month to month  
5 market conditions?

6 A No, the marketing demand fluctuates from  
7 month to month and the current allowables are not designed  
8 to meet market demand and consequently, we have months of 4  
9 or 5 month shut-in period, where we don't have any allowable  
10 whatsoever, and then we get a demand to buy our gas and we  
11 never know what the price of that gas is going to be from --  
12 except for 30 days in advance, and we negotiate our sales  
13 usually around the 25th day of the month for sale on --  
14 beginning the following -- first day of the following month,  
15 and we usually make the best sale of that gas at the best  
16 price that is available to us at that time.

17 Q Under your current prorated allowables  
18 can Read & Stevens sell its gas on the spot market?

19 A Well, in many cases we have overproduced  
20 and it was necessary to meet market demands and the  
21 allowables were not sufficient for us to sell on the spot  
22 market, and we had periods of overproduction that the  
23 allowables were not sufficient to meet the deliverability  
24 capabilities of the well and they were not sufficient for us  
25 to meet the market demands for our gas.

1 Q If the prorationing is terminated in the  
2 field would you ask that all overproduction on your wells be  
3 cancelled?

4 A Yes, I would. We produce gas under emer-  
5 gency conditions both for the benefit of the pipeline pur-  
6 chaser and for the benefit of Read & Stevens, because we had  
7 had substantial periods of shut-in and curtailment and then  
8 during the winter months, when the demand was high and the  
9 prices were favorable, why, we elected to -- to sell our gas  
10 and we resulted in a period of overproduction in excess of  
11 our allowable.

12 Q Do you have anything further you would  
13 like to state in this matter?

14 A Not really. I could only comment that  
15 from Read & Stevens standpoint prorationing does not serve  
16 to the best interest of the operators in the field and we  
17 have talked to other operators who have indicated that they  
18 were not satisfied with prorationing and actually I don't  
19 see any purpose right now in continuing an order that is 19  
20 years old. The order was requested by Cities Service Oil  
21 Company and they only had one well in the field and that  
22 well was plugged and abandoned approximately 8 years ago.

23 We have made no request during the 19  
24 years of prorationing to continue prorationing. I think  
25 perhaps at one time when the field was prorated, there were

1 only 6 wells in the field and at that time it was uncertain  
2 of what the deliverability capabilities would be. It were --  
3 there were a lot of uncertainties at that time as to price  
4 of gas and the market conditions, and, of course, nobody at  
5 that time knew how big the field was going to be, but we  
6 think that the field has now developed to where it has reas-  
7 onably explored most of the limits. There will be other  
8 wells drilled, I'm sure, in the field as time as goes on,  
9 depending upon the price of gas and the demand for gas on a  
10 month to month basis.

11 But at the present time based on prora-  
12 tion, market demand, and pricing, it's really not economical  
13 to drill wells or explore gas in the Buffalo Valley Field.

14 Q In your opinion will the granting of this  
15 application be in the interest of conservation, the preven-  
16 tion of waste, and the protection of correlative rights?

17 A Yes, I think that it will be beneficial  
18 to all operators. I think it will be beneficial to the cor-  
19 relative rights of all owners in the field. And certainly  
20 it will give the operators an opportunity to develop more  
21 wells if they are justified and to market their gas at a  
22 fair market value and protect their investment.

23 Q Were Exhibits One through Four prepared  
24 by you or under your direction?

25 A That is correct.

1 MR. BRUCE: Mr. Examiner, I  
2 would move the admission of Exhibits One through Four.

3 MR. STOGNER: Exhibits One  
4 through Four will be admitted into evidence.

5 MR. BRUCE: Mr. Examiner, one  
6 issue regarding the notice.

7 We did submit as Exhibit Number  
8 Five the notification letter sent out to certain of the in-  
9 terest owners on March 3rd as I did check my client's re-  
10 cords and there were three parties to whom notice was not  
11 sent out until March 23rd.

12 MR. STOGNER: Who are those  
13 parties?

14 MR. BRUCE: These are Mewbourne  
15 Oil Company, Belnorth and Mountain States Petroleum. Since  
16 this matter is being kept open to April 13th, I will write  
17 and so notify those parties of their right to protest, if  
18 necessary.

19 A We did contact Mountain States and they  
20 said they had no objection to our application.

21 We contacted them by telephone.

22 MR. STOGNER: Was whoever you  
23 talked to with Mountain States, were they going to write a  
24 letter to that effect?

25 A They said they would but I don't have

1 that letter today.

2 MR. STOGNER: When did you call  
3 them?

4 A Well, I didn't call them myself but  
5 within the last week, I would say; since about the 23rd we  
6 started polling the operators.

7 MR. STOGNER: Who called them?

8 A My landman, Mr. Randall Fort.

9 MR. STOGNER: Is he here today?

10 A No, he isn't.

11 MR. STOGNER: Okay. I suggest  
12 you try to get something in writing from Mountain States, if  
13 you would.

14 MR. BRUCE: I will submit  
15 copies of the certified return receipts after the hearing,  
16 Mr. Examiner, if that's okay.

17 MR. STOGNER: Yes, we'll make  
18 that part of the record and would appreciate it.

19 Do you have any further  
20 questions? I'm sorry, do you have any further questions of  
21 Mr. Read?

22 MR. BRUCE: Not at this time,  
23 Mr. Examiner.

24 MR. STOGNER: Mr. Nance, do you  
25

1 have any questions of this witness?

2 MR. NANCE: Yes, I do, Mr. Exa-  
3 miner.

4

5

CROSS EXAMINATION

6 BY MR. NANCE:

7 Q Mr. Read, can you hear me from here or do  
8 I need to get up to the table?

9 A That's okay, go ahead.

10 Q All right. Mr. Read, what is your opin-  
11 ion of the general purpose of prorationing in a gas pool?

12 A Well, I would say the purpose of it is to  
13 give every operator the opportunity to produce his fair  
14 share of the gas under his proration unit, or an equitable  
15 portion of the gas allocated to the field.

16 Q Is it your opinion that the allowables  
17 that have been assigned in the pool have been something  
18 other than the market demand for gas in the field?

19 A Yes. I think that the -- what we have  
20 been given, allowables in the field with no relation to mar-  
21 ket demand. We have had allowables that were insufficient  
22 for us to sell gas based on market demand.

23 We have had other occasions, too, when  
24 allowables were granted when the pipeline purchasers would  
25 not buy gas.

1           Q           Do you feel that there are operators in  
2 the field who are receiving allowables that are in excess of  
3 the gas that they can produce or that they have a demand  
4 for?

5           A           I really don't think so. There are some  
6 wells that are overproduced and some wells that are  
7 underproduced. It's about 50/50. Some allowables (sic)  
8 that have very marginal capabilities are given very, very  
9 low allowables and there are other stronger wells that have  
10 capabilities of producing larger quantities of gas at which  
11 the allowable is not sufficient to allocate the good wells  
12 to produce at their maximum, most efficient rate.

13          Q           Are the allowables in the pool based upon  
14 to any extent the deliverability of the wells or are they  
15 strictly a function of the acreage (unclear)?

16          A           Well, I don't think they're based on  
17 deliverability because they certainly don't agree with our  
18 deliverability potential of the wells and there is a  
19 proration scheduling that I think is highly inequitable at  
20 the present time and does not take into consideration many  
21 things that are important to the operator to recover his  
22 exploration costs.

23                        You have a very similar situation, which  
24 I have just mentioned, the field to the south, the Diamond  
25 Mound Field, which has about, I'd say, thirty wells in it,

1 and producing from virtually the same environment, the same  
2 Lower Pennsylvanian formation, the Atoka-Morrow, and the  
3 wells have very, very similar porosity, permeability condi-  
4 tions. The pipeline systems buy gas from both field. They  
5 buy gas from the Buffalo Valley Field and they buy gas from  
6 the Diamond Mound Field, and the Diamond Mound Field is a  
7 nonprorated field primarily because the operators never ask-  
8 ed for it, and I think the only reason we're being prorated  
9 now is because Cities Service requested prorating when  
10 there were many unknowns in the field back in 1969 and --  
11 and from Read & Stevens standpoint, we have never requested  
12 prorating, prorating in the Buffalo Valley Field. And I,  
13 I don't think it's equitable and I think it's -- the system  
14 of allocation is obsolete, outmoded, and it should be an  
15 operator's decision as to which is the best and most econom-  
16 ical and efficient way to produce that gas, and then the  
17 operator has the same responsibility to go find a gas market  
18 for his gas when he does produce it, and if the pipelines  
19 are not available, then the operator has got to go find a  
20 marketing company and get an allocation and a tariff to move  
21 the gas through the pipeline system and sell to third party  
22 purchasers.

23 Q Do you recognize the possibility that if  
24 prorating is terminated in the field, that operators who are  
25 not blessed with -- with wells capable of productions as

1 good as those of Read & Stevens, and who are, maybe, not as  
2 willing as Read & Stevens to enter into the type of sales  
3 agreements that -- that you all are currently engaged in,  
4 may have their opportunity to produce their fair share, us-  
5 ing your words, of production in the field taken away from  
6 them? Is that -- is that a possibility?

7           A           I don't -- anything is a possibility, but  
8 I don't think you could prove that point because you have  
9 sand lenses from well to well that may or may not be pro-  
10 duced in the offset well, and if one well has an allowable  
11 of X cubic feet and another well has a separate allowable,  
12 that doesn't necessarily mean they're going to come from the  
13 same sand body.

14                   And, secondly, you have -- right now you  
15 have disparity in the field because some operators may or  
16 may not elect to sell gas at spot market price and other  
17 operators by demand have elected to accept the spot market  
18 price, and so it's an economic decision, I think, to be made  
19 by the operator and shouldn't be a regulatory decision that  
20 is controlled by matters other than supply and demand.

21                   MR. NANCE: Mr. Examiner, if I  
22 could have just a moment to confer with El Paso's expert?

23

24

(Thereupon a brief recess was taken.)

25

1 MR. STOGNER: Okay, Mr. Nance,  
2 you may continue.

3 MR. NANCE: Thank you, Mr. Exa-  
4 miner.

5 Q Mr. Read, you've described what in your  
6 opinion are the lens characteristics of various producing  
7 zones in the -- in the pool.

8 Is it your opinion that there's no pres-  
9 sure communication at all between wells in the pool?

10 A Well, that depends. In some areas there  
11 will be pressure communication; other areas there will not  
12 be, and we have drilled wells, as an example, our last two  
13 wells that we drilled had excellent pressures in them that  
14 did not -- that were not associated with field pressures of  
15 19 years decline.

16 So it's -- from one well to the -- from  
17 one well to the next as to what -- whether they are communi-  
18 cated or not.

19 Q If there are wells, though, in pressure  
20 communication with each other in the pool, and one of those  
21 wells is shut-in, the other is produced, there would be  
22 drainage of the shut-in well, is that correct?

23 A There could be. We experience the same  
24 thing in our pipeline shut-in periods when one well will be  
25 selling gas to the pipeline and another well will not be

1 selling gas, offset wells, and you have, of course, in that  
2 particular case, one well being produced and the offset well  
3 being shut-in because of pipeline curtailment.

4 Q Do you feel that what you're proposing  
5 would better address the situation of, shall we say, imbal-  
6 ances in the production among the wells than the existing  
7 proration system that would allocate overproduction to those  
8 wells which do produce in excess of their allowable and un-  
9 derproduction giving other wells an opportunity ultimately to  
10 produce reserves that they should be entitled to produce?

11 A Well, most wells are producing at their  
12 -- when they are on production, are producing at their maxi-  
13 mum capability, but everybody in the field and especially  
14 the operators who have developed the field, you don't try to  
15 -- some wells may have a 5-year payout, some may have a 7 or  
16 8-year payout, and then there are other wells that have bet-  
17 ter deliverability, they have better reservoir conditions,  
18 and you take the good wells and mix them with the bad wells  
19 and hope that you can pay out your investment to continue a  
20 development of the field -- of the field itself.

21 Q Do you feel that an alternative would be  
22 to work within the existing proration system to -- to get  
23 what you consider to be more realistic allowables assigned  
24 to the better producing wells?

25 A I don't think you can set a set of rules

1 or regulations that would apply throughout the field. I  
2 think if one operator feels that he has a drainage condi-  
3 tion, or something like that, then he could bring it to the  
4 Commission if he wanted to protest the offset owner, but I  
5 think you've got a possibility, and I couldn't prove it, but  
6 you've got two fields here that almost connect to each other  
7 and you have a situation where the Diamond Mound Field could  
8 actually may or may not, it's hard to prove; could be drain-  
9 ing or depleting the Buffalo Valley Field. There -- it's  
10 just a channel sand development, is what it is, but I just  
11 don't think you can set up a set of rules that's going to be  
12 fair and equitable to every well in the field.

13 Q Now, you've indicated in your application  
14 that you feel, perhaps, the marginal wells in the field are  
15 getting a greater than equitable share of allowable and the  
16 better producing wells are getting less than their fair share  
17 of of allowable. Is that still your opinion?

18 A Well, I'm not saying the marginal wells  
19 are getting more than their fair share. I think there prob-  
20 ably - I really haven't studied that exact point, but it's  
21 -- there is disparity throughout the field, both the large  
22 wells and mediocre wells and the marginal wells not having  
23 an allowable that is equitable to everybody.

24 Q Do you think perhaps even another solu-  
25 tion would be to seek reclassification of some of the mar-

1 ginal wells as nonmarginal and have allowables then re-allo-  
2 cated on that basis?

3 A Well, I don't think that from the margin-  
4 al wells standpoint, I can't see where that would help a  
5 lot. You still have your maximum deliverability wells in  
6 there that is where the cash flow is going to come from and  
7 that's where the operator is going to pay for his explora-  
8 tion program.

9 The small increase that you would get  
10 from the marginal wells would be very, very minimal compared  
11 to the opportunity to drill a well and produce it at the  
12 maximum, most efficient rate.

13 MR. NANCE: Mr. Examiner, I  
14 don't believe El Paso has any more questions at this point.

15 MR. STOGNER: Thank you, Mr.  
16 Nance.

17 Mr. Kellahin?

18 MR. STOGNER: Mr. Examiner.

19

20 CROSS EXAMINATION

21 BY MR. KELLAHIN:

22 Q Mr. Read, if we might use as a display  
23 for reference this --

24 A Yes.

25 Q -- one that shows the boundary of the

1 Buffalo Valley Pool, I believe it's your Exhibit Number Two.  
2 Do you have a copy of that, Mr. Read?

3 A Well, I've got one here some place. It  
4 got away from me. Go ahead, I think I know -- yeah.

5 Q All right, sir. The dark black dotted  
6 outline that's overlaid with the yellow outline represents  
7 the current boundary for the Buffalo Valley Pool?

8 A That's correct.

9 Q And that is a pool that's designated by  
10 the Division as being a common source of supply for produc-  
11 tion from the Atoka and Morrow?

12 A That is correct.

13 Q On your cross section can you approximate  
14 for me what the vertical limits are for the production from  
15 the Buffalo Valley Pool?

16 A We are talking from the top of the Atoka,  
17 which is described here as a structural marker, to the top  
18 of the Chester, which is primarily the Mississippian forma-  
19 tion. So you're looking in the Lower Pennsylvanian zone of  
20 production.

21 Q On Exhibit Number Two you have shown  
22 those spacing units outlined in blue, in which Read &  
23 Stevens has a working interest but are not the operator.

24 A I would say Read & Stevens and our inves-  
25 tors. Read & Stevens, we have people that we are represent-

1 ing at this hearing today who are non-operators and have  
2 given us authority to testify in their behalf.

3 Q Spacing for the pool is 320 acres?

4 A That's correct.

5 Q In the yellow area, those are areas in  
6 which Read & Stevens is the operator?

7 A That's correct.

8 Q Are each of the blue shaded and the yel-  
9 low shaded spacing units, spacing units that currently have  
10 producing wells in the pool?

11 A Yes.

12 Q When we look at the area within the pool  
13 boundary that is not colored in either color, are there any  
14 of those 320-acre spacing units that don't currently have a  
15 producing Buffalo Valley well in them?

16 A No. I need to -- I don't think -- let me  
17 look here.

18 Yes, there are where dry holes have been  
19 drilled. There, the south half of 11, which has dry hole on  
20 it and then there is not a well on the north half of 31, and  
21 a well has been plugged and abandoned on the south half of  
22 35.

23 To answer your question, there are prora-  
24 tion units that do not have producing wells.

25 Q Have you studied the March of '88 prora-

1 tion schedule for production from the Buffalo Valley Pool?

2 A Well, as you know, there is a moratorium  
3 on proration for the month of March that expires on March  
4 31st.

5 Q I want to get you into a month of allow-  
6 able production that you are familiar with, January, Feb-  
7 ruary, March, you pick a month, the most recent month in  
8 which you've had an opportunity to review the production  
9 from the pool and from the wells in the pool. What month  
10 are you most familiar with?

11 A Any month that you prefer.

12 Q Pick February, for exmaple.

13 A Okay.

14 Q What as the total pool allowable for the  
15 month of February, Mr. Read?

16 A I don't have it by total pool. I presume  
17 it's in a proration schedule. I have it by a well-by-well  
18 basis.

19 Q Have you made any study to determine  
20 whether or not the pool on a poolwide basis for any given  
21 month is overproduced or underproduced in terms of its al-  
22 lowable?

23 A Not by -- I haven't made that study by a  
24 pool-by-pool basis, but I have on a well-by-well basis.

25 Q Of the wells that are classified as non-

1 marginal --

2 A Yes, sir.

3 Q -- what is the volume of gas on a daily  
4 basis that is the transition in this pool between a marginal  
5 classification and a nonmarginal classification?

6 A It depends on what you call the defini-  
7 tion of marginal, I guess. I -- I used a number awhile ago  
8 that we consider high deliverability and low deliverability  
9 of 400 MCF per day.

10 Q That was what I was wanting to ask you,  
11 is this 400 MCF a day the point at which you have a well  
12 that is classified as a nonmarginal well?

13 A Well, what you have to do in any kind of  
14 exploration program is develop a rate of deliverability that  
15 will give you an opportunity to return your investment over  
16 a reasonable period of time.

17 Q I've not made myself clear. I'm trying  
18 to determine what the transition is between marginal and  
19 nonmarginal. The marginal wells are allowed, because they  
20 cannot make the well allowable, they can produce at their  
21 capacity.

22 A If they have a market for the gas.

23 Q That's right.

24 A If they --

25 Q Assuming a market for the gas, they pro-

1 duce at capacity.

2 A That's correct.

3 Q And the pool allowable that is assigned  
4 for the pool, that total number, is first reduced by the to-  
5 tal deliverabilities of the marginal wells, is that not cor-  
6 rect?

7 A Well, I think that's questionable as to  
8 how the deliverability has been determined of what is mar-  
9 ginal and what is a nonmarginal well.

10 Q For purposes of this pool the proration-  
11 ing was established with 100 percent acreage allocation in  
12 establishing allowables, was it not?

13 A That's correct. It was based on an ac-  
14 reage basis.

15 Q All right. My question is to determine  
16 how much of the monthly pool allowable is being consumed by  
17 the marginal wells. Do you know?

18 A Oh, it could be -- I could figure it out.  
19 I can't answer it right now.

20 Q Well, I'm just trying to determine the  
21 extent at which you've made a study of the function of the  
22 pool in its performance in relation to the allowables and if  
23 you dont' know now, it's no reason for you to know. I'm  
24 just inquiring as to what you do know.

25 A Well, the -- and I repeat myself, but the

1 allowables and the amount of gas that are -- the amount that  
2 is produced are not necessarily based on allowables. It's  
3 based on pipeline demand. You may have an allowable, you may  
4 have a marginal well with an allowable and no pipeline con-  
5 nection or you're in curtailment by the pipeline purchaser.

6 Q Let me see if I can go about this a dif-  
7 ferent way.

8 A Okay.

9 Q Of your nonmarginal wells how many of  
10 those are there?

11 A I would say that we have roughly 7 out of  
12 18.

13 Q Okay. Read & Stevens operates about 7  
14 nonmarginal wells out of a total number of 18 nonmarginal  
15 wells in the pool?

16 A I would say there are 11 nonmarginal --  
17 no, we have 11 nonmarginal or 11 wells of marginal produc-  
18 tion and I say below 400 MCF per day out of a --

19 Q Well --

20 A -- total of 30 wells in the field. I  
21 have not figured how many of the other operators have non-  
22 marginal wells. I'm --

23 Q All right.

24 A -- I'm just saying --

25 Q I'm trying to clarify --

1           A           -- roughly 50/50. You're running into --  
2 we've got 18 wells that we operate. There are 30 wells in  
3 the field, so probably the other 12 wells, I would imagine  
4 they're -- probably half of them are marginal wells.

5           Q           Using your criteria of 400 MCF a day, out  
6 of the wells Read & Stevens operates you believe there are  
7 about 7 nonmarginal wells.

8           A           I'd say marginal or less. I mean nonmar-  
9 ginal, I would say we -- we have 7 wells that I know are  
10 Read & Stevens that historically produce less than 400 MCF  
11 per day.

12          Q           All right, so we have 11, then, that are  
13 nonmarginal.

14          A           Well --

15          Q           I'm not trying to trick you, Mr. Read --

16          A           No, we --

17          Q           -- I'm just trying to --

18          A           When you say nonmarginal, that could be a  
19 high deliverability well.

20          Q           No, sir, it's in the proration schedule.

21          A           Okay.

22          Q           It's the one with the letter N.

23          A           Okay.

24          Q           It's nonmarginal.

25          A           Okay.

- 1 Q All right? That's what I'm --
- 2 A All right.
- 3 Q -- trying to get at.
- 4 A Okay.
- 5 Q How many of those do you have in the Feb-
- 6 ruary schedule that are nonmarginal?
- 7 A I don't know. I haven't studied that.
- 8 Q All right. Of the nonmarginal wells that
- 9 Read & Stevens operate how many of those are overproduced
- 10 six times?
- 11 A Are you talking about the overproduced?
- 12 That would be the nonmarginal wells, 2 wells.
- 13 Q Nonmarginal wells that are overproduced
- 14 to the extent that they are more than six times overpro-
- 15 duced.
- 16 A We had two wells and then we came up with
- 17 a new formula here, a correction formula, and I really don't
- 18 know for sure. Mr. Lyons corrected his figures and I don't
- 19 know whether those two wells are overproduced today or not,
- 20 but they were beyond the six month period.
- 21 Q Of those two wells do you recall how may
- 22 times overproduced either one of those was?
- 23 A Six times.
- 24 Q More --
- 25 A More than six times.

1 Q And they were subject to shut-in at that  
2 time?

3 A Yes, that's correct.

4 Q Do you recall when those wells first  
5 became at least one time overproduced?

6 A January of 1988.

7 Q That would be six times overproduced in  
8 January of '88.

9 A Yes, sir.

10 Q Prior to that how long a period of time  
11 were those wells being overproduced in excess of their  
12 allowable before they hit the six times overproduced number?

13 A Well, I would presume six months because  
14 I don't have any records of prior to -- we had no  
15 overproduction prior to 1987 and then there became a very  
16 strong demand for spot market gas and we had an opportunity  
17 to sell gas on the spot market, which we elected to do, and  
18 we sold that gas, as much of that gas as we could sell to  
19 the pipeline purchasers, and we did exceed the allowable.

20 Q How many of your nonmarginal wells have  
21 the capacity to produce in excess of their allowable and not  
22 be shut-in for being six times overproduced?

23 A I don't think we have any. I mean I  
24 would say most of our nonmarginal wells are producing at  
25 capacity right now, at -- well, we have six wells, we have

1 seven wells, that are marginal wells that are overproduced  
2 at the present time, but not six times. I'm just saying  
3 they are overproduced.

4 Q Do you know whether or not on a poolwide  
5 basis the total deliverability capacity of all the producing  
6 wells, marginal and nonmarginal, will exceed the allowable?

7 A I don't -- I don't know whether they  
8 would or not. I mean, that's --

9 Q And you've made no --

10 A Here again you get back to the deliver-  
11 ability and there have been many wells in that Buffalo Val-  
12 ley Field that have been shut-in because of pipeline cur-  
13 tailment that have the capability of producing the gas but  
14 there is not a pipeline purchaser willing to buy the gas,  
15 except in certain months out of the year. We have a very  
16 difficult time selling gas in the summer months.

17 Q Can you identify for us on Exhibit Number  
18 Two the high capacity wells that you've referred to, or is  
19 there some way that I know by looking at the proration  
20 schedule how you have identified those wells as high capa-  
21 city wells?

22 A Well, the Harris No. 8 and 9, and the  
23 Langley Com No. 1, the (not understood) Com No. 1. That's  
24 about it.

25 Q Have you made an effort to determine

1 whether or not the --

2 A Wait a minute, the Harris 6 is another  
3 well. Those are the high capacity wells.

4 Q All right. Have you made an effort to  
5 determine whether or not any of the marginal wells will have  
6 their production further curtailed or displaced by having  
7 your nonmarginal wells being produced at the capacity or at  
8 the rates that you want to produce them?

9 A Well, we don't know that until we come up  
10 with a -- I just haven't studied that projection.

11 Q For the history of the prorationing for  
12 the Buffalo Valley Pool, Mr. Read, have your wells ever been  
13 more than six times overproduced other than in the recent  
14 past few months?

15 A Not to my knowledge.

16 Q This problem has only occurred for your  
17 operations since what time, sir?

18 A January of 1988.

19 Q Have you made an effort to study the pro-  
20 duction history over the life of prorationing to determine  
21 on an annual basis whether or not the pool is overproduced  
22 or underproduced in terms of its allowable?

23 A Well, I -- I don't know that. If we had  
24 the capabilities to sell the gas in a particular case, if  
25 you don't have the allowable you can't sell the gas but if

1 you do have the allowable there may be other markets for gas  
2 and those other markets are rapidly developing right now,  
3 other than the three pipeline purchasers that are in the  
4 field itself.

5 But if we don't have the allowable we  
6 can't sell to third party marketing people.

7 Q Prior to today's hearing, Mr. Read, have  
8 you discussed with the Division increasing allowables for  
9 the Buffalo Valley Pool?

10 A No. When this -- yes, I did in January  
11 when we were shut-in and we got our first notice that we  
12 were overproduced, and we discussed it with the proration  
13 engineer, Mr. Lyons, and asked for relief to continue pro-  
14 duction, and subsequently there was an order issued to all  
15 producers for the months of January and February of 1988  
16 that --

17 Q That was for all prorated pools in south-  
18 eastern New Mexico.

19 A That was for all prorated pools, and then  
20 that was extended from February the 29th until March 31st  
21 and one more month extension, until March 31st of '88.

22 Q Have you determined whether or not there  
23 will be any further moratoriums on shut-in for overproduced  
24 wells?

25 A We have received no notice and we have

1 made no request and that was the purpose of this hearing, is  
2 to try to resolve the problem.

3 Q What is the annual balancing period for  
4 prorationing in -- in the Buffalo Valley Pool? Does it run  
5 from April 1st to March 30th of each year?

6 A I really don't know the answer to that  
7 question.

8 Q There are three pipeline transporters  
9 taking production from the pool now?

10 A That's correct.

11 Q Does Read & Stevens transport gas to all  
12 three of those pipelines?

13 A We have in the past, yes.

14 Q Currently to which transporters do you  
15 provide your gas?

16 A Well, we are transporting gas through the  
17 Phillips system and the El Paso system and the Transwestern  
18 system.

19 Q So all three that you -- you generally  
20 use all three.

21 A Yes, sir.

22 Q Have you determined from each of the  
23 pipelines whether or not they will take the type of  
24 production, volumes of production you desire for your  
25 nonmarginal wells and still have the ability to take the low

1 capacity or marginal production from the other wells in the  
2 pool?

3 A We've made a request numerous occasions  
4 to sell all the gas we can sell from marginal wells; also  
5 from the nonmarginal wells.

6 Q For the wells that you operate that are  
7 marginal, do you see any indication that their production  
8 will be curtailed or restricted if your application isn't  
9 approved?

10 A Well, the existing pipeline companies may  
11 curtail the demand in the summer months, which is --  
12 occurred last year, but we also, if they don't -- do not  
13 take that production, we have other marketing people who are  
14 interested in buying our gas during the summer months and in  
15 our opinion we can sell all the gas we can produce.

16 Q From both the marginal and the  
17 nonmarginal wells?

18 A Yes, sir.

19 Q Are those pipelines taking ratably as  
20 best you know from those wells connected that you operate?

21 A No.

22 Q They are not?

23 A No, sir.

24 MR. KELLAHIN: I have nothing  
25 further.

1 MR. STOGNER: Thank you, Mr.  
2 Kellahin.

3 Mr. Lyon, do you have any ques-  
4 tions?

5

6 QUESTIONS BY MR. LYON:

7 Q Vic Lyon, Chief Engineer for the Divi-  
8 sion.

9 Mr. Read, I'm sorry I didn't hear all of  
10 your testimony. I intended to sit in on all of that, so not  
11 having heard the first part of your testimony I am not in a  
12 position to ask you questions about that.

13 One of the things I did hear you say is  
14 that the allowables have been very erratic and that there  
15 were times when there was even zero allowable. Can you  
16 name me a single time when there was a zero allowable?

17 A I won't name all operators but we did  
18 make a study of the field and this is Belnorth had a zero  
19 allowable in July, October, November --

20 Q Where -- where is that? What pool is  
21 that?

22 A Belnorth is the operator.

23 Q In this pool?

24 A In the Buffalo Valley Field.

25 Q What pipeline is he attached to?

1           A           I don't have that information. I'm sure  
2 it's in the proration schedule.

3           Q           I don't see a Belnorth listed on the  
4 schedule.

5                       MR. BRUCE: Mr. Lyon, I think  
6 --

7           A           They're selling gas, I --

8           Q           Come again?

9                       MR. BRUCE: Is there one under  
10 Enron Oil and Gas?

11          Q           Yes.

12                      MR. BRUCE: I believe that would  
13 be it.

14                      MR. LYON: Okay.

15                      MR. BRUCE: The Lulu No. 2  
16 Well?

17          Q           That's the Lulu No. 2?

18          A           Beg pardon?

19          Q           That's the Lulu No. 2 Well?

20          A           Yeah, the -- yeah, right. Yes, sir.

21          Q           Okay, when -- what were you going to say  
22 about that well?

23          A           There was no allowable assigned to that  
24 well during the month of July, October, and November of 1987.

25          Q           Mr. Read, do you know that that's a mar-

1 ginal well?

2 A It could be.

3 Q Do you know that the allowable for a mar-  
4 ginal well is shown as what its production was the second  
5 prior month?

6 A Could be.

7 Q And if a well didn't produce the second  
8 prior month then that it would have no allowable, but that  
9 does not mean that you can't produce.

10 A Well, there -- the problem we have run  
11 into is wells being shut-in for one month or two months or  
12 three months at a time because of pipeline curtailment and  
13 then there is no allowable assigned to that well and it goes  
14 back on production and there is no allowable to the well.

15 Q Well, it doesn't have any allowable be-  
16 cause it didn't produce the second prior month, but that's  
17 just an estimate of what its allowable would be. Marginal  
18 wells don't carry an overproduced or underproduced status,  
19 so that's -- that's just an estimate, so the reason that  
20 there's no allowable shown is because it hadn't produced.

21 But that's no reason that you can't pro-  
22 duce the well.

23 Did Read & Stevens drill all the wells  
24 that they now operate?

25 A Yes, sir.

1 Q Do you know what wells Cities Service  
2 operated when they asked for proration in this pool?

3 A Yes, they operated one well in Section  
4 35, 14 South, 27 East, and that well was plugged and aban-  
5 doned.

6 When they made the request for proration-  
7 ing back in 1969 they were operating that well and then that  
8 well was plugged and abandoned in 1980 and they are o longer  
9 operating any producing wells in the Buffalo Valley Field.

10 Q Were you present at the hearing at which  
11 Order R-1670-H resulted, which -- which caused the Commis-  
12 sion to start prorationing?

13 A When was that, nineteen years ago?

14 Q 1969.

15 A Beg pardon?

16 Q 1969.

17 A I don't recall whether I was there or  
18 not. I've attended a lot of hearings in Santa Fe but I  
19 don't keep a diary on them.

20 Q If you were there did you make an objec-  
21 tion?

22 A I did not make an objection. We did not  
23 because, as I testified earlier, there were only six wells  
24 in the field and the limits and the boundaries of the field  
25 and the producing capabilities, the reservoir conditions,

1 the pressures, the porosities and the permeabilities, the  
2 structures, were all unknown at that time and in all prob-  
3 ability it was a good -- it may have been a good idea at  
4 that time.

5 I'm saying now we have different market  
6 conditions. We have more than one pipeline. We only had  
7 -- my recollection is that we only had one pipeline in there  
8 in 1969, and I could stand to be corrected on that, because  
9 there was only one pipeline into the area and then later on  
10 we negotiated with Transwestern and then we got El Paso into  
11 the field.

12 But our market conditions have changed  
13 considerably and pricing has -- has gone both up and down.  
14 In 1969 pricing was low. It has escalated up to 1978 and  
15 then we've seen decline in pricing.

16 Q Mr. Read, do you think that it would be  
17 more likely or less likely for unratable takes to exist in a  
18 pool with three pipelines rather than one pipeline?

19 A Well, you just don't know because most --  
20 both El Paso and Transwestern are selling their gas to --  
21 the bulk of it, from New Mexico going to California, so it's  
22 based on market demand in the California area.

23 Phillips, their taking our gas from the  
24 Buffalo Valley Field and going to the Lusk Plant and selling  
25 at the tailgate to El Paso, and I don't, really don't know

1 where that gas goes to, but we have had pipeline curtailment  
2 by both El Paso and Transwestern.

3 Q Don't you think that under curtailed pro-  
4 duction by pipelines due ot market situations that there's  
5 more need for prortion than if all wells were just producing  
6 all they could produce without any curtailment?

7 A I don't see the advantage of it. I don't  
8 see ratable take as every operator ought to be allowed to  
9 produce whatever the capabilities are of his wells.

10 Q So -- so you don't -- you think that the  
11 Division should just turn its head and allow unratable tak-

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 where that gas goes to, but we have had pipeline curtailment  
2 by both El Paso and Transwestern.

3 Q Don't you think that under curtailed pro-  
4 duction by pipelines due ot market situations that there's  
5 more need for proration than if all wells were just producing  
6 all they could produce without any curtailment?

7 A I don't see the advantage of it. I don't  
8 see ratable take as every operator ought to be allowed to  
9 produce whatever the capabilities are of his wells.

10 Q So -- so you don't -- you think that the  
11 Division should just turn its head and allow unratable tak-  
12 ing without doing anything about it?

13 A I think it should be left to an opera-  
14 tor's decision. We're the ones that are putting enormous  
15 sums of money into the exploration and development of the  
16 field and there -- right now, I think that there could be  
17 more wells drilled in the field at some point in time if the  
18 economics were profitable.

19 Q Are you familiar with -- with Order R-  
20 8170?

21 A I guess I should say I'm not familiar  
22 with it. Is that the --

23 Q That's our basic proration order.

24 A Oh, for Buffalo Valley?

25 Q It includes a rule for Buffalo Valley.

1 A I've -- I've read the --

2 Q The balancing rules apply to all prora-  
3 tion pools

4 A I'm not an expertise (sic) in it, I'll be  
5 very frank with you. We do not have a --

6 Q Are you --

7 A -- full time engineer working for Read &  
8 Stevens.

9 Q Are you familiar with the Division's  
10 responsibilities under the statute to prevent waste and pro-  
11 tect correlative rights?

12 A Yes, I am.

13 Q And our authority under -- under that  
14 statute?

15 A Yes, I am. I -- I do not see where that  
16 is an issue at this time because I do not see -- we're very  
17 well familiar with the producing history, the engineering  
18 and geology, and I don't see where waste or correlative  
19 rights are being adversely affected.

20 Q Well, might that not be influenced by the  
21 fact that you have the overproduced wells?

22 A I don't think that anybody could prove  
23 that point as to whether the offset operators have been  
24 drained or correlative rights have been violated. It's just  
25 strictly a function of the sands that are present in each

1 well on a well-to-well basis.

2 Q Can you proof that?

3 A Well, I think we could if it came before  
4 the Commission, if we had to.

5 But you also have a period of overproduc-  
6 tion that might occur because of seasonal demands of which  
7 all operators have the same opportunity to produce the gas  
8 under the same conditions at the same price, and they have  
9 the same right to produce the gas that Read & Stevens, or  
10 all operators have the same producing opportunity if their  
11 well is capable of producing.

12 Q Can you tell me when your well was first  
13 indicated in the proration schedule to be more than six  
14 times overproduced?

15 A January of 1988, and here again I ques-  
16 tion that because you gave me some different numbers that I  
17 haven't calculated since then and my basic numbers were that  
18 the well was 3.9 or something different and it may or may  
19 not have been overproduced.

20 Q I hand you copies of pages out of a Nov-  
21 ember, 1987 proration schedule. Can you see your Harris  
22 Federal No. 8 listed on there?

23 A It's pretty hard to read the printing but  
24 you have it outlined --

25 Q (Not clearly understood.)

1           A           Yes, sir.

2           Q           Do you know what that asterisk means?

3           A           No, I don't know what the asterisk means.

4           Q           That asterisk means that the well is more  
5 than six times overproduced, and is shut-in until it is less  
6 than six times overproduced.

7                        I hand you the December '87 proration  
8 schedule. Is that asterisk not still there?

9           A           That's correct.

10          Q           And the January, 1988 schedule and does  
11 it not show the asterisk still there?

12          A           That's correct.

13          Q           All right, now you received that notice  
14 in your November schedule that the well was six times over-  
15 produced in January, isn't that right?

16          A           That's right.

17          Q           What was the production in January of  
18 1988 --

19          A           The production --

20          Q           -- from that well?

21          A           The production from that well?

22          Q           It shows on the schedule.

23          A           35,829,000.

24          Q           And that was supposed to have been shut-  
25 in.

1           A           Well, there was a moratorium that we -- I  
2 talked to you, I talked to Mr. Lemay, and realized we were  
3 overproduced, and the moratorium was granted for the month  
4 of January, February and March to continue production.

5           Q           Do you know when the date of that -- that  
6 order, memorandum came out granting the -- the moratorium?

7           A           It came out roughly January 26th.

8           Q           And the --

9           A           That's when we received the order but we  
10 discussed it, I discussed it with you and the Commissioner  
11 approximately January the 8th or 9th when we got your notice  
12 of shut-in. That's when we called the Commission.

13          Q           Right.

14          A           And we understood that there was going to  
15 be an order issued on all prorated fields and that was ver-  
16 bal, but we also received authority to continue producing,  
17 verbal authority to continue producing the well.

18          Q           You received verbal authority to continue  
19 producing?

20          A           We got authority from -- to turn the  
21 wells back on, yes, sir.

22          Q           And when was that?

23          A           Oh, it was about -- well, I don't have  
24 the exact dates but we were shut-in about two weeks from  
25 about the 0th of January and I have it here --

1 Q So you did shut the well in?

2 A Well, it was shut-in, yes.

3 Q But you still produced 35,000,000 cubic  
4 feet that -- that --

5 A It was shut-in part of the time during  
6 the month.

7 Q Mr. Read, I believe you stated that your  
8 overproduced status was on the 1st of January?

9 A That was the first that I was aware.

10 Q Was -- was six times over?

11 A That's -- here again, that was the first  
12 time we were aware of it, and we were not familiar with the  
13 formula that was being used at that time for determining  
14 overproduction and we understood that there were some errors  
15 in the Oil Conservation Commission on how they based their  
16 allowable.

17 Q The provisions for that determination is  
18 in the Order R-8170, if you'll read it.

19 Now, this the proration schedule for Feb-  
20 ruary, 1988. Would you find that -- your Harris Federal No.  
21 8 well?

22 A Yes, sir.

23 Q Have you found it?

24 A Yes, sir.

25 Q And what is the amount of overproduction

1 shown on there?

2 A 207,000,000.

3 Q All right. Do you see the figure to the  
4 left of that on the same line?

5 A Yes, sir.

6 Q What is that figure?

7 A 147,347,000.

8 Q For your information, that is six times  
9 the average allowable for the past twelve months.

10 Now would you argue with me that that's  
11 8.4 times overproduced?

12 A You are probably correct.

13 Q Excuse me, just a second.

14 A Here again I was under the -- with the  
15 understanding that we were operating during the months of  
16 January, February and March with a moratorium overproduction  
17 and that was the reason we continued producing our wells.

18 Q You did realize, didn't you, that -- that  
19 whatever you overproduced during that time, you would have  
20 to make up?

21 A But I -- that is the reason that -- yes,  
22 I realized that that was the reasoning and that was the pur-  
23 pose of having -- making a request for this hearing, to try  
24 to resolve the problem.

25 Q Would you -- would you look at -- would

1 you look at the information that -- is that last schedule  
2 that was -- the February schedule -- is that legible? I  
3 have other copies that may be more legible.

4 A Yes, sir.

5 Q Looking at the other wells that operate  
6 in there, do you see any -- any information that is not cor-  
7 rect?

8 A Well, I -- I haven't had an opportunity  
9 to study everyone of these numbers. I would presume that  
10 they are correct.

11 I do not have a summary of our production  
12 --

13 Q Well, would you look at the wells under  
14 El Paso Natural Gas.

15 Do you have the Towles Federal No. 2?

16 A Yes, sir, go ahead.

17 Q Okay. What is the classification of that  
18 well? If you'll look at the end --

19 A Yeah, yes, sir, the end --

20 Q -- right after the description, that's  
21 means nonmargnal.

22 A Nonmarginal, right.

23 Q Does it show any production for that  
24 well? That's the -- that's the space right after the unit  
25 designation, the 1 or 1.00. There's not a figure there --

1           A           No, I do not see any sales for that  
2 month.

3           Q           Do you know if that well was producing?

4           A           For the month of December?

5           Q           Yes.

6           A           I have it produced in December.

7           Q           Okay, do you know that for the entire  
8 period in 1987 that that well was shown as a nonmarginal  
9 well on your -- on the proration schedule; that it had no  
10 production credited to it; and that that well was assigned  
11 its share of the nonmarginal production or nonmarginal  
12 allowable, which would have gone to the other wells in the  
13 pool if you had notified us that that was incorrect?

14          A           That could be correct. We received the  
15 allowable and it ws being produced within the allowable.

16          Q           Mr. Read, do you get copies of the  
17 dockets that the Commission mails out?

18          A           Yes, sir.

19          Q           Did you get the notice of the gas  
20 proration seminar that I put on in Hobbs in August?

21          A           It could be but I did not see it. We  
22 have several people in our company that review those  
23 notices.

24          Q           Did you or anybody in your organization  
25 attend that?

1 A No, they did not.

2 Q Well, I don't know whether you're aware  
3 of this, but we started a new allocation system and I tried  
4 to explain that to everybody and tried to explain to them  
5 how the allowable system works, how the balancing works, and  
6 it appears to me that you don't understand enough about the  
7 gas proration system to have an opinion about if you need  
8 proration or not.

9 A We try to work with the guidelines of  
10 what we have and with the people that we have available. We  
11 do not have a proration engineer and we do not have the ex-  
12 pertise to attend all the industry meetings that are held,  
13 numerous meetings, as you well know.

14 We do the best we can.

15 MR. STOGNER: Thank you, Mr.  
16 Lyons.

17 Anybody else have any questions  
18 of this witness?

19 Mr. Bruce:

20 MR. BRUCE: No, sir.

21 MR. STOGNER: Thank you, Mr.  
22 Bruce.

23 Any other questions of this  
24 witness at this time?

25 Mr. Read may be excused.

1                   Mr. Kellahin, do you still re-  
2 quest your motion to continue this case until the April 13th  
3 hearing?

4                   MR. KELLAHIN: Yes, sir, I do,  
5 Mr. Examiner.

6                   MR. STOGNER: Are you going to  
7 require Mr. Read's presence at that time?

8                   MR. KELLAHIN: Probably not,  
9 but I need a few days to confer with my client and I'll not-  
10 ify Mr. Bruce just as soon as I can. Hopefully we'll avoid  
11 another trip for Mr. Read.

12                   MR. STOGNER: Okay, and any  
13 communication of the same send us a copy for the file.

14                   MR. KELLAHIN: Be happy to do  
15 so.

16                   MR. STOGNER: At this time does  
17 anybody wish to make any statements?

18                   This case will be continued to  
19 the April 13th docket.

20                   MR. BRUCE: I would like to re-  
21 serve a closing statement until the 13th.

22                   MR. NANCE: El Paso would do  
23 the same.

24                   MR. STOGNER: Is there anything  
25 else for -- to come before this case today?

1 If not, I'm going to continue  
2 this case --

3 MR. WEBER: I wanted to present  
4 a letter from Transwestern's management and we do not oppose  
5 Read & Stevens' application.

6 MR. STOGNER: Mr. Weber, could  
7 you verify something for me? Is this -- are you making  
8 this on the grounds of Transwestern as a producer or --

9 MR. WEBER: No, Transwestern as  
10 a purchaser.

11 MR. STOGNER: As a purchaser,  
12 and do you speak for Enron as a producer of --

13 MR. WEBER: No, I don't.

14 MR. STOGNER: Okay. Does any-  
15 body else have anything further in this case today?

16 The case will be continued to  
17 the April 13th docket and we'll take about a five minute re-  
18 cess.

19

20 (Hearing concluded.)

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25


C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9346 heard by me on 30 March 1988.

Michael J. [Signature], Examiner  
Oil Conservation Division





## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9346, heard by me on April 13 19 88.

David R. Catamb, Examiner  
Oil Conservation Division

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25