

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BLDG.
5 SANTA FE, NEW MEXICO

6 27 April 1988

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Anadarko Petroleum Corporation for the amendment of the special rules and regulations for the Foster-San Andres Pool, Lea County, New Mexico. CASE 9363

10
11
12
13 BEFORE: Michael E. Stogner, Examiner

14
15
16 TRANSCRIPT OF HEARING

17
18 A P P E A R A N C E S

19
20 For the Division:

21 Charles E. Roybal
22 Attorney at Law
23 Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

24 For the Applicant:

25 W. Thomas Kellahin
Attorney at Law
KELLAHIN, KELLAHIN & AUBREY
P. O. Box 2265
Santa Fe, New Mexico 87504-2265

1

2

I N D E X

3

4 TOMMY W. THOMPSON

5

Direct Examination by Mr. Kellahin 4

6

Cross Examination by Mr. Stogner 19

7

Questions by Mr. Lyon 23

8

9

10

11

E X H I B I T S

12

13 Anadarko Exhibit One, Structure Map 5

14 Anadarko Exhibit Two, Pool Rules 8

15 Anadarko Exhibit Three, Report 8

16 Anadarko Exhibit Four, Production Plot 9

17 Anadarko Exhibit Five, Plot 12

18 Anadarko Exhibit Six, Plot 13

19 Anadarko Exhibit Seven, Plot 14

20 Anadarko Exhibit Eight, Plot 14

21 Anadarko Exhibit Nine, Changes 14

22 Anadarko Exhibit Ten, Letter 15

23 Anadarko Exhibit Eleven, Letter 15

24 Anadarko Exhibit Twelve, Correspondence 16

25 Anadarko Exhibit Thirteen, List 17

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STOGNER: Call next Case
Number 9363.

MR. ROYBAL: Case 9363. Appli-
cation of Anadarko Petroleum Corporation for the amendment
of special rules and regulations for the Foster San Andres
Pool, Lea County, New Mexico.

MR. STOGNER: Call for appear-
ances.

MR. KELLAHIN: If the Examiner
please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing
on behalf of the applicant, and I have one witness to be
sworn.

MR. STOGNER: Are there any
other appearances in this matter?

Will the witness please stand
and be sworn at this time?

(Witness sworn.)

TOMMY W. THOMPSON,
being called as a witness and being duly sworn upon his
oath, testified as follows, to-wit:

1 DIRECT EXAMINATION

2 BY MR. KELLAHIN:

3 Q Mr. Thompson, for the record would you
4 please state your name and occupation?5 A My name is Tommy Thompson. I'm a Senior
6 Production Engineer for Anadarko Petroleum Corporation in
7 Midland, Texas.8 Q Have you previously testified before this
9 Division as a petroleum engineer?

10 A Yes, I have.

11 Q Pursuant to your employment, Mr Thompson,
12 have you made a study of the facts surrounding the Foster
13 San Andres Pool in Lea County, New Mexico?

14 A Yes, I have.

15 Q And pursuant to that study do you have an
16 opinion with regards to the increasing gas/oil ratio limita-
17 tion that's applied under the special rules for that pool?18 A Yes, sir, Anadarko has formulated an
19 opinion.20 Q And what is your opinion as to what the
21 gas/oil ratio limitation can be increased to for this pool?22 A It is Anadarko's opinion that the cur-
23 rent limitation of 10,000 standard cubic feet per barrel
24 should be increased to 20,000 standard cubic feet per barrel.

25 Q In order to reach that opinion, Mr. Thomp-

1 son, have you made a study of and prepared certain exhibits
2 for presentation to the Examiner?

3 A Yes, I have.

4 MR. KELLAHIN: At this time, Mr.
5 Examiner, we tender Mr. Thompson as an expert petroleum en
6 gineer.

7 MR. STOGNER: Mr. Thompson is
8 so qualified.

9 Q Mr. Thompson, let's take the first dis
10 play, which is marked as Anadarko Exhibit Number One, and
11 take a moment and orient the Examiner as to where the
12 three wells that are defined in this pool, where they are
13 located?

14 A Exhibit Number One is a structure map on
15 the top of the San Andres. Its scale is one inch to 2000
16 feet. The contour intervals are on 25-foot intervals.

17 Highlighted in yellow is the current ex
18 isting Foster San Andres Pool as it was established in
19 1957.

20 In red is Anadarko's acreage. Cross
21 hatched is the 40-acre proration unit of the Anadarko Har-
22 vard No. 1 wellbore and marked with red dots are each of
23 the three producing wellbores in the Foster San Andres Pool.

24 Q Which is the first of the three wells to
25 produce from this pool?

1 A The first well to establish the pool is
2 located in the northwest quarter of Section 5. It is cur-
3 rently operated by Martindale Petroleum. It's the Foster No.
4 1. It was originally drilled in 1957.

5 Q And what was the second well?

6 A The second well was the next location lo-
7 cated to the west. It's operated by Texas American. It is
8 their Foster No. 1. It was drilled and completed in June of
9 '81.

10 Q All right, then the third and final well
11 is the Anadarko well?

12 A Yes, it is. Anadarko completed the Har-
13 vard No. 1 in June of 1984.

14 Q The Examiner has just heard an applica-
15 tion by Primary Fuels in Case 9361 for the forced pooling
16 of a 40-acre tract in Section 31?

17 A Yes, they have.

18 Q Would you identify on this display where
19 that acreage is located?

20 A Primary Fuels' location, as they stated
21 in the previous case, would be one location, orthodox loca-
22 tion, due west of Anadarko's Harvard Well.

23 Q It would be the southeast quarter of the
24 southwest quarter.

25 A Yes, it would.

1 Q Let's talk for a moment about the history
2 of the Foster San Andres Pool, Mr. Thompson, first of all
3 describing for us whether or not you have an opinion con-
4 cerning the Foster Pool and its separation from the Hobbs
5 Pool to the north?

6 A On original completion of the Foster San
7 Andres Pool with Martindale Petroleum's Foster No. 1 there
8 was no measurement of bottom hole pressure. It is my opin-
9 ion that bottom hole pressure was on the order of 2000
10 pounds for this depth.

11 At the time Anadarko drilled and com-
12 pleted its well in June of 1984, on a drill stem test the
13 bottom hole pressure was measured around 420 pounds, clearly
14 establishing a depleted state for this reservoir.

15 There are several wells located on an
16 east/west trend north of Anadarko's location that are dry
17 holes that in Anadarko's opinion clearly delineates the East
18 Hobbs Field from the Foster San Andres Pool.

19 Q Do you have an opinion as to whether the
20 depletion experienced upon completion in the Anadarko well
21 is attributable to the past production over some 20 years
22 in the Martindale well or can it be attributed to produc-
23 tion out of the pool to the north?

24 A I would draw the conclusion that the de-
25 pleted state in the Foster San Andres Pool is due to Martin

1 June 1st, 1987, and were made retroactive to September 1st,
2 1986.

3 MR. KELLAHIN: Mr. Stogner, the
4 actual hearing date was May 20th of '87. Mr. Thompson has,
5 I think, referred to the order date. The case number was
6 9137 and the order is R-8113-A.

7 I have a copy, if you like, of
8 the transcript of that hearing. It's a case that you did
9 hear last year.

10 MR. STOGNER: At this time I'll
11 take administrative notice of all cases involving this pool.
12 I have a record here.

13 Continue, Mr. Kellahin.

14 Q Let's turn to Exhibit Number Four now, Mr.
15 Thompson, and have you identify that exhibit.

16 A Exhibit Number Four is a production plot
17 prepared on the field summary, which would include each of
18 the three, the sum of the three producing wells in the Fos-
19 ter San Andres Pool. It is a plot of monthly production ver-
20 sus time with monthly production on a semilog plot.

21 Oil production is indicated by your green
22 line or your green dots on that line, starting in 1957 would
23 be on the order of 420 barrels a month.

24 Gas production is indicated as a ratio to
25 the primary phase. It's scale is on the righthand side of

1 the curve, and initial gas/oil ratio was on the order of
2 1700 cubic feet per barrel in 1959.

3 At this time the last 6-month average
4 for 1987, oil production was in the order of 1300 barrels
5 per month and the gas/oil ratio was around 18,000-to-1.

6 Q Prior to the completion of the Texas
7 American well in 1981, what has been the historical
8 relationship between the gas/oil ratio and the oil rate for
9 the pool?

10 A Initially completed, the well reported no
11 gas production.

12 In 1959 the gas/oil ratio reported was
13 1700-to-1.

14 By 1962 that gas/oil ratio had increased
15 over 12,000 cubic feet per barrel. At that point in time
16 oil production had stabilized at about a 4-to-5 percent de-
17 cline rate per year.

18 Q In 1973 that gas/oil ratio trend extended
19 upward towards 20,000 cubic feet per barrel and continued as
20 such for almost seven years.

21 At that point in time there was no
22 noticeable change in your oil decline on a yearly basis.

23 Q What is your opinion of the drive mechan-
24 ism in the reservoir?

25 A It's clearly a solution gas drive reser-
voir.

1 you'll turn to Exhibit Number Four, that is the plot for the
2 Martindale well?

3 A Exhibit Number Five is a production --

4 Q I'm sorry, it's Number Five.

5 A -- plot on Martindale Petroleum Foster
6 No. 1, yes, sir.

7 This is the same presentation as the
8 field summary. It indicates monthly production on a yearly
9 basis from 1957 to date. Beginning in 1980 it shows bi-
10 yearly production.

11 You'll see the same trend established as
12 you saw in the field summary presentation from 1957 to 1981,
13 at which point in time Texas American drilled an offset for
14 the second producer in the field.

15 I'd like to establish the fact that for
16 the seven years between 1973 to 1979, that this wellbore did
17 produce on the order of 20,000 standard cubic feet per bar-
18 rel without a hazardous change in the decline trend of the
19 oil production.

20 Q To what, in your opinion, Mr. Thompson,
21 do you attribute the recent decline in 1987 on the Martin-
22 dale well?

23 A This trend could be one of several indi-
24 cators. I've talked to a Mr. Veteto and Martindale, which
25 is the head of operations in Hobbs, New Mexico. It is his

1 opinion that this trend is not indicated by the high produc-
2 ing gas/oil ratio in the field at this time.

3 Q Did he express an opinion to you as to
4 what he attributes that decline to?

5 A He attributes this decline to the length
6 in time which this well has produced since 1957; the fact
7 that it's made nearly 83,000 barrels of oil; and that Mar-
8 tndale is not at the point in time they'll spend additional
9 money to increase fluid lift in this area.

10 Q They have their well completed and oper-
11 ating in a different manner than you have your well?

12 A Yes, sir, it is.

13 Q We'll discuss that in a minute.

14 Let's go now to the Texas American well.
15 That's Exhibit Number Six.

16 A Exhibit Number Six is a production plot
17 of Texas American's Foster No. 1. The first production be-
18 gan in June of 1981 and I have plotted through the last half
19 of 1987.

20 It also is monthly production and the gas
21 phase is plotted as a ratio to primary phase.

22 Q Have you contacted Texas American about
23 their well to determine if they have any objection to the
24 increased gas/oil ratio for the pool?

25 A I have, in fact, had conversations with

1 Texas American, a Mr. David Miller, head of operations.

2 Texas American at this time does not have
3 an objection to Anadarko's request for an increase in gas-
4 oil ratio limitation.

5 Q And, finally, do you have an individual
6 plot on the Anadarko well?

7 A Yes, sir, Exhibit Number Seven is a
8 monthly production plot of Anadarko's Harvard No. 1.

9 It was completed in -- actually completed
10 in May of 19484; first reported production in June of '84.

11 It shows a current rate during the last
12 six months of 1987, about 1100 barrels a month.

13 Q Let's go now to Exhibit Eight and Nine
14 and look at those two pages together.

15 A Exhibits Numbers Eight and Nine, Exhibit
16 Number Eight is the same production plot for the Harvard No.
17 1. It is plotted in barrels of oil per on your lowest trend
18 line and gas/oil ration on your highest. The scale for gas-
19 oil ratio is on the righthand column of -- of the plot.

20 Below the curve there are indicated six,
21 six numerals, which are to reflect changes in operating con-
22 ditions that Anadarko has made to increase fluid production.

23 And Exhibit Number Nine are those changes
24 at which point in time they occurred.

25 On Exhibit Nine you'll notice that Ana-

1 darko's pump capacity, beginning in 1984, was on the order
2 of 180 barrels of fluid a day, and our current pump capacity
3 with these changes is on the order of 535 barrels per day.

4 These increases in pump capacity are
5 Anadarko's belief of the increase in production from the
6 Harvard No. 1.

7 Q To what extent have the other two opera-
8 tors for their respective wells taken similar measures to
9 Anadarko to obtain more efficient fluid production in that
10 well?

11 A Neither operator in the Foster San Andres
12 Pool has spent money to accomplish this kind of procedure.

13 Q I direct your attention now, Mr. Thomp-
14 son, to Exhibit Ten and Eleven.

15 A Exhibit Numbers Ten and Eleven are let-
16 ters from each of the operators in the Foster San Andres
17 Pool that indicates support of Anadarko's proposal to in-
18 crease the gas/oil ratio limitation from 10,000 cubic feet
19 per barrel to 20,000.

20 Q Have you determined whether or not you
21 have a market for the additional gas to be produced if the
22 gas/oil ratio is increased?

23 A Yes, sir, I have.

24 Q Do you have an exhibit that demonstrates
25 your ability to market that additional gas?

1 A Exhibit Number Twelve is correspondence I
2 have -- received from a Mr. Christopher Wren, which is the
3 manager of Gas Contracts and Purchasing for Phillips 66
4 Natural Gas Company. They are the current purchaser at this
5 time of Anadarko's casinghead gas.

6 And in this correspondence Mr. Wren
7 indicates that Phillips will have no problem in marketing
8 the additional gas production or causing any potential
9 problems on other operators in the area.

10 Q When Mr. Beard testified on behalf of
11 Anadarko in 1987 to get the gas/oil ratio increased to
12 10,000-to-1 it was his testimony at that time that it will
13 result in the additional recovery of some 6000 barrels of
14 oil on a certain basis and I have forgotten what that ratio
15 was.

16 A Yes, sir, that basis was, to my recollec-
17 tion, was prepared on a different consideration of operating
18 costs and product prices.

19 Q You have made an analysis of the econo-
20 mics pursuant to the additional incremental increase in the
21 gas/oil ratio and have determined a number of what in terms
22 of production of additional volumes of oil?

23 What -- what is your oil rate?

24 A At this time?

25 Q Yes, sir.

1 A At this time Anadarko is being restricted
2 for allowable restriction some 8 days a month of production
3 with a 20,000-to-1 increase, or an increase to 20,000 cubic
4 feet per barrel, we should be able to operate on the order
5 of 80 barrels of oil per day. Our current rate is 65 bar-
6 rels of oil a day until we reach our limitation set by the
7 (unclear).

8 Q Have you made a projection for your well
9 of the additional oil recovery to be produced with the in-
10 crease in gas/oil ratio?

11 A That estimate, as I stated before, is
12 about 3500 barrels of oil, around 10,000-to-11,000 equiva-
13 lent barrels if you consider the gas phase.

14 Q Do you have a recommendation to the Exa-
15 miner as an effective date at which to implement the in-
16 crease in the gas/oil ratio rate?

17 A Yes. In our notification we requested a
18 March 1st, 1988, retroactive date.

19 Q If the Examiner agrees to use that as the
20 effective date for implementation of the increase, will that
21 result in the cancellation of any overproduction?

22 A Not at this time, no, it will not.

23 Q I show you what is marked as Exhibit Num-
24 ber Thirteen, Mr. Thompson, and ask you to review that list
25 for me. To the best of your knowledge, information, and be-

1 lief does that list include all of the interest owners that
2 potentially are affected by this application?

3 A Exhibit Number Thirteen is a notification
4 of Anadarko's application for a change in pool rules. It
5 indicates each of the interest owners or operators in the
6 Foster San Andres Pool that Anadarko operates.

7 Q And includes a notification to Primary
8 Fuels?

9 A Yes, sir, it does, which has applied for
10 a forced pooling order in this field.

11 Q Except for the notice of hearing, Mr.
12 Thompson, and the Exhibit Number Two that represents the
13 pool rules, were the other exhibits prepared by you or com-
14 piled under your direction and supervision?

15 A Yes, sir, with the exception of the cor-
16 respondence from each offset operator and the purchaser,
17 they were.

18 q And that correspondence was generated in
19 response to inquiries by you to those individuals?

20 A Yes, they were.

21 MR. KELLAHIN: That concludes my
22 examination of Mr. Thompson.

23 We move the introduction of Ex-
24 hibits One through Thirteen.

25 MR. STOGNER: Exhibits One

1 through Thirteen will be admitted into evidence.

2

3

CROSS EXAMINATION

4 BY MR. STOGNER:

5 Q When I'm looking at your field total and
6 compare that to the Martindale Petroleum Company's well, it
7 appears that when your well went on line Mr. Martindale's
8 well experienced a very severe decrease in the gas produc-
9 tion. Am I to assume that this formation out there is that
10 porous, that that well affected this one, although it's,
11 what, a little over a half a mile away?

12 A No, sir, as I read that change in trend
13 on the gas/oil ratio, it began to occur some years prior,
14 beginning about 1979 you started to decrease your trend in
15 gas/oil ratio.

16 Q And then it went back up for him. Now
17 WAS that due to the order that raised it to 10,000-to-1?

18 A Yes, sir, that's my understanding.

19 Q What would have happened to this well if
20 we would have kept -- if we would have kept the gas/oil
21 ratio 5000-to-1? Would that gas have kept going down on the
22 Martindale well, or how would that have affected it?

23 A Not knowing their exact operations, I
24 don't know that I could answer that.

25 Q Do you know if that was an open hole com-

1 pletion or a perforated completion?

2 A By my records, I believe it's a perfor-
3 ated completion.

4 Q What stimulation procedures do you -- did
5 Anadarko use on your well?

6 A On the Harvard No. 1 the porosity is
7 fairly tight and it's a fairly high permeable reservoir. It
8 required a hydraulic fracture treatment in order to produce
9 economically.

10 Q And how about the other two wells, do you
11 know?

12 A I couldn't testify to that, no, sir.

13 Q On Exhibit Number Nine you presently have
14 a pump on there that has a capacity of 535 barrels a day.
15 With this increase, would this pump be sufficient or would
16 you have to put another one on it?

17 A Yes, sir, with this increase, this pump
18 should be sufficient.

19 If you'll look under numeral IV, Anadarko
20 installed some back pressure valves on the wellbore which
21 would -- which, it was Anadarko's intention at that time to
22 try to increase pump capacity or pump efficiency by keeping
23 as little gas out of the tubing as possible.

24 Should we fail to increase our limitation
25 and produce the gas as it comes to the wellbore, we should

1 increase our pump efficiency and our pump capacity should
2 increase as such.

3 Q Are you seeking a permanent change or
4 should this be temporary?

5 A Anadarko is seeking a permanent change in
6 the field rules.

7 Q With this increase, is it your opinion
8 that the other wells, will they benefit by this with higher
9 production, or is their -- is the present GOR able to meet
10 their allowable?

11 A At the present time they're not producing
12 the volumes of oil that the gas/oil ratio limitation is a
13 hindrance to their production or financial recourse.

14 The opinion of each of the other opera-
15 tors is that this increase would -- would benefit each oper-
16 ator.

17 Q Do you know if they had to shut their
18 production down to meet the allowables?

19 A No, sir, I don't believe that they have.

20 Q Are there any other wells besides the
21 Primary Fuels well that you know that are being planned at
22 this time in this pool?

23 A No, sir, not that I know of.

24 Q And what is the reason that you wanted it
25 retroactive to March 1st?

1 A That was basically the date that we ap-
2 plied for in the hearing, on the assumption that the month
3 of March and the month of April would be overproduced as has
4 been our history in this wellbore.

5 They are in fact not, by voluntary shut-
6 ins by Anadarko.

7 Q Are you presently shut-in?

8 A No, sir, we are producing at this time.

9 Q Do you know if you're over your allowable
10 for April?

11 A We are not as of day before yesterday.

12 Q Back in March, did you have to shut down
13 in March?

14 A As of -- as of last month?

15 Q Yeah.

16 A I don't recall the need to shut down in
17 March other than to make up for overproduction in prior
18 months.

19 Q Do you know if there's any -- any produc-
20 tion that you've got to make up now still on this well?

21 A No, sir, all overproduction is made up as
22 of this time.

23 MR. STOGNER: I have no further
24 questions for this witness.

25 Are there any other questions

1 of Mr. Thompson?

2 MR. LYON: May I ask some ques-
3 tions?

4 MR. STOGNER: Mr. Vic Lyon.

5
6 QUESTIONS BY MR. LYON:

7 Q I'm Vic Lyon, Chief Engineer for the
8 Division.

9 Mr. Thompson, as I understand your --
10 your testimony, your well is producing at the gas limit,
11 daily gas limit.

12 A Yes, sir, it is.

13 Q Of 800 MCF a day.

14 A Yes, sir.

15 Q You made the statement that the granting
16 of the application would increase the oil recovery. Now, I
17 can understand that, you know, it will reduce your operating
18 costs, it would permit faster depletion of the reservoir. I
19 have a little trouble understanding why it would increase
20 the oil recovery.

21 A Cumulative rate or by daily, are you ask-
22 ing?

23 Q Total recovery.

24 A That change in total recovery will be a
25 reflection of an economic limit that Anadarko operates un-

1 der. It's that change in that economic limit that will in-
2 crease recoverable reserves on an economic standpoint.

3 Q Do you expect the well to produce 800 MCF
4 a day or 1600 MCF a day until the day you plug it?

5 A It is -- it is -- I think at some point
6 in time our GOR will collapse and fall, so on that (un-
7 clear), no sir.

8 Q And recovery isn't affected by the GOR
9 limit unless you're producing at the gas limit.

10 A Would you say that again, please, sir?

11 Q Well, let me say it another way.

12 Your -- your economic limit for the well
13 is -- is such that the well would not be producing its gas
14 limit of 1600 MCF a day at the time elect to plug the well.

15 A No, sir, there -- there are several chan-
16 ges that will be -- that I'm sure will occur between now and
17 Anadarko's economic limit. All that I can work off of is
18 current operating conditions with a forecast on that basis.

19 In other words, our economic limit chan-
20 ges yearly as we review our operation cost and the product
21 price.

22 Q Would you agree with me that the economic
23 limit would be the same whether the limiting ratio is 10,000
24 or 20,000?

25 A At the current time our economic limit

1 would be reduced because our product, the volumes of product
2 we could produce and sell would increase, and on that basis
3 of revenue our economic limit should drop.

4 We're currently -- we're currently
5 spending some money to maintain our pump efficiency as it is
6 now, trying to keep from producing this gas overproduced as
7 an allowable, and it is Anadarko's belief that if we do not
8 have to spend those monies, that we will reduce our
9 operating cost.

10 Q But those expenditures are based on
11 today's conditions and not -- not at -- at the time that
12 you're looking at the economic limit.

13 A Yes, sir.

14 MR. LYON: That's all I have.

15 MR. STOGNER: Are there any
16 other questions of this witness?

17 If not, he may be excused.

18 Is there anything further in
19 this case, Mr. Kellahin?

20 MR. KELLAHIN: No, sir.

21 MR. STOGNER: Case Number 9363
22 will be taken under advisement.

23

24

(Hearing concluded.)

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true, and correct record
of the hearing, prepared by me the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 9363,
heard by me on 27 April 1988.
Mabel Sherman, Examiner
Oil Conservation Division