

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BUILDING  
SANTA FE, NEW MEXICO

12 October 1988

EXAMINER HEARING

IN THE MATTER OF:

Application of Read & Stevens, Inc.      CASE  
for an unorthodox gas well location,      9500  
Eddy County, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:      Robert G. Stovall  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Bldg.  
Santa Fe, New Mexico

For Read & Stevens:      William F. Carr  
Attorney at Law  
CAMPBELL & BLACK  
P. O. Box 2208  
Santa Fe, New Mexico 87501

For Exxon USA:      W. Thomas Kellahin  
Attorney at Law  
KELLAHIN, KELLAHIN & AUBREY  
P. O. Box 2265  
Santa Fe, New Mexico 87504

## A P P E A R A N C E S Cont'd

For Hondo Drilling: Ernest L. Carroll  
 Attorney at Law  
 LOSEE, CARSON, HAAS & CARROLL  
 P. O. Drawer 239  
 Artesia, New Mexico 88211

## I N D E X

## JOHN C. MAXEY

Direct Examination by Mr. Carr	5
Cross Examination by Mr. Kellahin	20
Cross Examination by Mr. Carroll	38
Cross Examination by Mr. Catanach	45

## WILLIAM "BILL" TATE

Direct Examination by Mr. Kellahin	48
Cross Examination by Mr. Carr	65

## GARY GOULD

Direct Examination by Kellahin	73
Cross Examination by Mr. Carr	81

## N. RAYMOND LAMB

Direct Examination by Mr. Carroll	82
Cross Examination by Mr. Carr	90

STATEMENT BY MR. KELLAHIN	94
---------------------------	----

## I N D E X Cont'd

STATEMENT BY MR. CARROLL	98
STATEMENT BY MR. CARR	98

## E X H I B I T S

Read & Stevens Exhibit One, Production Map	8
Read & Stevens Exhibit Two, Isopach	10
Read & Stevens Exhibit Three, Paper	13
Read & Stevens Exhibit Four, Projections	16
Read & Stevens Exhibit Five, Notice Information	19
Exxon Exhibit One, Production Map	50
Exxon Exhibit Two, Type Log	53
Exxon Exhibit Three, Structure Map	55
Exxon Exhibit Four, Isopach Map	57
Exxon Exhibit Five, Isopach Map	58
Exxon Exhibit Six, Isopach Map	62
Exxon Exhibit Seven, Map	75
Exxon Exhibit Eight, Proposal	76
Exxon Exhibit Nine, List	77
Hondo Exhibit One, List	94
Hondo Exhibit Two, Map	94
Hondo Exhibit Three, Scout Cards	94

1 MR. CATANACH: Call Case 9500.

2 MR. STOVALL: Application of  
3 Read & Stevens, Inc., for an unorthodox gas well location,  
4 Eddy County, New Mexico.

5 MR. CATANACH: Are there ap-  
6 pearances in this case?

7 MR. CARR: May it please the  
8 Examiner, my name is William F. Carr with the law firm  
9 Campbell & Black. P.A., of Santa Fe.

10 We represent Read & Stevens,  
11 Inc. I have one witness.

12 MR. CATANACH: Any other ap-  
13 pearances?

14 MR. KELLAHIN: Mr. Examiner,  
15 I'm Tom Kellahin of the Santa Fe law firm of Kellahin, Kel-  
16 lahin & Aubrey.

17 I'm appearing on behalf of  
18 Exxon Company USA. We have two witnesses.

19 MR. CARROLL: Mr. Examiner,  
20 I'm Ernest Carroll of the Artesia law firm of Losee,  
21 Carson, Haas & Carroll, and I am appearing on behalf of  
22 Hondo Drilling, and we will have one witness.

23 MR. CATANACH: Can I get all  
24 the witnesses to stand and be sworn in at this time?

25

(Witnesses sworn.)

MR. CARR: At this time we'd call John Maxey.

JOHN C. MAXEY,  
being called as a witness and being duly sworn upon his oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. CARR:

Q Will you state your full name for the record, please?

A John C. Maxey.

Q Mr. Maxey, where do you reside?

A In Roswell, New Mexico.

Q By whom are you employed and in what capacity?

A I'm employed by Read & Stevens as a petroleum engineer.

Q Have you previously testified before the Division?

A No, I haven't.

Q Would you review for Mr. Catanach your educational background and then summarize your work exper-

1 ience?

2 A I graduated in 1980 with a BS in petro-  
3 leum engineering technology from Oklahoma State University.

4 I went to work for Chevron in Midland,  
5 Texas, in 1980; worked as a drilling representative,  
6 responsible for field supervision engineering on all drill-  
7 ing and completion wells that I was responsible for.

8 In 1981 I went to work for Mesa Petro-  
9 leum Company in Roswell, handling the same type of respon-  
10 sibilities as a drilling foreman in Roswell, New Mexico.

11 I was transferred to Amarillo in '83 as  
12 a production engineer with Mesa Petroleum. I was respon-  
13 sible for production engineering duties, as well as devel-  
14 opment -- evaluation of development drilling acreage in the  
15 MidContinent and Permian Basin regions with Mesa Petroleum.

16 I left Mesa Petroleum in 1985 and was a  
17 Contract Operations Manager for Foran Oil Company out of  
18 Dallas, Texas. I was with Foran Oil Company approximately  
19 a year and a half; was responsible for producing property  
20 evaluation, on-going operations, and development drilling  
21 evaluation, acreage evaluation.

22 In February of this year I worked a two  
23 weeks contract with Read & Stevens and took a full time  
24 position with Read & Stevens as a petroleum engineer.

25 Q Has all of your work since graduation

1 been in the area of petroleum engineering?

2 A Yes, it has.

3 Q What percent of that work has been in  
4 southeast New Mexico?

5 A Approximately 80 percent of my Permian  
6 Basin experience has been in southeastern New Mexico.

7 Q And are you familiar with the Morrow  
8 formation?

9 A Yes.

10 Q Are you familiar with the application  
11 filed in this case on behalf of Read & Stevens?

12 A Yes, I am.

13 Q And you're familiar also with the  
14 proposed well?

15 A Yes.

16 MR. CARR: We tender Mr. Maxey  
17 as an expert witness in petroleum engineering.

18 MR. CATANACH: He is so qual-  
19 ified.

20 Q Mr. Maxey, will you briefly state for  
21 Mr. Catanach what read and Stevens seeks with this appli-  
22 cation?

23 A Read & Stevens seeks to drill an unor-  
24 thodox location in Section 19 of 19 South, 29 East, to the  
25 Morrow formation.

1 Q Are you familiar with the Division's  
2 rules governing the development of the Morrow formation in  
3 this area?

4 A Yes, I am.

5 Q What are the well location requirements  
6 as set forth in those rules?

7 A The requirements for well spacing in the  
8 Morrow in this particular field are 660 from the end line  
9 and 1980, no closer than 1980 to the -- or excuse me, 1980  
10 from the end line and 660 from the side line of a proration  
11 unit in this field.

12 Q And what portion of Section 19 does Read  
13 & Stevens propose to dedicate to this well?

14 A The east half.

15 Q So you are 2/3rds too close to the north  
16 line.

17 A That's correct.

18 Q On an east/west axis are you at a stand-  
19 ard location?

20 A Yes.

21 Q Would you now refer to what has been  
22 marked for identification as Read & Stevens Exhibit Number  
23 One, identify this, and then review the information con-  
24 tained on the exhibit?

25 A This is a production map of the area



1 that we're -- we'd like to drill our well, and colored in  
2 in yellow is Read & Stevens east half of 19, our lease.  
3 This lease illustrates all the various producing intervals  
4 in the immediate area. To the north of us we have Exxon's  
5 lease. To the northeast of us we have Hondo Drilling and  
6 to the east we have General -- General Production Company.

7 Q Now to the east is the Parkway West  
8 Morrow Unit?

9 A That's correct.

10 Q And General Production Company is the  
11 operator of that unit?

12 A That is correct.

13 Q You color coded the wells to indicate  
14 what formation they're producing from, is that correct?

15 A That's correct.

16 Q And this shows the current ownership pin  
17 the area?

18 A Yes, sir.

19 Q The area shaded yellow indicates that  
20 Marbob is the -- may have an interest in the east half of  
21 Section 19. When did Read & Stevens acquire their  
22 interest?

23 A We acquired this lease about a year ago  
24 from Marbob.

25 Q And when does that lease expire, do you

1 know?

2 A The lease expires in '92.

3 Q Do you know what month?

4 A No, I don't. I know that --

5 Q How long does Read & Stevens' interest  
6 in the lease continue?

7 A Our agreement with Marbob was to have a  
8 well drilled within one year. We have not been able to  
9 spud the well as of yet, so we now have a 3-month extension  
10 to February 1st.

11 Q So the year has run and you're now in an  
12 extension period.

13 A That's right.

14 Q Would you now refer to what has been  
15 marked as Read & Stevens Exhibit Number Two and, first,  
16 would you identify this set of exhibits and then I'd like  
17 you to review each one of them.

18 First, what -- what is the exhibit?

19 A This exhibit is a set of four isopach  
20 maps of Morrow sand that we feel crosses our acreage and is  
21 prospective.

22 Q Are these all the Morrow sands that are  
23 underneath the proposed location?

24 A Yes.

25 Q Are there other sands that you do not

1 believe will be productive in the area?

2 A Yes. We have three other sands in our  
3 regional mapping that we feel that don't even come into  
4 consideration.

5 Q Would you refer to the first page of  
6 Exhibit Two and review that for Mr. Catanach?

7 A The first page is what we have labeled  
8 the Morrow C sand. All of these sands are beach and bar  
9 type sands with a northeast to southwest trend.

10 The first sand is the Morrow C sand  
11 which we feel crosses our acreage and is produced at -- two  
12 wells produce from this sand up in Section 17.

13 Q Now, in the east half of 19 you have a  
14 red arrow. That indicates the subject well, is that cor-  
15 rect?

16 A The red arrow indicates where we would  
17 like to drill. You'll notice the location to the south of  
18 it represents an orthodox location.

19 Q So that spot on the 5-foot contour, is  
20 that the closest orthodox location?

21 A Yes.

22 Q Are you ready to go to the second page  
23 of this exhibit?

24 A Yes.

25 Q And what is that?

1           A           The second page is the Morrow E sand.  
2 It is productive also from the two wells in Section 17. It  
3 is productive from a well in Section 18 in the west half.

4                   This is another isopach. All these  
5 sands trend northeast/southwest.

6           Q           And on all of these isopachs a triangle  
7 is used to indicate a producer in this particular sand.

8           A           In the particular sand, that's correct.

9           Q           All right, would you go to the third  
10 page of this exhibit?

11           A           The third page is the Morrow F sand.  
12 Again it's productive from two wells in Section 17. It is  
13 nonproductive in Section 18.

14           Q           And the final page?

15           A           The Morrow G sand, again productive in  
16 two wells in 17; no production in 18.

17           Q           Are these the sand stringers that in  
18 your opinion have the potential for contributing commercial  
19 production to a well at the proposed location?

20           A           Yes.

21           Q           And why exactly is it that you're pro-  
22 posing at this particular location to drill the well?

23           A           The way the sand trends across our ac-  
24 reage, approximately 50 percent through the north half of  
25 our proration unit, appears to be productive in these

1 sands, appears to be prospective in the sands.

2 We, with the sands trending northeast to  
3 southwest and being on the north half of our acreage, we  
4 feel we have to move closer to the north line in order to  
5 pick up the full amount of reserves that are going to be  
6 underlying our acreage.

7 Q How important is structure in actually  
8 making a successful well in the area?

9 A In the Middle Morrow we are not concern-  
10 ed with structure.

11 Q But you are moving to this location to  
12 reduce the risk of drilling an unsuccessful --

13 A That's correct.

14 Q -- well. Would you identify what has  
15 been marked as Read & Stevens Exhibit Number Three, please.

16 A Exhibit Number Three is a paper present-  
17 ed by A. D. James, published in the Southwest Section  
18 transactions of the AAPG. It's on the Lower Pennsylvanian  
19 Reservoirs of the Parkway Empire South Field Area, particu-  
20 larly the Parkway.

21 Q And what is the significance of this  
22 article?

23 A The reason this was submitted was prim-  
24 arily to further indicate from an independent source that the  
25 trend exists, a northeast/southwest trend exists and that

1 sands, appears to be prospective in the sands.

2 We, with the sands trending northeast to  
3 southwest and being on the north half of our acreage, we  
4 feel we have to move closer to the north line in order to  
5 pick up the full amount of reserves that are going to be  
6 underlying our acreage.

7 Q How important is structure in actually  
8 making a successful well in the area?

9 A In the Middle Morrow we are not concern-  
10 ed with structure.

11 Q But you are moving to this location to  
12 reduce the risk of drilling an unsuccessful --

13 A That's correct.

14 Q -- well. Would you identify what has  
15 been marked as Read & Stevens Exhibit Number Three, please.

16 A Exhibit Number Three is a paper present-  
17 ed by A. D. James, published in the Southwest Section  
18 transactions of the AAPG. It's on the Lower Pennsylvanian  
19 Reservoirs of the Parkway Empire South Field Area, particu-  
20 larly the Parkway.

21 Q And what is the significance of this  
22 article?

23 A The reason this was submitted was prim-  
24 arily to further indicate from an independent source that the  
25 trend exists, a northeast/southwest trend exists and that

1 these are a beach or bar type sands that exist under our  
2 acreage.

3 Q Do you have anything else to say in  
4 regard to Exhibit Number Three?

5 A Not at this time.

6 Q In your opinion can Read & Stevens drill  
7 a commercially successful well at the proposed unorthodox  
8 location?

9 A Yes. We can drill a -- we feel we can  
10 drill a successful well at the location and have to -- we  
11 picked the location to reduce the risk.

12 Q Do you believe that production from the  
13 proposed well should be restricted or penalized due to its  
14 unorthodox location?

15 A In the Morrow you have a lot of channel  
16 stands or similar to these beach and bar sands that can  
17 come and go from section to section or location to loca-  
18 tion.

19 If, in fact we penetrate the same sands  
20 that are producing to the -- in the acreage to the north-  
21 east, we feel like a reasonable penalty would be in order  
22 because we are moving closer to the location.

23 Keep in mind that we have to assess the  
24 penalty whereby Read & Stevens could still drill an econo-  
25 mic well.

1           Q           Are you prepared to make a recommenda-  
2           tion to the Examiner as to how an appropriate penalty or  
3           production limitation might be set?

4           A           Yes.

5           Q           And would you review that for Mr. Cata-  
6           nach?

7           A           We are moving 2/3rds closer to the north  
8           line. We are not moving any closer to the east line.

9                       My recommendation on a production pen-  
10          alty would be the addition of those two factors and divide  
11          by two for an average penalty of 33 percent, allowing us  
12          to produce 67 percent of the combined deliverability for a  
13          7-day period into the pipeline.

14          Q           Now, how -- how will deliverability be  
15          determined?

16          A           Deliverability would be determined on a  
17          7-day flow into the pipeline unrestricted.

18          Q           Does Read & Stevens request that a mini-  
19          mum allowable be set for the well if, in fact, production  
20          is penalized?

21          A           Yes.

22          Q           And how would that be accomplished?

23          A           We feel that due to the location of the  
24          well and the nature of the sands, they're small and they're  
25          not blanket sands, we feel like we have to have a minimum



1 allowable in order to have a floor of what we can -- we  
2 know that we can economic well if we meet our projections on  
3 the gas reserve, and on the price projections.

4 Q Are these projections contained in Read  
5 & Stevens Exhibit Number Four?

6 A Yes.

7 Q Would you like to refer to those at this  
8 time and review those for Mr. Catanach?

9 A Exhibit Number Four is a scenario that  
10 we've modeled in an effort to determine a minimum allowable  
11 that we would need to have suitable economic parameters or  
12 a suitable return on our money.

13 The model that we used, we estimated ap-  
14 proximately 2.7 BCF of gas reserve that we would be able to  
15 produce from our well; that figure is based on some  
16 drainage that we feel is taking place to the northeast of  
17 us right now.

18 We also did give our economic scenario a  
19 pricing escalation scenario. We started prices at \$14.00 a  
20 barrel of oil and \$1.40 per million BTU of gas and esca-  
21 lated at \$1.00 a year for 5 years, and then 6 percent for  
22 life.

23 We felt these numbers are a little opti-  
24 mistic right now but we're certainly willing to live with  
25 them if we can get a minimum allowable established in order

1 to drill this well.

2 What it boils down to, on this economic  
3 run in the lower lefthand corner you'll notice some econo-  
4 mic indicators. All these indicators are before tax;  
5 there's no tax consequences taken into consideration.

6 We're projecting on a minimum allowable  
7 basis of 500 MCF a day flat until the well starts its  
8 natural decline for 500 MCF a day, a 23 percent rate of  
9 return on our money; a 4.6 year payout; and a 3.8-to-1 on  
10 our money on an undiscounted basis.

11 Q Are these economics in line with indus-  
12 try practice?

13 A These are in line with minimum economic  
14 standards.

15 Q What is the producing rate that you re-  
16 commend by set as a minimum allowable on this well?

17 A The minimum allowable that we recommend  
18 is 500 MCF a day.

19 Q Now, do these figures take into account  
20 any cost that might be associated with connecting the well  
21 to a gas purchaser or compression or any of those sorts of  
22 things that may be anticipating?

23 A Our cost took into mind drilling and  
24 completing a well through the tanks. It did not take into  
25 consideration compression or dehydration that may be needed

1 down the road.

2 Q It's also premised on a gradual and  
3 steady increase in gas prices, is that correct?

4 A That is correct.

5 Q In your opinion, even with the minimum  
6 allowable is it possible that a well could be drilled by  
7 Read & Stevens at this location that would not be commer-  
8 cial?

9 A If we had minimum allowable?

10 Q Yes.

11 A Yes.

12 Q If the well's production is penalized as  
13 you proposed, what effect will this have on Read & Stevens  
14 plans to go forward with the well.

15 A If we are penalized as proposed and do  
16 get a minimum allowable on it, we would like to drill it  
17 before the end of the year.

18 Q What if the penalty is imposed without a  
19 minimum allowable?

20 A If we do not get a minimum allowable, we  
21 cannot justify drilling the well at this location. It's  
22 too risky.

23 Q And what will happen in that case to the  
24 reserves under the north half northeast quarter of 19?

25 A We feel that reserves will be less --

1 left in place, there will be waste, and correlative rights  
2 will be impaired.

3 Q Does Read & Stevens request that this  
4 application be expedited?

5 A Yes, we do.

6 Q And that is because you are now in an  
7 extension period on your lease?

8 A That's correct.

9 Q Would you just identify for the Examiner  
10 what has been marked as Read & Stevens Exhibit Number Five?

11 A This is an application of Read & Stevens  
12 for an unorthodox gas well location in Eddy County.

13 Q And are these the letters giving notice  
14 of this hearing?

15 A Yes, they are.

16 Q And is attached to that an affidavit  
17 from Campbell & Black confirming that the notice require-  
18 ments of Division rules are being complied with?

19 A Yes.

20 Q Were Exhibits One through Four prepared  
21 by you?

22 A Yes, under my supervision.

23 Q And can you testify as to their  
24 accuracy?

25 A Yes. Yes.

1 MR. CARR: At this time, Mr.  
2 Catanach, we would move the admission of Read & Stevens  
3 Exhibits One through Five.

4 MR. CATANACH: Exhibits One  
5 through Five will be admitted as evidence.

6 MR. CARR: That concludes my  
7 direct examination of Mr. Maxey.

8 Mr. CATANACH: Mr. Kellahin.  
9

10 CROSS EXAMINATION

11 BY MR. KELLAHIN:

12 Q Mr. Maxey, I believe you qualified your-  
13 self as a petroleum engineer.

14 A Yes, petroleum engineer.

15 Q The documents, the isopachs shown as  
16 Exhibit Two, there was four pages to Exhibit Number Two,  
17 were they prepared by you?

18 A They were prepared by Read & Stevens.

19 Q And what particular individual at Read &  
20 Stevens prepared the Isopachs?

21 A They were prepared by Alan Jackson prior  
22 to obtaining this acreage so we could make a decision, Read  
23 & Stevens could make a decision on purchasing this lease.

24 Q And Mr. Jackson is a geologist, is he?

25 A Yes.

1                   Q           When did Mr. Jackson provide you with  
2 these isopachs?

3                   A           We had those in our records and I've  
4 spoken -- Mr. Jackson is still in Roswell.

5                   Q           Is he still employed by Read & Stevens?

6                   A           No, he's working for another company now  
7 but he has been up to our office to review these maps with  
8 me several times.

9                   Q           All right, when did you --

10                  A           And I fully concur with him.

11                  Q           When did you first review these docu-  
12 ments with Mr. Jackson?

13                  A           I first reviewed these last spring when  
14 we were attempting to get a well drilled out in this  
15 acreage.

16                  Q           Am I correct in understanding it's your  
17 opinion and conclusion that the Upper Morrow in this area  
18 is not prospective?

19                  A           That's correct.

20                  Q           And am I also clear in understanding  
21 that the Lower Morrow has no potential for production in  
22 your spacing units.

23                  A           That's correct.

24                  Q           When we look at the potential Pennsyl-  
25 vanian production, then, other than the potential of the

1 four different zones isolated out of the Middle Morrow,  
2 there are no other potentials for Pennsylvanian gas pro-  
3 duction.

4 A If there were some other sands that de-  
5 veloped in the Middle Morrow that were not on -- that did  
6 not exist in any of the other wells, there's a further pos-  
7 sibility.

8 Q Your analysis as an engineer, though, is  
9 predicated and based upon these four isopachs.

10 A Yes.

11 Q When we look at -- well, let's start  
12 with C, I guess. When we look at C, you have shaded in the  
13 east half of Section 19. In the south half of that half  
14 section, or in the southeast quarter, there is a Coquina  
15 Well, is there not, Mr. Maxey?

16 A In the southeast quarter of 19?

17 Q Yes, sir.

18 A There's a dry hole, yes.

19 Q That was the Coquina Well that they  
20 drilled that turned out to be a dry hole.

21 A Yes.

22 Q Okay, it's called the No. 1 Flagg State,  
23 is it not?

24 A I believe that's correct.

25 Q And that well was deep enough to

1 penetrate all the Morrow sections that you've shown on this  
2 isopach.

3 A Yes.

4 Q And there's no question in your mind  
5 that there is no prospective potential for any of these  
6 sands south of that well in this spacing unit.

7 A Of any of the sands?

8 Q Yes, sir.

9 A Yes.

10 Q There's no potential.

11 A Right. Correct.

12 Q When we look in the northwest quarter of  
13 19 there is a dry hole in that quarter section, is there  
14 not?

15 A That's correct.

16 Q That's the Southland Royalty Scanlon  
17 Draw 19 State Com No. 1 Well.

18 A Correct.

19 Q And that well was also deep enough to  
20 penetrate all the Morrow members, was it not?

21 A Yes.

22 Q And that well was not commercial in any  
23 of the Morrow formations that you're relied on for the lo-  
24 cation of your well?

25 A Correct.



1           Q           When we look at the Middle C Zone  
2 section on this isopach, Exhibit Number Two, I see on the  
3 contour line that you've got the Southland Royalty Well  
4 west of the zero line.

5           A           Yes. And we've got the Coquina Well on  
6 the zero line on the south side of that contour.

7           Q           And on each side, then, the geologist  
8 has run this channel orienting northeast to southwest.

9           A           Yes, I believe so.

10          Q           Is there any information to cause you to  
11 believe that it is not equally suitable to take that zero  
12 contour line and curve it between those two wells?

13          A           No. This is our interpretation.

14          Q           All the attempts in the Morrow formation  
15 in 24, 25 and 30 are all dry holes.

16          A           In the Middle Morrow.

17          Q           Okay. In the F sand, do you have that  
18 isopach there, Mr. Maxey?

19          A           Yes.

20          Q           In the F sand we also have in the  
21 Coquina Well the zero contour line. None of that sand was  
22 present in that well, is that --

23          A           That's correct.

24          Q           -- what this shows?

25          A           Yes.

1           Q           The zero line for the F sand, though, is  
2 north of the Coquina Well. Do you know why that was con-  
3 toured that way?

4           A           Again that is our interpretation.

5           Q           Well, what's the basis for the interpre-  
6 tation of not putting the zero line through the Coquina  
7 Well?

8           A           A lot of times when we have a zero  
9 isopach we'll see a very minute trace of sand, or a pos-  
10 sibility that it exists right there.

11          Q           When we go up to the Southland Royalty  
12 Well in the northwest quarter, there was six feet of net  
13 sand in this F zone.

14          A           Yes. It is noncommercial.

15          Q           When you mean noncommercial, what did it  
16 test? Was there -- was there a separate test out of that F  
17 zone?

18          A           In that particular well there was a DST  
19 that did not test.

20          Q           The DST was across the gross Middle  
21 Morrow zone?

22          A           Right. Right. It was -- it did not  
23 isolate this sand.

24          Q           But they did drill stem test the total  
25 Middle Morrow section --

1 A Yes.

2 Q And it was noncommercial?

3 A Yes.

4 Q By noncommercial, did it test anything?

5 A Well, by noncommercial, it would not  
6 have been enough -- an economic well to run pipe and set  
7 it.

8 Q I understand. Do you have information  
9 to tell us what the DST test results were?

10 A No, I don't have any with me.

11 Q When we look at the E sand isopach, the  
12 Coquina Well had zero; the Southland has 2 feet; again that  
13 zone was drill tested and did not result in commercial  
14 production.

15 A Right, it will not produce in commercial  
16 quantities from that sand.

17 Q In response to Mr. Carr awhile ago, you  
18 indicated that you believe the east half of 19 was approxi-  
19 mately 50 percent perspective?

20 A Yes.

21 Q And how do you reach that opinion?

22 A Just by viewing the map we have greater  
23 than 50 percent of our acreage covered by our isopach, the  
24 way we have mapped it in.

25 Q Okay, when we look at the G sand isopach

1 there is much more than 50 percent on the G sand that is  
2 not prospective, is there not?

3 A Yes, that's in that particular sand  
4 alone.

5 Q And when we look at the E Sand, then  
6 that's, I'm going to guesstimate, probably 2/3rds pros-  
7 pective?

8 And what you've simply done is taken all  
9 four of these and eyeballed them together and said, well,  
10 I've got about 50 percent of this spacing unit that is pro-  
11 spective?

12 A Well, I did do some planimentering also  
13 and from our location it appears that it calculated that  
14 there were 7,400 feet -- acre feet of reservoir under our  
15 orthodox location and approximately less -- greater than 50  
16 percent of that was in the north half of our section.

17 Q When you planimetered that area, were  
18 you taking the gross Middle Morrow sand?

19 A I was taking each sand.

20 Q How many total net thickness in feet did  
21 you get when you planimetered it?

22 A The average thickness?

23 Q Yes, sir.

24 A There's over 30 feet.

25 Q And then within your spacing unit you

1 planimetered that acreage and you had 740 what?

2 A I had 7,400 acre feet planimetered from  
3 our orthodox, or excuse me, our unorthodox location.

4 Q And did you make further engineering  
5 calculations to determine the estimated gas in place with-  
6 in the spacing unit using that contour?

7 A Yes. I used, from the unorthodox loca-  
8 tion, I used -- and on the well -- the field is on 320-acre  
9 proration units. I used a 320-acre drainage radius within  
10 the confines of our zero isopach contours, from zero to  
11 zero.

12 And that is the acre foot of reservoir  
13 that I gave you.

14 Further, from that we calculated 2.66  
15 BCF of gas remaining and we based that on some drainage  
16 that we feel is occurring right now from the Hondo Drilling  
17 Well in the southwest of 17.

18 Q There's no doubt in your mind that the  
19 mapping of these four zones in the Middle Morrow extend up  
20 into the Exxon acreage and into the Hondo acreage. That's  
21 the interpretation here, isn't it?

22 A Right. They do exist in -- you'd have  
23 to define the quantity that exists.

24 Q In defining that quantity, have you con-  
25 fined yourself to determining the gas in place contained

1 within the isopach area within the east half of 19?

2 A No. The east half of 19 -- the  
3 isopached area within the east half of 19, no, I didn't do  
4 that.

5 Q You've not --

6 A No, I did not planimeter that, no.

7 Q You can't give me the gas in place  
8 number for that area.

9 A Not under our proration unit.

10 Q Okay. You've not taken a 320-acre as-  
11 sumption of drainage.

12 A That's correct. That's -- we took a  
13 320-acre assumption of drainage, because that was what the  
14 well is -- what the field is spaced on right now, and based  
15 on what we've seen in the Hondo Drilling Well in the  
16 southwest, we had a shut-in tubing pressure of 3300 psi  
17 when that well was initially drilled.

18 Ten years later the well in the north  
19 half of 17 had a shut-in tubing pressure of 2200 pounds  
20 when it was completed in the same sands as the Hondo Drill-  
21 ing Well was in the southwest.

22 Q But we know from the isopach that there  
23 is 40 percent or 50 percent of your spacing unit that's not  
24 going to contribute to that gas reserve.

25 A To whose gas reserve?

1 Q Yours.

2 A I don't understand your question.

3 Q On your isopach you've assumed -- well,  
4 in your calculation you've assumed 320 acres.

5 A That's correct.

6 Q Your isopach shows less than 320 acres  
7 productive.

8 A Yes, directly under our acreage.

9 Q To get the 2.7 or 2.6 BCF of gas, you're  
10 going to have to get that gas outside your spacing unit.

11 A Yes, that's correct, and that's the way  
12 all of these wells, if you assume 320 acres, they cross  
13 their boundaries, their lease boundaries.

14 Q How much of that gas, have you  
15 quantified how much of that gas is going to be gas produced  
16 off of your spacing unit?

17 A No, I have not and this -- and because  
18 the pressure drawdown from the Hondo Drilling Well over the  
19 last ten years has been from southwest to -- to the well,  
20 and from the northeast to the well.

21 Right now the pressure differential is  
22 from our acreage to the Hondo Drilling Well, as we see from  
23 the well in the north half to the Hondo Drilling Well. We  
24 feel like that if we drill where we're located right now,  
25 we're just trying to protect ourselves and our correlative

1 rights.

2 Right now, if we drill a well where we  
3 are, we feel that the majority of gas produced will come  
4 from the higher pressure at the southwest part of our ac-  
5 reage rather than from the northeast.

6 Q The displays in Exhibit Two show a red  
7 arrow to a circle and that's the unorthodox location?

8 A Yes.

9 Q Is it -- am I clear to assume that the  
10 dot to the south looks like it's 1986 60, is that the  
11 closest standard location?

12 A Yes.

13 Q So we can draw a comparison on each of  
14 the isopachs between the unorthodox location and the  
15 closest standard location?

16 A Right.

17 Q And you would not recommend the drilling  
18 of this well in this spacing unit at the closest standard  
19 location?

20 A No.

21 Q In making your recommendation, Mr.  
22 Maxey, for a penalty factor to apply to this well, you have  
23 simply used the distance to the north line plus the  
24 distance to the east line, divided by 2 and come up with  
25 1/3rd, I guess.



1 A Yes.

2 Q All right. That factor, or that pen-  
3 alty formula, does not propose to include any penalty for  
4 the fact that a significant portion of this southern end of  
5 your spacing unit is not going to contribute to your well.

6 A That's correct.

7 Q You've made an economic analysis to  
8 determine what, in your opinion, is a minimum rate below  
9 which the penalty drops off and you have recommended to the  
10 examiner half a million a day, I believe.

11 A Yes.

12 Q What were the results of that economic  
13 analysis, I think you told me that showed under this scen-  
14 ario a 23 percent rate of return, was it?

15 A Right.

16 Q And it would take 4.6 years to pay out  
17 at that projected minimum rate?

18 A Yes.

19 Q And what were the other results based  
20 upon that scenario that you thought were important?

21 A Well, the economic parameters in general  
22 are what I felt was important to determine whether we could  
23 drill a well and make a suitable return and obtain payout  
24 in a suitable amount of time offset the risks we're going  
25 to take.

1 Q And in assessing that 23 percent rate of  
2 return was that you found acceptable?

3 A A minimum, yes.

4 Q And 4.6 year payout --

5 A Minimum.

6 Q -- and were there any other results of  
7 that calculation that were important to you?

8 A Well, the 3.81 on our money --

9 Q 3.81.

10 A -- is approaching a minimum.

11 Q That means for every dollar invested you  
12 get 3.8 dollars back?

13 A That's correct.

14 Q Did you run that economic scenario using  
15 250 MCF?

16 A No, I did not. We're approaching --

17 Q (Not clearly understood) MCF.

18 A No, I did not. We're approaching a  
19 minimum rate of return right now.

20 We would like to see a 20 percent mini-  
21 mum rate of return but just taking into consideration we  
22 have a 4-1/2 year payout, 23 is as low as we want to go.

23 Q Have you run any other economic analysis  
24 on any of the other Morrow wells in this immediate area?

25 A No.

1           Q           You don't know how this economic ana-  
2           lysis compared to the actual performance, then, of any of  
3           the Morrow wells in the area?

4           A           Well, the actual performance of this  
5           well to any other well, it is not similar, because we're  
6           talking about a penalized well as opposed to wells that are  
7           operating without a penalty.

8           Q           Let's talk about how we're going to han-  
9           dle the penalty. You've got 1/3rd of a penalty or 1/3rd of  
10          an allowable, if you would, 2/3rds of an allowable.

11          A           Right.

12          Q           This is not a prorated gas pool, is it?

13          A           No.

14          Q           We've got to figure out how to set an  
15          allowable for the well and you propose to do that by run-  
16          ning a test and determining the deliverability of the sub-  
17          ject well?

18          A           Yes.

19          Q           When we get the deliverability of that  
20          well, this will be on an unrestricted flow condition?

21          A           Into the pipeline.

22          Q           The calculated absolute open flow of the  
23          well, is that what we're talking about?

24          A           No, we're talking about a deliverability  
25          test after we're connected to the pipeline, unrestricted to

1 the pipeline a their pressure. In effect what we're  
2 talking about is a back pressure of 6-or-700 pounds on the  
3 pipeline.

4 Q Are all these wells in this immediate  
5 area connected to the same pipeline?

6 A I do not know.

7 Q Who will be the pipeline purchaser for  
8 this well?

9 A We have not -- we are -- we've nego-  
10 tiated -- are negotiating several -- with several purchas-  
11 ers to determine who will be the purchaser.

12 Q All right. Have you determined who will  
13 be the pipeline?

14 A Oh, no, that's the same thing.

15 Q Well, sometimes it is the (unclear).

16 A Yes. I'm sorry.

17 Q Have you determined what the current de-  
18 liverabilities are for the other Morrow wells in the imme-  
19 diate area?

20 A Well, I've determined that the well in  
21 the north half of 17 is undergoing what appears to be a lot  
22 of curtailment. We have peak seasons when it produces and  
23 then we have off seasons in the summer when it produces.

24 The well in the southwest of 17 does not  
25 appear to have undergone any curtailment and right now it's

1 producing 600 MCF a day.

2 Q That's the Hondo Well?

3 A The Hondo Well.

4 Q The Hondo Well is currently producing  
5 600 MCF a day?

6 A Yes. It's been a very natural decline  
7 ever since it was completed in 1973.

8 Q That well is -- that well is at a stand-  
9 ard location with a south half dedication in 17?

10 A Yes.

11 Q And that well is not penalized or reduc-  
12 ed in terms of its location?

13 A No.

14 Q Have you proposed that with your well at  
15 its location 2/3rds closer to the end line than permitted,  
16 with only 50 percent of the acreage productive, to be able  
17 to produce at a minimum rate of 500,000 cubic feet of gas a  
18 day?

19 A Yes. That's what I'm proposing because  
20 we have just purchased this lease. We've been trying to  
21 get this well drilled and we -- there has not -- we have  
22 not had any success at getting the thing drilled.

23 If we would have been the -- had had  
24 this lease from inception, or the ones that had purchased  
25 it originally, I'm insinuating if we were Marbob, Read &

1 Stevens, we have a very prudent operations as far as moni-  
2 toring our production in any offset leaseholders, and we  
3 feel like along time ago we would have been trying to get a  
4 well drilled here. It may have been at a standard loca-  
5 tion, I don't know, that's a little hypothetical, but be-  
6 cause of the lack of pressure drainage that we've seen now,  
7 because it's obvious that this well has been draining our  
8 location ever since we saw the pressure depletion in the  
9 well in the north half of 17 after it was drilled.

10 Q Mr. Maxey, let me make sure I don't mis-  
11 understand you.

12 A Okay.

13 Q Are you proposing this penalty in order  
14 to compensate Read & Stevens for what you anticipate to  
15 have been past drainage that's occurred on your acreage by  
16 producing the Hondo Well?

17 A No. I'm proposing this because of the  
18 interpretation we have of our sand and the risk that we're  
19 going to undergo in drilling this well for the reserves  
20 that are left on the north half of our acreage, what  
21 reserves are left.

22 Q And using your penalty as compared to  
23 the Hondo Well with a minimum allowable will let you pro-  
24 duce only 100,000 cubic feet of gas less than the Hondo  
25 Well.

1           A           Right. Now, yes, the Hondo Drilling had  
2 10 -- 10 years of production, that's correct.

3                   I feel that that will give us a minimum  
4 rate of return and protect everybody's correlative rights  
5 involved.

6           Q           Have you done any drainage calculations  
7 on the Hondo Well to see based upon this geologic interpre-  
8 tation what the area of drainage is for that well?

9           A           I have not. Just based on the pressure  
10 depletion in the well in the north half, I feel it's more  
11 than 320, and it's also going to be along the axis of the  
12 sands.

13                               MR. KELLAHIN: Nothing fur-  
14 ther, Mr. Examiner.

15                               MR. CATANACH; Mr. Carroll.

16

17

CROSS EXAMINATION

18 BY MR. CARROLL:

19           Q           Mr. Maxey, you've stated that you've had  
20 experience with respect to the Morrow formation in south-  
21 eastern New Mexico. How many wells have you actually  
22 drilled and dealt with in that formation in southeastern  
23 New Mexico?

24           A           Are you talking about just drilled?

25           Q           Well, let's start there.

1           A           Okay, I'd say probably 30 wells, appro-  
2 ximately 30 wells.

3           Q           Were these wells for Mesa Petroleum?

4           A           Some of them were. Some of them were  
5 for Chevron and some of them were with Foran Oil Company.

6           Q           With who?

7           A           Foran Oil Company, and with Read &  
8 Stevens, we've drilled Morrow wells, also.

9           Q           Your recent experience with Morrow  
10 wells, has that been with Read & Stevens?

11          A           Well, I don't know what you mean by re-  
12 cent, but my experience has been for the past eight years.  
13 I've had experience with the Morrow.

14                    My most recent experience, yes, we have  
15 drilled some Morrow wells while I've been with Read &  
16 Stevens.

17          Q           In this area?

18          A           In southeastern New Mexico.

19          Q           In this area where we're proposing to  
20 drill this particular well?

21          A           No, this will be the first one that I've  
22 drilled with Read & Stevens in this area.

23          Q           The wells that have been drilled in this  
24 particular area, isn't it true that they've all been drill-  
25 led on standard or orthodox locations?



1           A           To my knowledge.

2           Q           And this is the first one -- or would be  
3 the first unorthodox location for this particular area,  
4 would it not?

5           A           To my knowledge.

6           Q           The Morrow in this particular area is  
7 quite erratic, is it not?

8           A           Somewhat. We have a very good trend set  
9 up from northeast to southwest. That's not to say that the  
10 sands don't come and go.

11          Q           The -- this trend that you keep talking  
12 about, the northeast to southwest, what are you -- what  
13 wells are you basing that on?

14          A           That's -- that's based on our regional  
15 geology, and as I said before, I've brought the article  
16 into evidence because it was something that came to my at-  
17 tention a few weeks ago that confirmed what we have be-  
18 lieved since we purchased this lease.

19          Q           Well, Mr. Maxey, what -- what do you  
20 feel is the degree of accuracy in mapping the Morrow in  
21 this particular area?

22          A           Well, we feel we've got a very good de-  
23 gree of accuracy in this field, in this particular 9-sec-  
24 tion plat, because we have a lot of control through the  
25 Morrow.

1 Q Well, when you say good degree, are we  
2 talking about 25 percent degree, 50 percent, 75 percent, or  
3 what?

4 A Well, in this particular case in 9-sec-  
5 tions, most Morrow production in New Mexico is on 320-acre  
6 spacing and we have two wells in each section in nearly all  
7 9 sections.

8 So I mean we couldn't get any better, I  
9 don't believe, when we're on 320-acre spacing --

10 Q Well, --

11 A -- as far as control.

12 Q First let's get back to my question, de-  
13 gree of accuracy. We find, too, in Section 19 we've  
14 already seen two dry holes drilled to the Morrow. Appar-  
15 ently there is some problem with the degree of accuracy in  
16 predicting where you're going to find Morrow production,  
17 isn't that true?

18 A That's correct in any situation where  
19 you're prospecting for oil and gas.

20 Q All right, and do you have a number that  
21 you could place on your -- what you feel like your degree  
22 of accuracy is in this particular case?

23 A Well, in this particular case I have to  
24 say I feel our accuracy is 100 percent.

25 Q All right, and your accuracy, then, is

1 determined by your control, is that correct?

2 A That's correct.

3 Q All right, now, in using your exhibit  
4 that maps the Morrow, Middle Morrow C Sand, you said that  
5 there is 10 feet, you're predicting 10 feet of pay with  
6 respect to this proposed location of yours. What well con-  
7 trol are you using to predict that 10 feet?

8 A We're using the well control all the way  
9 through sections -- well, in the 1, 2, 3, 4, 5 sections.  
10 We're using all the well control that we've got in 5 sec-  
11 tions.

12 You'll notice in Section 17 we have 20  
13 feet of pay and 5 feet of pay in the well on the north half  
14 of the south half. We have the trend established from our  
15 regional geology, and we have the dry holes that we feel  
16 like that we have a very good opportunity of drilling that  
17 sand within the dry holes (inaudible.)

18 Q Well, at best, though, the -- you are  
19 predicting that this sand will thicken. There is -- you  
20 have actually no well or control which shows that that sand  
21 would thicken after you get below or south southwest of the  
22 Hondo Well, do you?

23 A No. We feel that it's a trend; it's  
24 trendology (sic).

25 Q So it's a geologist's best guess, then,

1 is that correct?

2 A No, it's a geologist's best estimate.

3 Q Mr. Maxey, you made the statement a  
4 minute ago that it is obvious that the Hondo Well is  
5 draining Section 19.

6 A That's my opinion, yes.

7 Q Or excuse me, the Section 19, the gas  
8 reserves under there. What do you base that statement on?  
9 What -- what is so obvious about it?

10 A Repeat your question? Sorry.

11 Q Okay. You made the statement in answer  
12 to a question propounded by Mr. Kellahin, that it is  
13 obvious that the Hondo Well is draining this acreage in  
14 Section -- in the east half of Section 19.

15 What I was wondering is just exactly  
16 what told you that was so obvious? Did you have some  
17 pressure tests, pressure results, from any of these wells  
18 or is it just from the basis of these geologic  
19 interpretation that you draw that one conclusion?

20 A No, it -- well, it's a combination. We  
21 see the four sands that I've outlined are producing in the  
22 two wells in Section 17. All four sands have been perfor-  
23 ated in both wellbores, and when the sands -- and they were  
24 all four perforated upon original completion.

25 In the well in the southwest quarter of

1 17 we had initial shut-in tubing pressure of 3300 pounds  
2 upon completion.

3 In the well in the north half of 17  
4 we're assuming or our geology, what our geology shows us,  
5 is that this sand is continuous from the well in the south  
6 half to the well in the north half.

7 When we drilled the -- or when the well  
8 was drilled in the north half, ten years later they had a  
9 shut-in tubing pressure after completion, and it's when  
10 they had their AOF, did their AOF, a shut-in tubing pres-  
11 sure of 2200 pounds, so there was 1000 pounds less shut-in  
12 tubing pressure on these two wells, the difference between  
13 the two wells from the south to the north and with those  
14 four sands the only sands open.

15 Q Mr. Maxey --

16 A That lead us to our conclusion of drain-  
17 age.

18 Q Mr. Maxey, the well, the Southland Roy-  
19 alty Well in Section 19, have you -- did you look at the  
20 tests that were run on that particular well, what the bot-  
21 tom hole pressure was when it was initially drilled (un-  
22 clear)?

23 A In 19?

24 Q In 19, that Southland Royalty Well.

25 A No, I have not seen any bottom hole

1 pressure.

2 Q All right, did you look at any drill  
3 stem tests or anything such as that?

4 A I have seen some drill stem tests.

5 Q And what did those drill stem tests re-  
6 flect?

7 A The test in the south half of 19 re-  
8 flected about 500 pounds in the Middle Morrow, but there  
9 was not any pay.

10 Q Do you know what the -- what the drill  
11 stem test -- what kind of test they actually showed?

12 A There was 500 pounds with a few hundred  
13 feet of drilling fluid recovered, and that was all that my  
14 records indicate from PI.

15 MR. CARROLL: May I have just  
16 a moment?

17 Mr. Examiner, I have no other  
18 questions of this man, this witness.

19 MR. CATANACH: Mr. Carr?

20 MR. CARR: No redirect.

21

22 CROSS EXAMINATION

23 BY MR. CATANACH:

24 Q Mr. Maxey, have you calculated in any  
25 way how much sand you think you would need to make an econ-

1 omic completion in this -- in this well?

2           A           Well, I think the economics of it is  
3 somewhat dependent upon the performance of the well, well  
4 (unclear). In our rate of return calculation that's -- the  
5 2.7 BCF that I calculated, rate of return fluctuates, it's  
6 a time function, and it fluctuates with the performance of  
7 the well, how fast you recover reserves, so in looking at  
8 this prospect what we are proposing is a minimum penalty  
9 and we wanted to look and see what -- what kind of mini-  
10 mum penalty we needed with the reserves that we have esti-  
11 mated, calculated. We weren't looking for a minimum amount  
12 reserves, we just looked at the science we had and made  
13 the calculations to determine what kind of reserves we felt  
14 like we had at the location, and then needed to see what  
15 kind of minimum floor we need so that we can drill the well  
16 and obtain minimum rate of return.

17                   I might add that the run we made is  
18 based on a lot of assumptions. We're basing it on a pric-  
19 ing escalation, and it may not happen like that. It may  
20 not be -- we may not see prices increase for another year  
21 or two, and who knows what's going to happen to oil.

22                   So we feel like we've been very fair as  
23 far as -- I do, as far as the economics that I've run in  
24 trying to establish a minimum base that we need to have to  
25 drill this well. I just don't -- if we do not drill this

1 well, I feel like there will be waste and correlative  
2 rights will be damaged due to the fact that we do have some  
3 depletion of our acreage from the well to the northeast,  
4 and if we don't drill a well on our acreage, I believe  
5 there will be reserves left in the ground.

6 Q Of the four zones you have plotted here,  
7 is there one of these zones that's predominantly the major  
8 producer?

9 A There's no way -- all four zones were  
10 completed at the same time in Section 17 in both those  
11 wells. I don't have any record of individual sand tests.  
12 So it's a commingled situation for the four sands.

13 Q The reason you said you were moving  
14 north was to reduce the risk and move toward what you think  
15 is the greater amount of net sand, is that right?

16 A That's correct. We would like to make  
17 sure we're in a commercial reservoir if we're going to take  
18 the risk on drilling this well, because we feel like we  
19 have commercial reserves under our acreage.

20 Q Okay, on your -- on two of your maps you  
21 show 5 feet of sand in the Hondo Well in two of the zones.  
22 You don't think that that will be a -- at a standard loca-  
23 tion in Section 19, you don't -- you don't think that would  
24 be a good place to drill?

25 A No, sir. We can't take the risk at that



1 location.

2 MR. CATANACH: That's all I  
3 have. The witness may be excused.

4 MR. CARR: That concludes our  
5 direct presentation.

6  
7 (Thereupon a recess was taken.)

8  
9 MR. CATANACH: We'll call this  
10 hearing back to order and turn it over to Tom Kellahin.

11 MR. KELLAHIN: Mr. Examiner, I  
12 have two witnesses to present on behalf of Exxon. My first  
13 witness is a geologist, Bill Tate.

14  
15 WILLIAM (BILL) TATE,  
16 being called as a witness and being duly sworn upon his  
17 oath, testified as follows, to-wit:

18  
19 DIRECT EXAMINATION

20 BY MR. KELLAHIN:

21 Q Mr. Tate, for the record would you  
22 please state your name and occupation?

23 A My name is William Tate. I'm a Senior  
24 Geologist with Exxon Corporation in Midland, Texas.

25 Q Mr. Tate, as a geologist have you pre-

1 viously testified before the Oil Conservation Division?

2 A No, I have not.

3 Q Would you take a moment and describe  
4 first of all when and where you obtained your degree in  
5 geology?

6 A Yes. I earned a Bachelor of Science  
7 degree in geology from Oklahoma State University in 1982.

8 Q Subsequent to graduation in 1982 with a  
9 Bachelor's degree, did you obtain any other degrees?

10 A Yes, sir, I did.

11 Q And what did you obtain?

12 A I earned a Master of Science degree,  
13 also in geology, from Oklahoma State University, in 1985,  
14 and did extensive thesis work on sandstones such as --  
15 similar to the ones that are found in southeast New Mexico  
16 in the Morrow formation.

17 Q After obtaining your Master's degree in  
18 geology in 1985, would you give us a summary of what has  
19 been your employment experience as a petroleum geologist?

20 A I was employed by Exxon Corporation in  
21 June of 1985. Therefore I've worked for Exxon for approxi-  
22 mately about the last three and a half years. My duties  
23 have consisted of detailed mapping projects, both in west  
24 Texas and in southeast New Mexico, dealing with both  
25 clastic environments and carbonate environments.

1                   In the past year my primary duties have  
2 been mapping the Morrow sandstone on a regional and on a  
3 local scale throughout all of Eddy County, New Mexico.

4                   Q           Have you conducted a geologic study of  
5 the Morrow formation that is in this immediate area of Read  
6 & Stevens application in Section 19?

7                   A           Yes, I have. I've gathered all perma-  
8 nent information and developed a detailed mapping, geolo-  
9 gic mapping analysis of the area, and I have recommenda-  
10 tions based on that.

11                               MR. KELLAHIN: At this time,  
12 Mr. Catanach, we tender Mr. Tate as an expert petroleum  
13 geologist.

14                               MR. CATANACH: He is so quali-  
15 fied.

16                   Q           Mr. Tate, let me direct your attention  
17 to what we've marked as Exxon Exhibit Number One.

18                               Before we discuss the display itself  
19 would you simply identify the type of information you've  
20 had placed on this exhibit?

21                   A           Yes, I will. Exhibit Number One is a  
22 Morrow production map for the Turkey Track area, the area  
23 directly surrounding Read & Stevens' proposed unorthodox  
24 Morrow location.

25                   Q           Included on this map, which first off is

1 on the scale of one inch equals 2000 feet, are the wells  
2 that have penetrated the Morrow formation.

3 Q Are these all the wells in the area that  
4 are of immediate concern to you as a geologist in reaching  
5 your geologic opinions?

6 A Yes, they are.

7 Q This is your localized well control  
8 information for mapping your geology?

9 A Yes, it is.

10 Q And have you done that mapping?

11 A Yes.

12 Q Based upon your geologic studies, Mr.  
13 Tate, do you have an opinion as to whether or not the cor-  
14 relative rights of Exxon as the operator in the east half  
15 of 18 are going to be adversely affected if the Division  
16 approves the application of Read & Stevens for this unor-  
17 thodox well location in 19?

18 A Yes, I do.

19 Q What is your opinion?

20 A My opinion is that Exxon has significant  
21 Morrow reserves that must be protected on the east half of  
22 Section 18, the Exxon lease which directly offsets Read &  
23 Stevens' proposed unorthodox well location, which on  
24 Exhibit Number One is noted by the blue dot.

25 The Exxon New Mexico DC State No. 1 Well

1 was drilled through the Morrow section and encountered  
2 several reservoir quality sandstones in both the Morrow and  
3 in the Atoka section. The well is current producing in  
4 paying quantities in the Upper Penn formation. As prudent  
5 operators of this lease, Exxon will recomplete this well to  
6 the Morrow reservoir sands which were encountered, once the  
7 well is no longer capable of producing in paying quantities  
8 in the Upper Penn.

9 Exxon cannot compete with Read & Ste-  
10 vens' unorthodox well location since the Exxon New Mexico  
11 DC State No. 1 is located in the northern part of the east  
12 half of Section 18.

13 In addition, if Read & Stevens' unortho-  
14 dox well location is approved, it would result in an unfair  
15 advantage for Read and Stevens against not only Exxon, but  
16 other offset operators. To date, as already mentioned, all  
17 wells in the immediate area that are located on this pro-  
18 duction map, will drill at standard Morrow locations;  
19 therefore Exxon would prefer that Read & Stevens's unortho-  
20 dox well location be denied; however, if it is approved,  
21 then the well should be penalized in an appropriate manner  
22 to address the drainage that will occur from offset leases.

23 In addition, I will demonstrate in exhi-  
24 bits to follow that Read & Stevens' unorthodox well loca-  
25 tion is not justified geologically. In fact, they have a

1 standard Morrow location on a spacing unit which actually  
2 would encounter more Morrow sandstone reservoir quality  
3 rock.

4 And, finally, I disagree with Read &  
5 Stevens' interpretation of major sand trends that they have  
6 developed in this area and I will -- and I will discuss  
7 Exxon's geologic interpretation, which in my opinion, is  
8 the correct interpretation based on the facts that I will  
9 discuss.

10 Q Let's use Exhibit One, Exxon Exhibit  
11 One, as a guide by which we can refer to the wells and the  
12 names of the wells, and I take you now, sir, to Exhibit  
13 Number Two, which is the type log for your well in the  
14 northeast quarter of Section 18?

15 You've told us earlier that this well  
16 was drilled through the Lower Morrow sands and that it is  
17 currently completed and producing out of the Cisco form-  
18 ation?

19 A The Upper Penn. It's prorated as the  
20 Upper Penn.

21 Q So below the Upper Penn, then, we find  
22 the beginning of the type log when we look at the top of  
23 the Atoka?

24 A Yes.

25 Q All right, take us from the top down and

1 show us what in your geologic opinion are the potentials  
2 for production of this well in the Atoka and the Morrow  
3 formations?

4 A Okay. The sands represented on this  
5 type log, are again from the Exxon DC State No. 1. The  
6 type log, first off, is a gamma ray compensated neutron --  
7 compensated density dual spaced neutron log, the gamma ray  
8 on the left and the neutron density porosity occurs on the  
9 right.

10 I've highlighted the reservoir sand-  
11 stones which will be completed in this well, again, once it  
12 is unable to produce in paying quantities in the Upper  
13 Penn.

14 Exxon will complete this well in the  
15 Atoka sandstone zone that is highlighted; an Upper Morrow  
16 sandstone zone approximately halfway down on the type log;  
17 the Middle Morrow sandstone zone; and finally, an attempt  
18 will be made in the Lower Morrow sandstone zone.

19 Another important marker on this well,  
20 type log, is the Middle Morrow shale marker which is also  
21 noted on this map and will be discussed in a second in more  
22 detail.

23 Q In making a geologic study of this spec-  
24 ific area, Mr. Tate, was one of the first things you did  
25 was to prepare a structure map on the Morrow?

1 A Yes, it was.

2 Q And what did you use for a marker for  
3 controlling your contours for the structure map?

4 A The Middle Morrow shale marker, which I  
5 just mentioned.

6 Q And that's the one shown on the type  
7 log.

8 A Correct.

9 Q Let me show you Exhibit Number Three,  
10 which is the structure map. Would you identify and describe  
11 this exhibit for us?

12 A Yes.

13 Q Exhibit Number Three is a structure map  
14 again, constructed on the base of the Middle Morrow shale  
15 marker. The scale of this map is one inch equals 4000  
16 feet; one-half the scale of the production map exhibit.

17 The contour interval for this structure  
18 map is 50 feet.

19 The important note to make on this  
20 structure map is that structure does not justify Read &  
21 Stevens' proposed unorthodox well location.

22 Q What causes you to reach that opinion,  
23 Mr. Tate?

24 A That opinion is based on, first off,  
25 looking at the relationship of the three colored dots on



1 this map, the unorthodox location and then Read & Stevens'  
2 nearest downhole locations, that they are structurally  
3 comparable to the DC No. 1 Well, the Exxon Well, in the  
4 east half of Section 18, or more importantly that the --  
5 one of the better wells in the field, located in the south  
6 half of Section 17, the Hondo Drilling well, is one of the  
7 better producing wells in the field at a structurally lower  
8 position.

9 Q The closest standard location to the  
10 eastern boundary of Section 19, the dot to the left?

11 A Yes.

12 Q That's the one that is on structural  
13 strike with the Hondo Well, approximately?

14 A I'm sorry, repeat that, which --

15 Q Yes, sir, I'm trying to identify which  
16 of the two standard locations, or the two orange dots,  
17 you're referring to as we move up the contour line at the  
18 -7850 interval?

19 A Right.

20 Q And moving up, then, to the Hondo Well,  
21 which is shown at a -7862.

22 A Right.

23 Q Your conclusion is what, sir?

24 A That both locations are structurally --  
25 both nearest standard locations are structurally comparable

1 to the best well in the field.

2 Q Let me direct your attention now to the  
3 Lower Morrow productive zone in this immediate area. We've  
4 marked that as Exxon Exhibit Number Four.

5 Do we find any Lower Morrow producers in  
6 this immediate vicinity, Mr. Tate?

7 A In the mapped area, we do.

8 Q All right, and where do we find those  
9 wells?

10 A Three Morrow producers that are complet-  
11 ed in the Lower Morrow productive zone are noted with a  
12 green square and are located -- are located on the north-  
13 western or upthrown side of a fault that has been annotated  
14 on this map, which was based on the structure which was  
15 previously shown.

16 Q Do you concur with Mr. Maxey that for  
17 the Read & Stevens well at an unorthodox location, that  
18 there is no potential for Lower Morrow gas production in  
19 (unclear) spacing unit?

20 A Yes, I do.

21 Q Is there any relationship between how  
22 the map -- the contour is shown on Lower Morrow as compared  
23 to the Middle Morrow or the Upper Morrow?

24 A Yes, there is a relationship.

25 Q There is a relationship? What is that

1 relationship?

2           A           The relationship between the Lower Mor-  
3 row sand trends that have been developed in this area, both  
4 in this local area and in a regional area, are quite simi-  
5 lar to the trends that are well established in the Middle  
6 Morrow productive zone, which is highlighted on the type  
7 log.

8                       However, the Upper Morrow sandstones,  
9 sandstone zone, is indirectly related as far as -- as far  
10 as to the sandstone trend that is developed.

11           Q           Let's go to the Middle Morrow map, Mr.  
12 Tate. It's Exhibit Number Five. Would you identify and  
13 describe that exhibit for us?

14           A           Yes, I will.

15           Q           Exhibit Number Five is a gross sandstone  
16 isopach map of the Middle Morrow productive zone, which is  
17 highlighted again on the type log. The scale of this map  
18 is one inch equals 4000 feet; contour interval is 10 feet.

19                       What I've defined in this area is a  
20 northwest to southeast trend, dip oriented, channel trend  
21 that's well established in the Middle Morrow sands.

22                       In addition, based on this exhibit, Read  
23 & Stevens unorthodox well location cannot be justified  
24 based on this analysis. In fact, a standard location would  
25 be -- one of the two standard locations would be in a bet-

1 ter geologic position.

2                   Conversely, if the Read & Stevens Well  
3 does encounter reservoir sand, it is most likely that it  
4 will be draining those reserves from sands that are thick-  
5 er offsetting the (unclear).

6                   Q           Let me show you what was introduced by  
7 Read & Stevens as their four parts isopach, Exhibit Number  
8 Two. Here's a set of those for you, Mr. Tate.

9                   There appears to be a significant dif-  
10 ference between how Mr. Jackson has mapped those for Read &  
11 Stevens and how you have mapped the Middle Morrow for Ex-  
12 xon.

13                   A           Yes, there is.

14                   Q           What is the basis of difference between  
15 you and Mr. Jackson?

16                   A           The differences are that I've inter-  
17 preted the Middle Morrow sands as dip-oriented, or other-  
18 wise northwest to southeast trending channels, while Read &  
19 Stevens has interpreted these sands from southwest to  
20 northeast, as a southwest to northeast trend of marine  
21 influenced shoreline sands.

22                   Q           This is not the first opportunity you've  
23 had to see the geologic presentation of Read & Stevens with  
24 regards to their interpretation, is it?

25                   A           No, it is not.

1 Q You've seen it on previous occasions?

2 A Yes, I have.

3 Q Did you agree with it then?

4 A No, I didn't.

5 Q Do you agree with it now?

6 A No, I don't.

7 Q What's the basis for the difference in  
8 your believe that your opinion is correct?

9 A In comparing Read & Stevens' interpre-  
10 tation versus Exxon's geologic interpretation, it's my  
11 opinion that Exxon's geological interpretation is correct.  
12 My opinion is based on several facts.

13 First off, on this local scale mapped  
14 area, the sands in the Middle Morrow productive zone have  
15 characteristics which are shown indicative of the channel  
16 spill environment. They include basal and top contacts  
17 which are relatively sharp with the underlying and over-  
18 lying shale units. This has been exhibited, these char-  
19 acteristics have been exhibited in the wells in this local  
20 area.

21 In addition, within distinct sands  
22 within this mapped area, the log signatures showed general-  
23 ly a decreasing log character, which also is characteristic  
24 of a channel environment.

25 In map view, obviously, by the way I've

1 mapped it here, I've interpreted -- interpreted this as a  
2 channel environment based on the control, where I see re-  
3 latively thick sands developed in the northwestern portion  
4 of the area, the central area, and continuing down to the  
5 southeast portion, associated with no more producers both  
6 in the northwest trending to the southeast. I believe this  
7 strongly suggests that the environment is in fact a channel  
8 environment.

9 In order to truly get an understanding  
10 on the geology within the local area, and also -- you also  
11 must have a thorough understanding of the regional geologic  
12 trends established.

13 I've taken into account the exhibit that  
14 was presented earlier by Read & Stevens by A. D. James. I  
15 was well aware of that exhibit more than a year ago and I  
16 strongly disagree with that interpretation.

17 I've conducted a regional mapping pro-  
18 ject throughout the majority of Eddy County within the last  
19 year, both up dip and down dip of this local area.

20 I've seen the kind of characteristics  
21 which I've previously described that are observed in this  
22 area, the sharp contact. In addition, I've looked at cores  
23 in the regional area, also, which are strongly indicative  
24 of the channel environment.

25 My regional map trends both up dip and

1 down dip are established as northwest to southeast dip  
2 oriented channel system in this stratigraphic position.

3 Read & Stevens' interpretation again is  
4 southwest in this local area, which is southwest/northeast  
5 marine influenced shoreline sand. It is an environment in  
6 a sand trend which is well documented and established in  
7 this stratigraphic position 15 to 20 miles down dip to this  
8 area.

9 This productive shoreline sandstone  
10 trend in these Middle Morrow producing sands are prorated,  
11 the dominant producers are prorated in the South Carlsbad  
12 Morrow Field and the White City Morrow Field.

13 Therefore, my opinion is that the  
14 channel environment is the correct interpretation in this  
15 area, both looking at the local scale and the regional  
16 scale, which I have been the geologist involved in it.

17 Q Let me direct your attention to your map  
18 of the Upper Morrow. It's Exhibit Number Six, Mr. Tate.

19 Do you concur with Mr. Maxey that there  
20 is no potential for the Read & Stevens' spacing unit if  
21 they're drilling solely for the Upper Morrow potential?

22 A Based on my interpretation, yes, I do;  
23 however, if they would encounter any sand at the unorthodox  
24 location, it's obvious that the large proportion of that  
25 sand would be coming off Exxon's lease. To date the wells

1 that have encountered this particular sand in the Upper  
2 Morrow sandstone zone, the DC State No. 1 has encountered  
3 the thickest sand, 17 feet.

4 Q When we look at the wells immediately  
5 surrounding the Read & Stevens spacing unit, the east half,  
6 when we look to the west and find the Southland Royalty  
7 Scanlon Draw 19 State Com No. 1 Well --

8 A Yes.

9 Q -- do you have that one? You're fami-  
10 liar with that well, are you, sir?

11 A Yes.

12 Q You've included that as well information  
13 on several of your contour maps?

14 A Yes, I have.

15 Q Do you know, sir, whether or not that  
16 well was drill stem tested as Mr. Maxey has told us it was?

17 A According to the scout ticket as sup-  
18 plied by Petroleum Information the report is no cores or  
19 DST's.

20 Q What have you concluded from an examina-  
21 tion of the Southland Royalty Well in relation to the spac-  
22 ing unit in the east half of 19?

23 A My opinion is that the spacing unit in  
24 the east half of Section 19 is relatively marginal and --

25 Q Well, when you add in now the Coquina



1 Well in the southeast of 19, what does that tell you as a  
2 geologist?

3 A It tells me a large proportion of their  
4 spacing unit has already been condemned.

5 Q Have you attempted to quantify the  
6 amount of their spacing unit in the east half of 19 that  
7 is not going to contribute to the well?

8 A Based on observation of the exhibits  
9 that they have supplied to us, approximately one-half of  
10 their spacing unit appears to be nonprospective and pos-  
11 sibly even more.

12 Q Under your geologic opinion which of the  
13 individual isopachs that Mr. Maxey has provided shows the  
14 best potential as a standard location for the Read &  
15 Stevens acreage?

16 A The Exhibit entitled Net Sand Isopach  
17 Map Middle Morrow E Sand.

18 Q On the E Sand? And how does that com-  
19 pare to your mapping of the Middle Morrow production on  
20 Exhibit Five?

21 A My opinion is that they will encounter  
22 little if any sand at either an unorthodox location or a  
23 standard location.

24 Q Your opinions are diametrically opposed,  
25 are they not?

1           A           Yes, they are.

2           Q           Their best sand is the E Sand, is it?

3   I'm sorry --

4           A           Both, actually both the E Sand and the C  
5   Sand seem comparable at a standard location. I've looked  
6   at both of them and they both, based on their interpreta-  
7   tions expected to encounter approximately 5 feet each.

8           Q           Okay, and when you put all those zones  
9   together in the Middle Morrow, what do you conclude with  
10   regard to the east half of 19?

11          A           That it is nonprospective.

12                   MR. KELLAHIN: That concludes  
13   my examination of Mr. Tate, Mr. Catanach.

14                   We move the introduction of  
15   his Exhibits One through Six.

16                   MR. CATANACH: Exhibits One  
17   through Six will be admitted as evidence.

18                   Mr. Carr?

19

20                   CROSS EXAMINATION

21   BY MR. CARR:

22           Q           Mr. Tate, when you say your conclusion  
23   is that the east half of 19 is not prospective, what do you  
24   mean?

25          A           Based on the producing wells that are

1 highlighted on the Middle Morrow producing sand map the  
2 quantity of sand which I've interpreted to occur on the  
3 east half of Section 19 is between zero and 10 feet. The  
4 well in the south half of Section 19 covered only 4 feet  
5 and it was within this zone.

6 Therefore, it's quite obvious that the  
7 sand will be very thin. To date the thinnest sand that is  
8 producing from this Middle Morrow producing sand is 11  
9 feet, located in the south half of Section 20.

10 Q Was it your testimony that 50 percent of  
11 the east half of 19 was productive?

12 A That was -- that was based on Read &  
13 Stevens interpretation.

14 Q And that's not your interpretation.

15 A No, it is not.

16 Q It is not your recommendation, is it,  
17 that at either of the standard locations which you have  
18 indicated on these exhibits, that the chances would be  
19 great of making a successful well, is that right?

20 A Yes, it is.

21 Q Plus it is your testimony that you would  
22 not make a good well there.

23 A Yes.

24 Q All right. When did you first become  
25 involved on this project?

1 A On this specific project --

2 Q Uh-huh.

3 A -- I became involved at the inception of  
4 it, which was April 13th was the original hearing date. I  
5 prepared the exhibits prior to that time in association  
6 with the regional mapping efforts that I've conducted both  
7 up dip and down dip in the area.

8 Q Are the exhibits that you've presented  
9 here today the exhibits that you had prepared back in April  
10 for the hearing?

11 A Yes, they are.

12 Q And that's based on the regional mapping  
13 that you had done in the area.

14 A It's based on both the regional mapping  
15 --

16 Q And --

17 A -- it's based on all, looking at all of  
18 the available data.

19 Q And you've refined that data as it re-  
20 lated to this Turkey Track area, is that correct?

21 A I'm sorry, I don't understand.

22 Q When you were preparing exhibits for the  
23 April hearing, did you just lift parts of your regional map  
24 or did you refine that information and prepare it for pre-  
25 sentation in the hearing?

1 A I'm not quite sure what your point is.

2 Q Did you change --

3 A Sorry.

4 Q Did you change your interpretation in  
5 any way from the regional map?

6 A Oh, no. No, I did not.

7 Q So you just took these and these are  
8 parts of your regional mapping effort.

9 A Yes, they are.

10 Q And when did you do your regional map?

11 A I've been conducting that regional map-  
12 ping prior to that time and I've continued with it since  
13 that time.

14 Q Has it changed since that time?

15 A No, it has not.

16 Q There's been no new information?

17 A There've been no new drill wells in  
18 these areas.

19 Q When was the well in the north --

20 A In a regional sense, let me clarify  
21 that. Of course there are -- obviously, the activity --  
22 the activity, and this activity in the Morrow is -- i  
23 slow right now and there are additional drill wells; the  
24 opportunity arises that we might be able to pick a log, at  
25 which time incorporate that data into any regional map that

1 I drew.

2 Q But you haven't done that yet as it  
3 applies to these exhibits.

4 A There are no drill wells that have been  
5 drilled in this area.

6 Q When was the well in the northeast of 18  
7 drilled, do you know?

8 A The northeast of 18, it was completed in  
9 November of 1983.

10 Q And you drilled that through the Middle  
11 Morrow, is that correct?

12 A Oh, I'm sorry, the east half, you say,  
13 I'm sorry.

14 Q I'm talking about the east half of 18.

15 A Right, I'm sorry. That was completed in  
16 May of '82.

17 Q And that drilled through the Middle  
18 Morrow.

19 A It drilled through the entire Morrow  
20 section.

21 Q And it was a decision of Exxon at that  
22 time, long before you were there, not to complete the Mid-  
23 dle Morrow.

24 A Yes, it was.

25 Q And they completed in a shallower zone.

1           A           They completed it in the Upper Penn.

2           Q           Is it customary in your experience with  
3 Exxon for the shallower zones to be completed before the  
4 deeper zones, and they go back later to a deeper zone?

5           A           I've seen it happen. The reason -- I've  
6 contacted the geologist who was in charge of this well at  
7 the time and the reason was fairly obvious. First off, a  
8 weak gas market. Secondly, and more importantly, the Upper  
9 Penn had an initial production flowing of 531 barrels of  
10 oil per day.

11          Q           And that looked like a better zone,

12          A           Yes, it did, especially with an oil mar-  
13 ket that was more favorable than a gas market.

14          Q           Based on your testimony here today, I  
15 believe your testimony is, and correct me if I'm wrong,  
16 that you're concerned that a well at the proposed location  
17 would drain reserves from Exxon's tract in 18.

18          A           Yes, it would.

19          Q           And have you reviewed the information  
20 and data on the Hondo Well in the section -- I don't have a  
21 number -- Section 17, the south half of 17?

22          A           Be more specific on that (not clearly  
23 understood).

24          Q           Are you concerned about that well drain-  
25 ing reserves in the Middle Morrow from the Exxon tract?

1           A           I think it's possible but it's located  
2 at a standard location.

3           Q           The standard location, though, even at  
4 that, it could be draining reserves from you, could it not?

5           A           Yes, it could be.

6           Q           Did you review pressure information, and  
7 if I'm taking you into an engineering area, tell me.

8           A           Yes.

9           Q           Did you review pressure information on  
10 the well in the north half of Section 17?

11          A           No, I did not.

12          Q           So you wouldn't know if there was a  
13 pressure drawdown or a depletion in the well in the north  
14 half of the section.

15          A           No, I would not, but the well on the  
16 north half of Section 17 is -- seems to be a pretty good  
17 well to date. It was completed in '84 and it's still pro-  
18 ducing at a pretty good rate. It's producing at essential-  
19 ly the same rate as the Hondo Well is.

20          Q           Is there going to be an engineering wit-  
21 ness who might be familiar with the pressure data on that  
22 well?

23          A           There will be an engineering witness  
24 called, yes.

25          Q           And when the -- have you been present at



1 the meetings with Read & Stevens in an effort to try and  
2 resolve this dispute without coming to hearing?

3 A My belief is that most of the meetings  
4 have been phone conversations.

5 Q And you were not a party to those?

6 A I am aware of the majority of them. I  
7 probably was not in the room at the time, except on cer-  
8 tain instances.

9 Q You are aware there has been on-going  
10 efforts for over -- well, since April of this year to try  
11 and resolve this matter?

12 A Yes, I am.

13 Q Have you done any independent mapping of  
14 the individual sand stringers or have you just done this  
15 gross isopachous map?

16 A The gross sandstone map is mapped. It  
17 is, again, as stated by your witness, also, the entire  
18 package of sands were completed, and it's (not clearly un-  
19 derstood) and how it's been mapped.

20 MR. CARR: I have no further  
21 questions.

22 MR. CATANACH: Any redirect?

23 MR. KELLAHIN: No further  
24 questions, Mr Catanach.

25 MR. CATANACH: Any questions,

1 Mr. Carroll?

2 MR. CARROLL: No, Your Honor.  
3 I don't have any, Mr. Examiner.

4 MR. CATANACH: I don't have  
5 any questions. The witness may be excused.

6  
7 GARY GOULD,  
8 being called as a witness and being duly sworn upon his  
9 oath, testified as follows, to-wit:

10  
11 DIRECT EXAMINATION

12 BY MR. KELLAHIN:

13 Q Will you please state your name and oc-  
14 cupation?

15 A My name is Gary Gould. I'm a petroleum  
16 engineer.

17 Q Mr. Gould, have you previously testified  
18 before the Oil Conservation Division of New Mexico?

19 A No, I have not.

20 Q Would you summarize for us what has been  
21 your educational background?

22 A I obtained a petroleum engineering de-  
23 gree from the University of Kansas in 1987.

24 Q Subsequent to graduation would you sum-  
25 marize for us, Mr. Gould, what has been your employment ex-

1 perience as an engineer?

2 A Subsequent to graduation I've been  
3 working for Exxon Company USA in Midland, so that would be  
4 a year and two months experience.

5 Prior to that I worked two summers, one  
6 summer for ARCO Oil & Gas and another for ARCO Alaska.

7 Q Are you familiar with the engineering  
8 aspects of certain of the wells in the immediate area  
9 that's under discussion this morning?

10 A Yes, I am.

11 Q Are you also familiar with the recent  
12 Division order in Case 9407, which was Order No. R-8724?  
13 That was a Nearburg Producing Company order?

14 A Yes, I am.

15 Q Have you made a study of the calculated  
16 absolute open flows and the deliverabilities of the various  
17 wells in this immediate area?

18 A Yes, I have.

19 Q And do you have conclusions and recom-  
20 mendations to the Examiner for a penalty to impose upon the  
21 Read & Stevens Well?

22 A Yes.

23 MR. KELLAHIN: Mr. Examiner,  
24 we tender Mr. Gould as an expert petroleum engineer.

25 MR. CATANACH: He is so qual-

1     ified.

2                   Q           Mr. Gould, to begin your presentation,  
3     let me start with Exhibit Number Seven and have you de-  
4     scribe, using that display, what you began to study when  
5     you were asked to make a presentation at today's hearing.

6                   A           Yes. Exhibit Number Seven shows a pro-  
7     ration unit map.

8                               The blue dot shows the proposed Read &  
9     Stevens unorthodox Morrow location. You will note that  
10    it's 660 feet from the end location, from the end boundary,  
11    and from our lease.

12                              The two orange dots show the nearest  
13    standard locations for the proposed Read & Stevens Morrow  
14    well, and they are 1,980 from the end boundary.

15                   Q           In examining how to go about establish-  
16    ing a penalty for the Read & Stevens well, did you come up  
17    with a recommendation as to the various factors that ought  
18    to be included in that penalty formula?

19                   A           Yes.

20                   Q           What factors did you agree upon and pro-  
21    pose to the Examiner this morning?

22                   A           I believe that two factors should be in-  
23    cluded.

24                              One should be a distance factor as ap-  
25    plied in the previous order, and also a production limita-

1       tion factor to control the allowable, since this is a non-  
2       prorated gas pool.

3               Q               Let's turn to Exhibit Eight at this  
4       point, Mr. Gould, and discuss the distance factor portion  
5       of the penalty formula. What are you proposing to do?

6               A               For a distance factor, as I said ear-  
7       lier, the actual distance being a boundary of 660 feet; the  
8       legal distance is 1,980 feet; therefore the actual distance  
9       is 67 percent closer to the end boundary than permitted by  
10      OCD rules and regulations.

11                               Therefore I'm proposing a distance fac-  
12      tor of 33 percent and this is consistent with the Commis-  
13      sion Order R-8508 on September 9th, 1987, and it was also  
14      plotted more recently in Division Order R-8724 on August  
15      23rd, 1988.

16               Q               In addition to the distance factor, the  
17      other factor you mentioned was an allowable factor or a  
18      method by which you could establish an allowable against  
19      which you then would apply the distance factor.

20               A               That is right.

21               Q               All right. In reviewing the recent Div-  
22      ision orders, how has the Division handled the establish-  
23      ment of an allowable, if you will, in a nonprorated gas  
24      pool such as this?

25               A               The Commission, in Order R-5832, pre-

1       sented special rules for applying a penalty factor.

2                   Q           Have you reviewed those rules?

3                   A           Yes, I have.

4                   Q           Do you have any specific recommendations  
5       to the Examiner as to other changes in the rules as they  
6       have been issued in the past?

7                   A           One rule is to look -- to take one day  
8       of production to fix the deliverability, and I believe that  
9       we should change that rule and look at a three consequent  
10      day average so that the well could not be prepared before-  
11      hand to artificially have a high deliverability.

12                  Q           Once we complete the well and get the  
13      deliverabilities on the well, do you have a recommendation  
14      as to how the Examiner will then determine the allocation  
15      or the allowable factor for the penalty?

16                  A           Yes, I do.

17                  Q           Let me turn your attention to Exhibit  
18      Number Nine. Would you identify and describe Exhibit Num-  
19      ber Nine for us, Mr. Gould?

20                  A           Exhibit Number Nine shows the 10 Morrow  
21      wells surrounding the proposed unorthodox location. It  
22      shows the completion dates, CAOF, initial production date,  
23      and their actual deliverability.

24                               And what I'm attempting to show is if  
25      you look at the bottom line, the average of the CAOFs

1 matches the deliverabilities. You'll note that actual de-  
2 liverability is roughly about one-third of the CAOOF, aver-  
3 age CAOOF.

4 Q Would it be appropriate, in your opinion  
5 as an engineer to simply take the distance factor penalty  
6 and apply it against the calculated absolute open flow for  
7 the well?

8 A No. If you did that, as you see, if you  
9 take a distance penalty of 67 percent and apply it to the  
10 CAOOF, the well would be at its actual deliver -- capable of  
11 deliverability, anyway.

12 Q And would not, therefore, be subject to  
13 an actual penalty.

14 A Right.

15 Q How have you proposed, if we use the  
16 CAOOF as the allowable, if you will, how do you propose to  
17 handle the penalty factor so that we could utilize the CAOOF  
18 as a portion of the penalty?

19 A If we use the CAOOF, we need to multiply  
20 by a production factor of roughly one-third, as attained  
21 from the average actual deliverabilities compared to the  
22 average CAOOF shown here, and also apply the one-third fac-  
23 tor determined from the distance factor.

24 Q In addition, have you a recommendation  
25 to the Examiner as to how he might apply the distance fac-

1 tor against the average deliverability, as shown on Exhibit  
2 Number Nine?

3 A Against the average?

4 Q Yes, sir.

5 A If you were to use the actual deliver-  
6 ability you could multiply just by the one-third of the  
7 distance factor.

8 Q It would be your recommendation, then,  
9 that a portion of the penalty include the actual deliver-  
10 ability of the well?

11 A Yes.

12 Q And you have shown the actual deliver-  
13 abilities of the various offsetting wells in the column to  
14 the right on Exhibit Number Nine?

15 A That's correct.

16 Q And would a penalty as you propose be  
17 one that's consistent with the way the Division entered the  
18 order in the Nearburg case?

19 A Yes, it would.

20 Q You've heard Mr. Maxey talk this morning  
21 about a minimum allowable --

22 A Yes.

23 Q -- by which he proposed that notwith-  
24 standing the fact the Hondo Well is currently at a deliver-  
25 ability of 600 MCF a day, he would propose that any penalty



1 on the Read & Stevens well drop off at 500 MCF a day.

2 A Right.

3 Q Do you have any comments and observa-  
4 tions about that proposal?

5 A It seems that that would be unfair for  
6 the Hondo location. Since the Hondo location is at a stand-  
7 ard location, that it would be producing at the same rate  
8 as the Read & Stevens well, which is at an unorthodox loca-  
9 tion.

10 Q In summary, then, Mr. Gould, what is  
11 your opinion and recommendation as an engineer with regards  
12 to the penalty factor to be assessed the Read & Stevens  
13 Well?

14 A If we are to apply a penalty factor and  
15 allow the unorthodox location, I feel that we should take  
16 into consideration -- we take into consideration the CAOF  
17 and we should multiply that by a production limitation  
18 factor of 19. If you want to take into consideration just  
19 the actual deliverability into the pipeline, it should be  
20 multiplied by the distance factor of one-third.

21 MR. KELLAHIN: That concludes  
22 my presentation of Mr. Gould's testimony.

23 We move the introduction of  
24 Exhibits Seven, Eight and Nine.

25 MR. CATANACH: Exhibits Seven,

1 Eight and Nine will be admitted as evidence.

2 Mr. Carr?

3  
4 CROSS EXAMINATION

5 BY MR. CARR:

6 Q Mr. Gould, you indicated there were a  
7 couple of ways to go about applying this penalty.

8 A Right.

9 Q Do you have a preference as to which one  
10 would --

11 A No, I do not.

12 Q -- be more accurate?

13 A I'm leaving that up to the Examiner.

14 Q Do you think that going with a calcula-  
15 tion based on the calculated absolute open flow is a pre-  
16 ferable way to go as opposed to the actual deliverability  
17 of the well?

18 A I'm leaving that up to the Examiner.

19 Q You don't have a preference?

20 A No, I do not.

21 Q So actual deliverability is one option?

22 A That's correct.

23 MR. CARR: That's all I have.

24 MR. CARROLL: No questions.

25 MR. CATANACH: The witness may

1 be excused.

2 MR. CARROLL: Mr. Catanach, I  
3 have one witness to present.

4 MR. CATANACH; Okay, fine.

5 MR. CARROLL: It will be very  
6 brief, and that witness will be Mr. Lamb.

7  
8 N. RAYMOND LAMB,  
9 being called as a witness and being duly sworn upon his  
10 oath, testified as follows, to-wit:

11  
12 DIRECT EXAMINATION

13 BY MR. CARROLL:

14 Q Mr. Lamb, for the record would you state  
15 your name and occupation?

16 A N. Raymond Lamb. I'm a consulting geo-  
17 logical engineer.

18 Q Mr. Lamb, you reside in Artesia, New  
19 Mexico, do you not?

20 A That's correct.

21 Q And you have testified numerous times  
22 before this Commission over a long span of years, have you  
23 not?

24 A I have.

25 MR. CARROLL: I would tender

1 Mr. Lamb as an expert.

2 MR. CATANACH: He is so qual-  
3 ified.

4 Q Mr. Lamb, you were present and did hear  
5 the testimony of the expert for Read & Stevens, Mr. Maxey,  
6 did you not?

7 A That's right.

8 Q And you did have an occasion to review  
9 his Exhibit Two, which I'll hand you a copy of it, which  
10 was his geological interpretation for the Middle Morrow  
11 sands in this -- under the -- the east half of Section 19,  
12 is that correct?

13 A That's correct.

14 Q Now, a basic conclusion of Mr. Maxey,  
15 based on the Exhibit Two, was it not, was that Read &  
16 Stevens does not have a viable orthodox location. Was that  
17 Mr. Maxey's conclusion?

18 A Yes.

19 Q Mr. Graham -- Lamb, do you agree with  
20 that interpretation?

21 A Not entirely, no.

22 Q Mr. Lamb, have you had occasion to work  
23 in this particular area?

24 A As a matter of fact I drilled both Hondo  
25 wells in Section 17.

1 Q All right, and those are the wells that  
2 we've been talking about, is it not, throughout most of  
3 this hearing today?

4 A The Exxon was a dry hole and the Union  
5 was the first producer discovery well.

6 Q All right. Now you have prepared some  
7 exhibits, have you not, for this -- this hearing?

8 A I have.

9 Q I'm going to -- I have handed you, Mr.  
10 Lamb, two exhibits, one marked Hondo Exhibit Number One and  
11 the other one marked Hondo Exhibit No. Two.

12 A Yes.

13 Q Were these exhibits prepared by yourself  
14 in preparation for today's hearing?

15 A They were prepared by me and from file  
16 data, statistical in the way of production and PI scout  
17 cards.

18 Q All right.

19 MR. CARROLL: Mr. Examiner, we  
20 did not realize when we were preparing for this hearing  
21 that the scout cards would contain information that might  
22 be useful. I do not have copies of them. Mr. Lamb wants  
23 to use them in his presentation here.

24 If you would allow us, we will  
25 make copies of them and present them as an exhibit later,

1 if there's no objection.

2 MR. CATANACH: That will be  
3 fine.

4 Q Mr. Lamb, I'm going to hand you those  
5 scout cards.

6 Now, Mr. Lamb, you've told us that you  
7 do not totally agree with Read & Stevens interpretation, is  
8 that correct?

9 A That's correct.

10 Q And the exhibits that we now have before  
11 you, Exhibit One, Two, and the scout cards, which will be-  
12 come Exhibit Three, do you -- are those what you use to  
13 form your basis of your disagreement?

14 A This is partial -- part of the informa-  
15 tion that I have; actually, the basic information.

16 Q All right. Would you please tell us  
17 what -- how you disagree with the interpretation that's  
18 been presented by Read & Stevens, and the basis therefor?

19 A Well, the first well that comes to my  
20 mind is the well in 18, which is the Southland Royalty.  
21 They call it the Scanlon Draw 19-1 -- excuse me, in Section  
22 19. It was completed in 1985. I believe the information  
23 so far has been no drill stem tests on the well, but as I  
24 read from the card, it says, "Perforated Morrow east,  
25 11,238 feet to 48 feet; 11,262 to 272'" and the perforating

1 of this zone required the company to set 5-1/2 inch casing  
2 at 11,348 feet.

3 What I'm saying is that Southland Royal-  
4 ty, in the drilling of this well saw enough data in the  
5 well on the logs to justify the running of the casing. So  
6 I don't feel that a zero thickness is justified for this  
7 well.

8 Q This is what has been depicted on these  
9 Exhibits Number Two presented by Read & Stevens.

10 A And I feel that opens up the extension  
11 or projection of the sand development in that direction.

12 Q And that would, in effect, make viable,  
13 then, standard or orthodox locations?

14 A Yeah, instead of being carried zero, I  
15 suspect that there is some justification for sand being  
16 there in that they did run pipe and perforate.

17 The second well is the Coquina Well.  
18 It's also in Section 19. It's 1980 from the south and  
19 east; a drill stem test in the Morrow from 11,100 feet to  
20 234 feet; gas to the surface in 35 minutes; 137 MCF a day,  
21 and no recovery of fluid. The shut-in, final shut-in pres-  
22 sure was 4565 pounds.

23 A second drill stem test from 11,284 to  
24 314, was open 2 hours and 15 minutes, gas to the surface in  
25 3 minutes, volume, 3,600,000 cubic feet a day.

1                   And the final shut-in pressure on that  
2 was 4580. As -- I do not have the reliable information  
3 from Coquina's files, but I suspect that they had the sand,  
4 they had it containing gas, and I suspect they had a limit-  
5 ed reservoir.

6                   But the sand is there and it contains  
7 oil.

8                   Q           That information would also disagree  
9 with the mapping that has been done in Exhibit Two, is that  
10 correct?

11                  A           It would open the contour to the south,  
12 which is a zero contour, and give an opening for an ortho-  
13 dox location on that tract.

14                  Q           All right. Is there anything else with  
15 respect to these exhibits that you would like to --

16                  A           Yes. I'd like to talk about the Hondo  
17 Union TX No. 1 and the Southland Royalty Parkway No. 17  
18 Com.

19                               The TX Union was the first well in the  
20 are to produce. It was drilled in 1974. The bottom hole  
21 pressure on the zone was 4,657 pounds. It produced  
22 2,876,000 cubic feet a day. The cumulative production now  
23 is over 3,336,000 cubic feet.

24                               The Coquina Well -- no, excuse me.

25                               The Hondo Well to the north in the same



1 section had a bottom hole pressure of 4555.

2 When the Southland Royalty Well, the  
3 Parkway 17, was drilled in '84, it encountered the Morrow.  
4 The shut-in bottom hole pressure was 2,232 pounds. The  
5 potential was 1,160,000 cubic feet of gas a day, and what  
6 I'm saying is that obviously the Southland Royalty had a  
7 drawdown in pressure from the production from the Union.

8 One other thing happened, when Southland  
9 Royalty perforated and fraced that well, we felt a response  
10 in our well and the Union, which would give you a feeling  
11 of some communication.

12 That is the data that I think needs to  
13 be inserted in the data bank of this hearing.

14 I would suggest that Read & Stevens has  
15 a legal location other than the unorthodox they propose.  
16 If the unorthodox location is allowed, Hondo Drilling Com-  
17 pany would object. I'd rather see them drill an orthodox  
18 location, but if it were permitted to be drilled, we would  
19 want to be advised on any acid treatment in excess of 5000  
20 gallons and any frac job over 15,000 pounds. And this  
21 would be because of our experience from the Southland Park-  
22 way 17.

23 The other exhibit is a map presentation  
24 of the data that was found on the original tabulation and  
25 gives you all the pressures that I know.

1           Q           Mr. Lamb, you have, and just then in  
2 your testimony, stated that one, Hondo basically opposes  
3 the drilling at an unorthodox location and if the Commis-  
4 sion did allow such a drilling that it would propose that a  
5 penalty be imposed upon that production from that well.

6                   Mr. Lamb, based -- in an effort to pro-  
7 tect the correlative rights and prevent waste and with  
8 respect to this particular area, do you feel that this  
9 opinion that you have just expressed is necessary to pro-  
10 tect the correlative rights of Hondo Drilling?

11           A           Yes. There's one other, if I may say,  
12 there's one other item I would like to clarify.

13                   On the plats that I have seen the pro-  
14 duction from the Hondo Union have been shown incorrectly on  
15 both sets of reports. The well has basically been shut in  
16 for 26 months with only 74-million produced over that per-  
17 iod at an erratic timing.

18                   The Southland Royalty Well in 17, the  
19 Parkway 17, has produced six times as much gas as the Union  
20 TX in the last 26 months, and that doesn't quite correspond  
21 to what I see on the maps here.

22           Q           Mr. Lamb, you have heard today, have you  
23 not, the -- several penalties being proposed by the various  
24 witnesses? Do you have an opinion to express to the -- to  
25 the Examiner with respect to what kind of penalty should be

1 imposed if this well is allowed to be drilled in an unor-  
2 thodox location?

3 A Well, at the 660 location proposed, I  
4 would suggest at least 50 percent.

5 MR. CARROLL: I have no other  
6 questions to ask this witness.

7 MR. CATANACH: Mr. Carr.

8

9

CROSS EXAMINATION

10 BY MR. CARR:

11 Q Mr. Lamb, you testified that you felt  
12 Read & Stevens had a legal location in the east half of 19.

13 A That's right.

14 Q In saying that, did you mean they had a  
15 legal location where in your opinion they could complete a  
16 well?

17 A Right.

18 Q If that's your opinion, I would assume  
19 that you concur that at least half of that section has po-  
20 tentially commercial reserves underlying.

21 A Well, I have to believe that the Coquina  
22 Well showing that much gas on a test has got to be in close  
23 proximity to the reserve. Now, if not in that well, but  
24 you find very few wells that will produce 3,600,000 on a  
25 drill stem test that isn't close to a reservoir.

1 Q And in what interval was that drill stem  
2 test run, do you know? Was it the Lower Morrow or the  
3 Middle Morrow?

4 A Well, they ran two, you remember, I read  
5 two.

6 Q Well, I'm not --

7 A The upper one made 137,000 cubic feet  
8 and that was from 11,100 to 34, and the other one was from  
9 11,284 to 314.

10 Q Now, Mr. Lamb, before you talked about  
11 this Coquina Well you talked about a Southland Royalty Com-  
12 pany well and you indicated that there was enough of a show  
13 that they set casing.

14 A That's right.

15 Q Was that show in the Middle Morrow or in  
16 the Lower Morrow, do you know?

17 A Well, I -- I don't have that. I really  
18 --

19 Q So it might be in the Lower Morrow?

20 A Yes, yes. But they -- they felt enough  
21 of the zone that they had to run casing, perforate it, and  
22 test it. They did show any test, but I wanted it clear  
23 that this perforation job took place.

24 Q Now, what was the initial shut-in tubing  
25 pressure of the Hondo Drilling Union Texas State Com No. 1?

1                   A           Well, I -- I can give you the bottom  
2 hole pressure.

3                   Q           Okay, that would be fine.

4                   A           4657.

5                   Q           And then a comparable pressure on the  
6 Southland Royalty Parkway 17, do you have that?

7                   A           Was 2232.

8                   Q           So over the course -- and that was how  
9 many years later?

10                  A           Ten years.

11                  Q           So there was a pressure drawdown that  
12 could be attributed to the -- the Hondo Union Texas No. 1.

13                  A           I would suspect that's true.

14                  Q           But I think you testified that the  
15 Southland well north of that has produced substantial vol-  
16 umes, in fact, more than the -- the original well. Is that  
17 correct?

18                  A           Southland Royalty?

19                  Q           Yes.

20                  A           Mr. Carr, I'm referring to the last 26  
21 months.

22                  Q           All right, but there --

23                  A           They -- Hondo has produced 78-million in  
24 that period of time and the southwest -- I mean Southland  
25 Royalty has produced 4,700-and some odd thousand.

1           Q           In your experience with working with  
2 these sands, it is possible, then, for wells to drain  
3 fairly large areas. Isn't that fair to say?

4           A           Well, let me modify that a little. They  
5 can drain considerable acreage in the channel but we don't  
6 know the direction of the channel or the size of the well  
7 (unclear).

8           Q           And just the channel that is present in  
9 the Hondo Union Texas State Com No. 1, the southernmost  
10 well --

11          A           Yeah.

12          Q           -- in 17, if that channel extends off to  
13 the south and the west, it would be draining that direction  
14 also.

15          A           Yes.

16          Q           And it would be draining off to the  
17 west, if it goes that direction.

18          A           Yes.

19                       MR. CARR: That's all I have.  
20 Thank you, Mr. Lamb.

21                       MR. CATANACH: Anything fur-  
22 ther of this witness? If not, he may be excused.

23                       MR. CARROLL: That concludes  
24 the evidence that I have.

25                       MR. CATANACH: Do counsel wish

1 to make brief closing statements at this time?

2 MR. CARROLL: Mr. Catanach, if  
3 I could, I would move admission of the two exhibits I have  
4 presented and the third one, which I will get to you as  
5 soon as I return.

6 MR. CATANACH: Okay, Exhibits  
7 One, Two and Three will be admitted as evidence in this  
8 case.

9 MR. KELLAHIN: Mr. Catanach,  
10 the applicant has not done it's homework and the case ought  
11 to be denied.

12 It's not often that I suggest  
13 to you that an unorthodox location simply be denied. We  
14 have fussed for years about intricate and complex penalties  
15 on which to somehow balance the equities between someone  
16 that wants to have an unorthodox location as opposed to  
17 operators that already have wellbores in the ground and  
18 cannot move them in order to compensate for the drainage  
19 that the applicant seeking the unorthodox location is going  
20 to achieve.

21 But in this case the applicant  
22 simply has not provided you with sufficient data to even  
23 approve the application.

24 We've attempted to find out  
25 from Mr. Maxey what it is that he believes can be produced

1 underneath the east half of 19, and he gave us a gas in  
2 place number of 2.7 BCF, but under examination we find that  
3 in order to give that quantity of gas in place, he's got to  
4 take it outside of his spacing unit. He could not give the  
5 gas inplace calculation for what he says is the remaining  
6 portion of productive acreage in the east half of 19.

7 Yet he wants you to approve  
8 the application and give him a one-third penalty, notwith-  
9 standing the fact that he's admitted to us that 50 percent  
10 of his spacing unit is not going to contribute productive  
11 acreage to that spacing unit.

12 In addition he says take that  
13 penalty and divide if further by considering the fact that  
14 I'm at a standard location from the east boundary and by  
15 mathematical magic what ought to be a significant penalty  
16 is then reduced to a third, which is meaningless in this  
17 case, particularly in light of the fact that Mr. Maxey  
18 proposed the penalties to drop off when the well produces  
19 at half a million a day, or less.

20 Contrast that, if you will, to  
21 what happens to Mr. Lamb in the Hondo Well, which is cur-  
22 rently producing at 600,000 a day. The penalty is no pen-  
23 alty at all; it's a meaningless gesture.

24 That ought not to be the way  
25 we do things around here.



1                   And what are you going to de-  
2     cide it on? You're going to decide it on geology. That's  
3     where Mr. Maxey says he's gotten the basis upon making his  
4     calculations. He's got it based upon some geology.

5                   Where is Mr. Jackson (sic)?  
6     He's the guy that did the work. He's not here to ask  
7     questions about his geology. He's not even here to defend  
8     his own work. The only geologists you saw today were the  
9     Exxon geologist, Mr. Tate, and Mr. Lamb. They're here to  
10    stand behind their work and Mr. Tate tells you in no un-  
11    equivocal terms that he diametrically opposed to the inter-  
12    pretation of this absent witness.

13                  I think if there's a case that  
14    begs you to deny it, it is this case. The facts are, as I  
15    think Mr. Tate has told you, geologically the closest stan-  
16    dard locations are geologically acceptable and therefore  
17    the unorthodox location is not needed.

18                  But we've seen from the only  
19    witness the applicant has given, from his own mouth, he's  
20    the one that tells us he only has 50 percent of this spac-  
21    ing unit that's productive, and yet he's not factored that  
22    into his penalty.

23                  It seems totally inappro-  
24    priate to me, Mr. Chairman, to allow this applicant to gain  
25    this type of unfair advantage over the offsets without

1 denying the case.

2                   If you decide, however, not to  
3 deny it and to impose a penalty, we would suggest that you  
4 can follow in general the format utilized by the Division  
5 in the Nearburg case. That was a recent case which you de-  
6 cided, Mr. Examiner, and which has built into it some com-  
7 fort for the offset operators, and the comfort factor is  
8 that the penalty is applied against the realistic allow-  
9 able. In a nonprorated gas pool we have to utilize some  
10 method by which we make the penalty meaningful. We have  
11 suggested that you continue to utilize the process you did  
12 in the Nearburg order, which is you give them a certain  
13 portion of the calculated absolute open flow of the well.  
14 In this case Mr. Gould says it's one-ninth of that number,  
15 or you give them the deliverability of their well, which is  
16 one-third of that number, as the penalty.

17                   The combination of those two  
18 things, allowing the well to produce whichever is less  
19 under that penalty, is one that at least slows down the  
20 drainage that the Read & Stevens Well is going to extract  
21 and place upon the offsetting acreage and give us a chance,  
22 then, to try to avoid that drainage with some counter-  
23 drainage in our section.

24                   But in conclusion, Mr. Cata-  
25 nach, we believe that this particular applicant in this

1 case has not bothered to give you a geologic basis for an  
2 opinion, not is there engineering work done to a sufficient  
3 degree of certainty that you can be even comfortable as to  
4 what portion of this BCF number Mr. Maxey has given us,  
5 that tells you what's underneath this tract.

6 His economics area based upon  
7 the 2.7 number and he tells us even at that it's a marginal  
8 deal.

9 I think the applicant will  
10 thank us for saving him from the expense of making a bad  
11 investment. Let's deny this thing and let him go out and  
12 find some other prospect that is more profitable to him and  
13 is less injurious to us.

14 MR. CATANACH: Mr. Carroll,  
15 anything?

16 MR. CARROLL: Mr. Examiner, I  
17 think Mr. Kellahin has adequately stated the case of both  
18 of us opposing the granting of this application.

19 MR. CATANACH: Mr. Carr?

20 MR. CARR: May it please the  
21 Examiner, Read and Stevens is before you seeking approval  
22 of an unorthodox well location in the Morrow formation.

23 We are the owners of the east  
24 half of Section 19, which we believe has been clearly es-  
25 tablished to you by the record in this case to be more than

1 50 percent capable of producing -- producing commercial  
2 reserves in the Morrow.

3 Mr. Kellahin wants to attack the absence  
4 of geological testimony and then he turns around and in the  
5 same breath cites Mr. Lamb. Mr. Lamb a few minutes ago  
6 testified about the Coquina Well concluded more than 50  
7 percent of that spacing unit is capable of commercial pro-  
8 duction.

9 Mr. Kellahin wants to select and choose,  
10 however, and come in here and attack the presentation of  
11 Mr. Maxey, a presentation which he didn't attach on cross  
12 examination. He didn't pursue or object to Mr. Maxey's  
13 reliance on work that he had verified prepared by in-house  
14 geologists. He wants to wait until after the fact and  
15 attach it now, because if he'd attacked it earlier, his  
16 attack would have amounted to nothing at all.

17 So first of all, we have a tract that we  
18 believe has got at least 50 percent of it underlain with  
19 commercial production in the Morrow formation.

20 We have prepared for you and presented  
21 to you a case which clearly entitles us to be able to go  
22 forward and develop these reserves. We submitted to you  
23 not information that was prepared and lifted from other  
24 studies for the purpose of this hearing, we're presented to  
25 you the very data which was prepared in-house upon which

1 the decision was made to buy this property in the first  
2 place. It wasn't something contrived for you; it's some-  
3 thing that we made a business decision on and we submit to  
4 you that it's accurate.

5 All we are here seeking is our  
6 share and when we have a tract that has got 50 percent of  
7 it with commercial Morrow production under it, we think  
8 we're entitled to forward.

9 But we go to Exxon and Exxon  
10 says no. We've tried since April to work out a deal and  
11 Exxon says no.

12 It would be easy, perhaps, to  
13 understand why they were saying no if they were doing any-  
14 thing to protect their own correlative rights in the Mor-  
15 row, except they're not. They're asking you to do it in-  
16 stead. They say, well, we're going to bank that. Don't  
17 let anybody else drain it. Don't let anybody offsetting us  
18 develop it. Some day we may come back to it.

19 I submit to you that correla-  
20 tive rights is an opportunity to produce your fair share  
21 and that requires that the operator do something to protect  
22 their correlative rights, to develop reserves, other than  
23 coming to you and just saying no.

24 We might even understand this  
25 attitude of just saying no a little bit better if they

1 weren't sitting there being pressure depleted by the Hondo  
2 Well, but this is a valuable resource they want to lock up  
3 -- they want you to lock up, but it's not valuable enough  
4 to go after and produce now. The way they want to save it  
5 is tell us, don't produce that which is yours.

6 Hondo is in a different posi-  
7 tion. They have developed their acreage. They stand with  
8 a well offsetting that's produced 3.5 BCF of gas; there's  
9 been substantial pressure depletion because of it, and be-  
10 cause of the production from this in the Southland Well  
11 over the last 14 years.

12 We're encroaching in that  
13 direction and because of that we have told you, a penalty  
14 is appropriate but it's time to make a penalty realistic,  
15 and we think generally the approach of the Nearburg order  
16 is correct. Look at how much we're encroaching and when  
17 you do that, you see that we are a third too close to the  
18 offsetting property. Now calculated absolute open flows  
19 may or may not be what the Commission wants to do, but I  
20 submit to you, when you look at Exhibit Number Nine and you  
21 see calculated open flows, that some are substantially  
22 above what the deliverability was and others are below the  
23 deliverability actually worked out to be. That's probably  
24 not the way to go, and we propose that you take the amount  
25 of encroachment on an acreage basis and apply it against

1 not somebody else's well or what something else may be, but  
2 on the actual deliverability of the well that we are going  
3 to drill based on annual deliverability tests.

4 We think that's fair. We  
5 think it's a meaningful figure. We think it imposes a pen-  
6 alty which, in fact, will let us develop and at the same  
7 time keep us in a position from impairing their correlative  
8 rights if they decide to avail themselves of their oppor-  
9 tunity and go out there and try and produce their gas.

10 We also think that you should  
11 follow the Nearburg order format and set a minimum produc-  
12 ing rate because if you don't do that, the economics are  
13 such that we will probably not be able to develop this  
14 acreage and the reserves that are there will be lost.  
15 That's waste. We won't get our fair share. That impairs  
16 correlative rights, and unless you approve the application,  
17 penalize it only a third, and set a minimum producing rate  
18 of 500 a day, I submit you won't have carried out your  
19 statutory responsibilities.

20 MR, CATANACH: Thank you, Mr.  
21 Carr.

22 Anything further in this case?  
23 If not, it will be taken under  
24 advisement.

25 (Hearing concluded.)

## C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true and correct record  
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9500  
heard by me on October 12 1988.

David R. Culbert, Examiner  
Oil Conservation Division