

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

EXAMINER HEARING

IN THE MATTER OF:

Application of Yates Petroleum      Case 9869  
Corporation for compulsory  
pooling, Eddy County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE:    MICHAEL E. STOGNER, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

February 21, 1990

**ORIGINAL**

CUMBRE COURT REPORTING  
(505) 984-2244

## A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico

FOR THE APPLICANT: FISK & VANDIVER  
Attorneys at Law  
Seventh & Mahone/Suite E  
Artesia, New Mexico 88210  
BY: DAVID R. VANDIVER, ESQ.

## I N D E X

	Page Number
Appearances	2
CY COWAN	
Direct Examination by Mr. Vandiver	4
RAY BECK	
Direct Examination by Mr. Vandiver	23
Cross-Examination by Hearing Examiner	33
DAVID BONEAU	
Direct Examination by Mr. Vandiver	35
Certificate of Reporter	49

## E X H I B I T S

Exhibit No. 1	6
Exhibit No. 2	8
Exhibit No. 3	9
Exhibit No. 4	20
Exhibit No. 5	22
Exhibit No. 6	25
Exhibit No. 7	29
Exhibit No. 8	31
Exhibit No. 9	36
Exhibit No. 10	38
Exhibit No. 11	38
Exhibit No. 12	41
Exhibit No. 13	41
Exhibit No. 14	44
Exhibit No. 15	45

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

HEARING EXAMINER: This hearing will come to order. Call next case, No. 9869, which is the application of Yates Petroleum Corporation for compulsory pooling, Eddy County, New Mexico.

At this time I'll call for appearances.

MR. VANDIVER: Mr. Examiner, I'm David Vandiver of the firm of Fisk and Vandiver in Artesia, appearing on behalf of the Applicant, Yates Petroleum Corporation, and I have three witnesses to be sworn.

HEARING EXAMINER: Are there any other appearances? There being none, will the witnesses please stand to be sworn.

(Witnesses sworn.)

HEARING EXAMINER: Mr. Vandiver?

CY COWAN,  
the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. VANDIVER:

Q. Mr. Cowan, please state your full name, your occupation, and by whom you're employed.

A. My name is Cy Cowan. I'm employed by Yates Petroleum Corporation of Artesia as a landman.

Q. You've previously testified before the New

1 Mexico Oil Conservation Division as a petroleum  
2 landman, had your qualifications accepted, and your  
3 qualifications are a matter of record, are they not?

4 A. That is correct.

5 Q. Are you familiar with the title to the land  
6 with regard to ownership of the various interests  
7 within the spacing unit for the well which is the  
8 subject of Yates' application in this case?

9 A. Yes, I am.

10 Q. Have you prepared certain exhibits to be  
11 presented to the Examiner?

12 A. Yes.

13 MR. VANDIVER: Mr. Examiner, I tender Mr.  
14 Cowan as an expert petroleum landman.

15 HEARING EXAMINER: Mr. Cowan is so  
16 qualified.

17 Q. (BY MR. VANDIVER) Please summarize, Mr.  
18 Cowan, briefly, the purpose of Yates' application in  
19 Case No. 9869.

20 A. Yates Petroleum Corporation seeks an order  
21 pooling all mineral interests from the surface to the  
22 base of the Morrow formation, underlying acreage in  
23 the north half of Section 14, Township 20 South, Range  
24 24 East in the following manner: The north half is to  
25 form a standard 320-acre spacing and proration unit

1 for any and all formations and any and all pools  
2 developed on a 320-acre spacing; in the northwest  
3 quarter, to form a standard 160-acre gas spacing and  
4 proration unit for any and all formations developed on  
5 160-acre spacing; and in the northeast quarter of the  
6 northwest quarter, to form a standard 40-acre spacing  
7 and proration unit for any and all wells and  
8 formations developed on a statewide 40-acre oil  
9 spacing.

10           These units are to be dedicated to our  
11 well, the John "AGU" No. 1, to be drilled at a  
12 standard location in the northeast quarter of the  
13 northwest quarter of Section 14.

14           We're also going to talk about the costs of  
15 drilling and completing this well and the allocation  
16 of costs, as well as the actual operating costs and  
17 charges for supervision, the designation Yates  
18 Petroleum Corporation as the operator of the well, and  
19 the charge for risk involved in drilling of this well.

20           Q.     Mr. Cowan, please identify the Applicant's  
21 Exhibit 1, which is the land plat and review the  
22 information shown on that exhibit.

23           A.     Exhibit No. 1 is a land plat showing  
24 portions of Township 20 South, Range 24 East, in Eddy  
25 County, New Mexico. The north half of Section 14 is

1 outlined in red. The actual location of our John  
2 "AGU" No. 1 well is located 660 from the north line,  
3 1,980 feet from the west line, and it is designated by  
4 the red dot.

5 Q. At the present time, Mr. Cowan, what  
6 percentage does Yates Petroleum Corporation and  
7 affiliated entities own in the proposed spacing and  
8 proration unit?

9 A. 60 percent.

10 Q. Are there other parties with leasehold or  
11 unleased mineral interests within the spacing unit?

12 A. Yes, there are.

13 Q. Have you contacted all parties with  
14 leasehold or unleased mineral interests and requested  
15 them to join in the proposed well?

16 A. Yes, we have.

17 Q. Have all such parties agreed to  
18 participate?

19 A. All have contacted us except for one party  
20 has not responded at all.

21 Q. Which parties have not agreed to  
22 participate or reached some other agreement with Yates  
23 for the drilling of this well?

24 A. Clifford Cone has not responded at all to  
25 our proposal for this well.

1                   MR. VANDIVER: Mr. Examiner, Applicant's  
2 Exhibit 2 is the Affidavit of Mailing prepared by my  
3 office, showing service pursuant to Rule 1207, notice  
4 of this hearing served upon Marilyn Cone, Trustee for  
5 the D.C. Trust, Kenneth Cone, Tom R. Cone, Cathie Cone  
6 Auvenshine, and Clifford Cone, and attached are the  
7 green return receipt cards showing that each of these  
8 parties received notice of the hearing.

9           Q.       Mr. Cowan, what interest do the five  
10 parties I just named, the five members of the Cone  
11 family, own in the north half of Section 14?

12          A.       The members of the Cone family own one-half  
13 of an undivided interest under the north half of  
14 Section 14.

15          Q.       They own an undivided one-half of the  
16 minerals; is that correct?

17          A.       One-half of the minerals, that is correct.

18          Q.       And that's throughout the entire half  
19 section?

20          A.       Yes.

21          Q.       They don't own divided interest in the half  
22 section?

23          A.       No, sir.

24          Q.       One of the five Cones has executed an oil  
25 and gas lease to Yates?



1 A. That is correct.

2 Q. And that's Tom Cone?

3 A. Yes.

4 Q. If I could refer you to Applicant's Exhibit  
5 3 in this case, and ask you to identify that packet of  
6 correspondence and review the information for the  
7 Examiner.

8 A. Yes. Exhibit No. 3 is correspondence  
9 between Yates Petroleum Corporation and the Cone  
10 family. I'd like to ask the examiner to go to the  
11 back of the packet, and, first of all, if you'd note  
12 that the date at the top right-hand corner of this  
13 page is September 10, 1987. This is a work sheet by  
14 one of the other landmen at Yates Petroleum when we  
15 were actually instructed to start trying to lease up  
16 acreage in this area.

17 HEARING EXAMINER: Are you referring to the  
18 back of Exhibit No. 3?

19 MR. VANDIVER: The very back page.

20 HEARING EXAMINER: It looks like a xerox  
21 copy of a legal pad that has some handwritten notes;  
22 is that correct?

23 THE WITNESS: Yes, sir, that is correct.

24 HEARING EXAMINER: And it's dated September  
25 10, 87?

1 THE WITNESS: Yes, sir.

2 HEARING EXAMINER: I'm sorry. Please  
3 continue.

4 Q. (BY MR. VANDIVER) Mr. Cowan, the acreage  
5 that's included in your proposed spacing unit is  
6 included on the notes on the last page of that  
7 exhibit?

8 A. Yes, it is.

9 Q. What do these notes reflect?

10 A. They reflect the different interests owned  
11 by the Cone family members.

12 Q. Moving on to the next page of the exhibit,  
13 that's a plat similar to the one we've previously  
14 submitted, and what's the significance of that?

15 A. The significance of this plat is that the  
16 acreage described on the xerox sheet of the note pad  
17 that we just discussed is X'd out in the north half of  
18 Section 14, showing that that was one of the targeted  
19 areas that we are very interested in.

20 Q. All right. Now the next page.

21 A. The next page is what I call contacts and a  
22 progress report. It just has all the Cone family  
23 members, addresses, and when they were contacted.

24 Q. And do you know when these contacts were  
25 made? Were they at the same time as the previous

1 notes?

2 A. Yes. Down, several portions of the sheet  
3 have 9-11, 9-14; I'm saying that these notes were  
4 taken on the 11th and the 14th of September.

5 Q. And these notes reflect telephone  
6 conversations with members of the Cone family?

7 A. That is correct.

8 Q. What was the purpose at that time in 1987?  
9 Was your purpose to lease or propose a well or exactly  
10 what was your purpose?

11 A. We were trying to lease at that time.

12 Q. This is not the first time you've had  
13 dealings with the Cones, is it?

14 A. No, sir.

15 Q. Do you know how many wells in the Dagger  
16 Draw area you have drilled in which the Cones owned  
17 either a leasehold interest or an unleased mineral  
18 interest?

19 A. Right offhand, I believe there are five.

20 Q. Do all the Cones join together and agree to  
21 do one thing as a group when they participate in  
22 wells?

23 A. No. They act as individuals and on their  
24 own behalf. No one can speak for another member of  
25 the family.

1           Q.     In situations such as this when Yates  
2 Petroleum has wanted to drill a well, and one of the  
3 Cones or a group of the Cones owns an unleased mineral  
4 interest, what sorts of agreements have been made with  
5 the various Cones?

6           A.     We'll practically do anything to get them  
7 to join or participate or lease acreage.

8           Q.     Various of the Cones have participated in  
9 some of your wells in the Dagger Draw area?

10          A.     Yes.

11          Q.     And various have farmed out on terms  
12 agreeable to both Yates and the Cones?

13          A.     Yes.

14          Q.     And when they've owned mineral interests,  
15 they have leased to Yates?

16          A.     Yes.

17          Q.     Do you know if any of them have ever sold  
18 their interests to Yates?

19          A.     Right offhand, I do not know if anyone has  
20 sold their interest.

21          Q.     But in your various dealings with the  
22 Cones, those terms are always available to them, are  
23 they not?

24          A.     Yes, that is correct.

25          Q.     Do you know whether the Cones, any of the

1 members of the Cone family that own an interest in  
2 this tract were aware of your plans to drill this  
3 well?

4 A. Yes, I'm sure they're all aware of this.

5 Q. In fact, Yates personnel met with Clifford  
6 Cone this last summer, did they not?

7 A. That is correct. A meeting was set up  
8 between Yates' management and Mr. Clifford Cone, and  
9 also besides management, we had a member of the  
10 geological staff, engineering, and production at this  
11 meeting, and we went to such great lengths as to take  
12 Mr. Cohen on an actual field trip with our production  
13 superintendent to show him the area and where these  
14 wells could be, and what we had plans to do with these  
15 wells.

16 Q. And you pointed out the wells at that time  
17 that you intended to drill in the Dagger Draw area?

18 A. That is correct.

19 HEARING EXAMINER: Excuse me, Mr. Cowan.  
20 When you say Mr. Cone, are you referring to Mr.  
21 Clifford Cone?

22 THE WITNESS: Mr. Clifford Cone, that's  
23 correct.

24 HEARING EXAMINER: I wanted to make sure.

25 THE WITNESS: He was the only one that

1 attended this meeting.

2 HEARING EXAMINER: Thank you.

3 Mr. Vandiver?

4 Q. (BY MR. VANDIVER) Moving on to the next  
5 page on Exhibit 3, which is the letter from Douglas  
6 Cone to Ken Beardemphl of Yates Petroleum, describe  
7 what that is, please.

8 A. This is a letter from Mr. Douglas Cone to  
9 Mr. Beardemphl of Yates Petroleum. It isn't dated.  
10 I'm assuming it was in or around September of 87. And  
11 Mr. Cone's response to Ken's offer to lease was that  
12 he would be interested in joining any wells in this  
13 area, and send an AFE and an operating agreement to  
14 him.

15 Q. Now the next page.

16 A. The next page is a letter from Mr. Tom R.  
17 Cone, dated September 23, 87, from Mr. Beardemphl once  
18 again. Mr. Cone's letter said that he wanted more  
19 information regarding drilling on this acreage, and  
20 the captioned acreage does include our proposal in  
21 Section 14, the north half of 20 24.

22 Q. And then the next letter of December 7,  
23 1989?

24 A. December 7, 1989, letter is address to the  
25 Cone family with the addressee list attached regarding

1 their acreage in the north half of Section 14, and we  
2 are offering to lease their acreage from them.  
3 There's a phrase in here, "on a very short-term  
4 lease," meaning we would be very interested in  
5 obtaining a lease from them.

6 Q. The letter also states that "Yates would  
7 like to work with you on your interest." Having  
8 entered into various agreements, the Cones are aware  
9 with regard to any particular well that Yates is open  
10 to any reasonable offer that they would like to make;  
11 is that correct?

12 A. That's correct.

13 Q. Moving on to the next letter of January 22,  
14 1990.

15 A. A letter dated January 22, 1990, from Yates  
16 Petroleum Corporation to the Cone family regarding our  
17 John "AGU" No. 1 well. This is the actual proposal to  
18 the Cone family. The letter gives the location and  
19 the cost to drill a dry hole and a completed well. It  
20 also includes an invitation for them to join with us  
21 in drilling of this well, and it also points out that  
22 an AFE and a copy of the operating agreement is  
23 enclosed for them to sign if it meets with their  
24 approval.

25 Then also there's a paragraph in there

1 stating that if you don't want to join, should you  
2 desire to lease your mineral interest to Yates, there  
3 is an offer in there to lease their acreage from Yates  
4 Petroleum.

5           The last paragraph says, "Please let us  
6 hear from you."

7           Q.     The letter additionally offers to take a  
8 farm-out from the Cones, does it not, in the  
9 next-to-the-last paragraph?

10          A.     Yes, it does.

11          Q.     And that's on the basis of reserving --  
12 executing a lease, reserving an overriding royalty  
13 with the option to convert the overriding royalty to a  
14 25 percent working interest after payout?

15          A.     That's correct.

16                 Also in this letter, we point out that we  
17 do have an expiring lease, and that's why we're trying  
18 to move on this thing as quickly as we can.

19          Q.     If you'll refer to the letter of January  
20 29, 1990, which is the next letter on Exhibit 3.

21          A.     A letter dated January 29, 1990, is to the  
22 Cone family from Yates Petroleum Corporation regarding  
23 the John "AGU" No. 1 well. This letter points out  
24 that other people have joined and signed the AFE's and  
25 the operating agreements, and we are sending them



1 copies of these signature pages for their files. And,  
2 once again, we're asking for their response in our  
3 proposal to drill this John well.

4 Q. If you will refer to the next exhibit, the  
5 letter of February 6, 1990, to Cathy Auvenshine, and  
6 describe what that is.

7 A. The February 6, 1990, letter to Miss  
8 Auvenshine, first of all, says thank you for  
9 responding to our drilling proposal, and it offers her  
10 a farmout for her acreage because it looks like she  
11 did not want to participate in the well, but we  
12 understood that, and we offered her a chance to farm  
13 out her acreage or her minerals in this lease.

14 Q. Your application for forced pooling in this  
15 case was filed on January 29, 1990, was it not?

16 A. That is correct.

17 Q. Since your application -- let me ask you  
18 this: before your application for forced pooling was  
19 filed, had Yates had any response to any request to  
20 lease or offer to participate in this well?

21 A. No, we haven't had any.

22 Q. Since you filed the application for forced  
23 pooling, have certain of the Cone family members  
24 agreed to participate?

25 A. Yes.

1 Q. What is the status of their interest?

2 A. Since we filed the forced pooling hearing,  
3 by doing this, it is our experience that is the only  
4 thing that will move the Cones off center to respond  
5 to our proposals and our requests for this well.

6 Q. What is the status of the five Cone family  
7 members owning an interest in this proration unit?

8 A. Mr. Tom Cone has leased to us. Kenneth  
9 Cone and Cathie Cone phoned in yesterday to Yates  
10 Petroleum at 1:30 in the afternoon stating that they  
11 have signed the AFE and the operating agreement, and  
12 they are in the mail. We do not have those on hand.

13 Q. That's Cathie Auvenshine?

14 A. Auvenshine, pardon me, yes.

15 Q. What about Doug Cone?

16 A. Doug Cone, who's in charge of the D.C.  
17 Trust, phoned Mr. Vandiver's office yesterday at ten  
18 minutes to five o'clock in the afternoon, stating that  
19 he will sign the operating agreement, but he has  
20 elected to go nonconsent in this well.

21 Q. And the only one you've not heard from as  
22 yet is Clifford Cone?

23 A. That is correct, we have not heard from Mr.  
24 Clifford Cone.

25 Q. It has been Yates' experience that the

1 Cones will not respond to any type of proposal  
2 regardless of what it might be until an application  
3 for compulsory pooling is filed?

4 A. That is correct.

5 Q. Is it also not Yates' position that  
6 regardless of an order force pooling the Cones'  
7 interest, that Yates is still willing to take a lease  
8 or farm out or have the Cones participate or sell  
9 their interest or whatever they want to do for the  
10 period of time under which they're entitled to  
11 participate under the forced pooling order?

12 A. That is correct. And I'd like to add that  
13 we are not using the forced pooling statutes as a  
14 bludgeon to brow beat the Cones into joining these  
15 wells, but it just seems to be the only thing that  
16 gets their attention to respond to our requests.

17 Q. This is the fifth force pooling you've had  
18 against the Cones in the past year, is it not?

19 A. That is correct.

20 Q. And orders force pooling the Cones were  
21 entered in each case, were they not?

22 A. That is correct.

23 Q. Did any of the Cone family members end up  
24 being subject to the forced pooling orders in any of  
25 those cases?

1           A.       None of them were ever subject to the  
2 orders.

3           Q.       After the application was filed or the  
4 hearing was held, they agreed to participate or lease  
5 or farm out or something in each situation?

6           A.       That is correct.

7           Q.       But it has been your experience that you  
8 don't get any response from the Cones until you file  
9 an application?

10          A.       That is correct.

11          Q.       If I could refer you to Applicant's Exhibit  
12 4 and ask you to describe what that is.

13          A.       Exhibit No. 4 is an A.A.P.L. Form 610,  
14 1977, Model Form Operating Agreement, for the John  
15 "AGU" No. 1 well. This operating agreement is dated  
16 January 22, 1990, designating Yates Petroleum  
17 Corporation as operator, and the contract area is the  
18 north half of Section 14, Township 20 South, Range 24  
19 East in Eddy County, New Mexico.

20                 This is a standard form operating agreement  
21 used by Yates Petroleum Corporation.

22          Q.       If I could refer you to Exhibit A to that  
23 operating agreement and ask you to describe what  
24 information is contained on Exhibit A.

25          A.       Exhibit A shows how the working interest

1 owners will pay their proportionate share to drill  
2 this well.

3 Q. And Exhibit A is prepared on the assumption  
4 that the D.C. Trust, Clifford Cone, Cathie Cone  
5 Auvenshine, and Kenneth G. Cone will each join in and  
6 participate in the drilling of your proposed well?

7 A. That is correct.

8 Q. If I could refer you to Exhibit A of the  
9 showing operating agreement, which is the COPAS  
10 accounting procedure form, and ask you to point out  
11 the overhead supervision rates requested for Yates'  
12 operations for drilling your proposed John "AGU" No. 1  
13 well.

14 A. Yes. On page 3 of the COPAS agreement, our  
15 overhead rate for the drilling portion is \$5,400 and  
16 the producing well rate is \$540, and these are Yates  
17 Petroleum's standard overhead rates for drilling a  
18 well in this area to this depth.

19 Q. And Yates has drilled other Morrow wells in  
20 the Dagger Draw area, and the overhead rates are  
21 consistent with what Yates and other operators charge  
22 at the current time for supervisions for wells in this  
23 area at this depth?

24 A. That is correct.

25 Q. If you could identify Exhibit 5 and

1 describe for the Examiner what that is.

2 A. Exhibit No. 5 is an Authority For  
3 Expenditure for the John "AGU" No. 1 well, which is  
4 going to be a 9,400 foot Morrow test. It describes  
5 the cost of a dry hole at \$316,700; a completed well  
6 is a producer at \$776,500. It also outlines the  
7 working interest owners and their percentages of their  
8 cost to drill this well.

9 Q. I believe that was \$676,500 for a completed  
10 well?

11 A. Yes, excuse me, that is correct.

12 Q. The costs reflected on this AFE, are those  
13 obtained by Yates engineering department's experience  
14 in drilling Morrow wells in this area?

15 A. Yes.

16 Q. Are these costs reasonable and necessary  
17 costs to drill a Morrow well at this time in this  
18 area?

19 A. Yes, they are.

20 Q. Is this AFE in line and similar to the  
21 costs shown on the AFE's of the Morrow wells in which  
22 the Cones previously have owned an interest?

23 A. Yes, they are.

24 Q. And they have been submitted to the Cones  
25 previously?

1           A.       Yes.

2           Q.       Were Exhibits 1 through 5 prepared by you  
3 or taken from the regular business records maintained  
4 by Yates in the ordinary course of business?

5           A.       Yes.

6           MR. VANDIVER:   Mr. Examiner, I move  
7 admission of Applicant's Exhibits 1 through 5 at this  
8 time, and I have no more questions of this witness.

9           HEARING EXAMINER:   Exhibits 1 through 5  
10 will be admitted into evidence at this time, and I  
11 have no questions of this witness.   He may be  
12 excused.

13           THE WITNESS:   Thank you.

14           HEARING EXAMINER:   Thank you.

15           MR. VANDIVER:   May I proceed?

16           HEARING EXAMINER:   Mr. Vandiver.

17                       RAY BECK,  
18 the witness herein, after having been first duly sworn  
19 upon his oath, was examined and testified as follows:

20                       DIRECT EXAMINATION

21           BY VANDIVER:

22           Q.       Mr. Beck, state your name, your occupation,  
23 and by whom you're employed, please.

24           A.       My name is Ray Beck.   I'm employed by Yates  
25 Petroleum, Artesia, New Mexico, as a geologist.

1 Q. Mr. Beck, have you previously testified on  
2 numerous occasions before the Oil Conservation  
3 Division as a petroleum geologist, had your  
4 qualifications as a geologist accepted, and your  
5 qualifications are a matter of record, are they not?

6 A. Yes, sir.

7 Q. Have you made a study of the available  
8 geological data in the area of Yates' proposed well in  
9 this case for the purpose of presenting evidence  
10 relating to the risk involved in drilling this well  
11 and recommending to the Examiner a risk factor  
12 penalty?

13 A. Yes, I have.

14 Q. Have you prepared certain exhibits to  
15 illustrate your testimony today?

16 A. Yes, sir.

17 MR. VANDIVER: Mr. Examiner, I tender Mr.  
18 Beck as an expert petroleum geologist.

19 HEARING EXAMINER: Mr. Beck is so  
20 qualified.

21 Q. (BY MR. VANDIVER) Mr. Beck, is there risk  
22 involved in drilling Morrow wells in the Dagger Draw  
23 area?

24 A. Yes, sir.

25 Q. In order to illustrate some of the risk



1 factors, please refer to Applicant's Exhibit 6.

2 A. Since we're drilling for both the Canyon  
3 objective and the Morrow objective, I'll start first  
4 with the Canyon objective, though we are taking it  
5 down to the Morrow too.

6 Exhibit No. 6 is a map of a large portion  
7 of the Dagger Draw Upper Penn North and South oil  
8 fields. These Dagger Draw oil fields produce oil,  
9 sour gas and brackish sulfur water from a combined  
10 stratigraphic and hydrodynamic trap consisting of a  
11 band of partially porous and permeable dolomite  
12 pinching out updip into tight sealing limestone.

13 Downdip economic production is limited by  
14 water. There is no water-free production in these two  
15 fields; however, there is a hydrodynamically tilted  
16 surface below which the dolomite reservoir is  
17 virtually all water filled. For use for lack of a  
18 better word, we refer to it as the "big water" because  
19 there's water also up in the gas and oil portion too.

20 This exhibit is a combined Canyon or Upper  
21 Penn dolomite structure map and top of the "big water"  
22 structure map. Solid contours show the structural  
23 configuration of the top of the Canyon dolomite in  
24 100-foot contours. Dotted contours show the  
25 structural configuration of the tilted "big water"

1 surface in 50- foot contours. Both sets of contours  
2 are limited to the east and west by zero dolomite  
3 pinchout lines.

4           Circled well spots are Canyon or deeper  
5 penetrations. Green-colored well spots are Dagger  
6 Draw Upper Penn north and south producers; red spots  
7 are Canyon sour gas wells. Uncolored circled gas well  
8 spots indicate gas production from zones  
9 stratigraphically lower than the Canyon such as  
10 Strawn, Atoka, and Morrow.

11           According to the map, the proposed John  
12 "AGU" well in Unit C of Section 14, 20 South 24 East,  
13 should encounter the top of the dolomite at a minus  
14 3928 and should encounter the tilted "big water"  
15 surface at a minus 4122, which would mean that a gross  
16 dolomite interval of 194 feet above the "big water"  
17 would be encountered.

18           A portion of this gross interval will  
19 hopefully have enough porosity and permeability to  
20 result in an economically successful oil, sour gas,  
21 and water wells. However, let me quickly say that the  
22 Dagger Draw reservoir is a carbonate reservoir, and  
23 like all carbonate reservoirs, it is complex in  
24 geometry and variable in reservoir quality from place  
25 to place. That is, there is always geological risk in

1 drilling for carbonate reservoirs.

2           The carbonate reservoir may abruptly thin,  
3 thicken, or change from porous and permeable rock to  
4 tight or impermeable rock, resulting in a so-called  
5 inside location becoming an uneconomic well.

6           I could point to examples four wells to  
7 show this sort of risk. This is, of course, a  
8 currently developing field with a number of recently  
9 completed wells with little production history, and it  
10 must be remembered that the wells produce not only oil  
11 but sour gas and large amounts of water. Therefore,  
12 there is a risk that a number of the wells will turn  
13 out to be uneconomic. Another Yates witness will  
14 testify in more detail about the high drilling,  
15 equipping, and lease operations costs.

16           The first of the examples to show risk is  
17 the Conoco Preston Federal #4 in Section 34 of  
18 Township 20-1/2 South, Range 23 East, down at the  
19 south end of this. The well had 90 feet of dolomite  
20 above the "big water." The well was originally  
21 drilled and plugged by Standard Oil of Texas in 1965.

22           The well was worked over by Conoco in 1983  
23 for an initial pumping by gas lift of zero barrels of  
24 oil, 420 Mcf of gas, and 973 barrels of water per day.  
25 Conoco never sold any production from this well and

1 plugged the well in August of 1989, last year. With  
2 90 feet of dolomite above the "big water," one would  
3 have thought that the well could have been economic,  
4 especially the re-entry; however, the dolomite was  
5 just a little too impermeable and somehow too much  
6 water with too little hydrocarbons was produced to  
7 make the well uneconomic.

8           The second well to show geologic risk is  
9 the Conoco Preston Federal #2 in the northeast quarter  
10 of Section 34, Township 20-24. This well was drilled  
11 a little less than a half a mile north of the well  
12 with 351 feet of dolomite, yet what I'm speaking about  
13 encountered all tight limestone and zero dolomite. It  
14 was plugged after testing through perforations.

15           The Conoco Preston is also a little over  
16 half a mile to the west northwest of the Conoco  
17 Preston Federal #1, a well which has produced over  
18 19,000 barrels of oil, over 2.9 Bcf of gas, and 2.4  
19 million barrels of water. The Preston #2 example  
20 well, when it was drilled in 87, found an unexpected  
21 section of tight limestone instead of dolomite.

22           The third well to show risk is the Conoco,  
23 formerly the Ralph Nix Debbie well, located in the  
24 southeast quarter of Section 11 of Township 20 South,  
25 24 East, which encountered 307 feet of Canyon

1 dolomite, of which 174 feet was above the "big water."

2           The Debbie well was originally completed in  
3 82 by Nix for an IPP of 55 barrels of oil and 162  
4 barrels of water per day. Later when Nix wished to  
5 plug the well, Conoco took over operations in an  
6 attempt to improve the production. Conoco then  
7 finally plugged the well in November of 1986 with the  
8 well's final uneconomic cumulative production of 5,496  
9 barrels of oil, 28,607 Mcf of gas, and 211,000 barrels  
10 of water.

11           The fourth and last well to show geological  
12 risk is the Yates Cacti "AGB" in Section 2 of 20 South  
13 - 24 East, which will be discussed on the next  
14 exhibit, a cross-section, whose trace is shown on this  
15 map exhibit.

16           Q.     If I could refer you to Exhibit 7 then and  
17 ask you to identify it and explain the information  
18 shown.

19           A.     We're still talking about the Canyon here.  
20 Exhibit 7 is a northwest-southeast structural  
21 cross-section, depicting the depth dimension across  
22 the southern part of Dagger Draw Upper Penn North oil  
23 field. The compensated neutron-density porosity logs  
24 are hung on a minus 3500 below sea level datum.  
25 Vertical scale is 2-1/2 inches equals 100 feet.

1 Horizontal distance between the wells is only  
2 proportional to map distances.

3 Shown on the cross-section is the top of  
4 the Canyon limestone, also called Upper Penn by some  
5 workers. Also shown is the limits of the dolomite  
6 reservoir facies and the hydrodynamically tilted  
7 so-called "big water" contact.

8 In order to have a chance at finding  
9 commercially economic hydrocarbons in Dagger Draw  
10 field, one must encounter adequate porous and  
11 permeable dolomite reservoir facies above the tilted  
12 "big water" contact below which all the dolomite  
13 reservoir is filled with water.

14 The fourth well from the left on the  
15 cross-section, the Yates Cacti "ABG" State #1, cut 116  
16 feet of section between the top of the dolomite to the  
17 "big water"; however, 52 feet of the middle of that  
18 section was not dolomite reservoir but a tight  
19 interval of interbedded shale and lime. This Cacti  
20 well is currently producing from the Morrow and will  
21 later be perforated in the Canyon dolomite; however,  
22 it is possible that this well will not be an  
23 economically commercial producer from the Dagger Draw  
24 Upper Penn field because of the unexpected 52 feet of  
25 nonreservoir rock in what looked like a so-called

1 inside location before drilling.

2 That's all I have to say about this  
3 exhibit.

4 Q. Now turn to Exhibit 8 and identify that and  
5 describe the information contained.

6 A. Since we are taking the well to the Morrow  
7 an additional 1600 feet, I thought I'd point out the  
8 risk of going to the Morrow. Exhibit No. 8 is a  
9 Morrow penetration map surrounding the north half of  
10 Section 14 of 20 South - 24 East where the proposed  
11 well is to be drilled at a standard location through  
12 the Morrow formation. This means an additional 1600  
13 feet below the Canyon objective will have to be  
14 drilled to test the Morrow objective.

15 As the map shows, the Morrow penetrations  
16 in the nine contiguous sections surrounding the  
17 north half of Section 14 offer ample evidence to show  
18 risk in finding commercially economic Morrow wells in  
19 the area. Nine wells have penetrated the Morrow, and  
20 only two have or will produce economic quantities of  
21 Morrow gas. That is, the Yates Conoco in the north  
22 half of Section 11 with estimated reserves of 1.32  
23 Bcf, and the BHP, formerly Monsanto, Mayer well in the  
24 north half of Section 24 with a cumulative production  
25 of over 1/2 Bcf.

1           Q.       Mr. Beck, based upon your review of this  
2 data, do you have a recommendation to make to the  
3 Examiner for a risk factor penalty to be ordered in  
4 this case?

5           A.       I recommend a risk penalty of 200 percent.

6           Q.       In your opinion, will granting of this  
7 application be in the interest of conservation of oil  
8 and gas, prevention of waste, and protection of  
9 correlative rights?

10          A.       Yes, sir.

11          Q.       Before I conclude your examination, I might  
12 ask you, were you available, and did you speak to  
13 Clifford Cone when he was in your office in the summer  
14 of 1989?

15          A.       That's correct. I was there. I was the  
16 geologist who showed him the geology of the field.

17          Q.       Was that throughout the Dagger Draw field?  
18 Was that what he was primarily concerned with?

19          A.       Yes, sir, that's right. They have  
20 considerable leaseholds or other mineral interests in  
21 the Dagger Draw area, and I talked to him generally  
22 about the geology of the whole area, especially around  
23 the area that he had interest in, and he asked  
24 questions pertinent to his leaseholds or mineral  
25 interests and to offsetting wells and how they did.



1           Q.       Mr. Beck, were Exhibits 6, 7, and 8  
2 prepared by you or under your direction and  
3 supervision?

4           A.       Yes, they were.

5                   MR. VANDIVER: Mr. Examiner, I move the  
6 admission of Applicant's Exhibits 6, 7, and 8, and I  
7 have no further questions of the witness.

8                   HEARING EXAMINER: Exhibits 6, 7, and 8  
9 will be admitted into evidence.

10                   CROSS-EXAMINATION

11 BY HEARING EXAMINER:

12           Q.       Mr. Beck, in referring to Exhibit No. 8,  
13 the two Morrow wells that you show on this map, are  
14 they out of the same pool, or are they out of  
15 different pools?

16           A.       I believe that these two wells -- I know  
17 for a fact that the BHP Monsanto Mayer well, the red  
18 dot down in Section 24, belongs to the Cemetery Morrow  
19 Pool, and the well in 11 is a new well, and I believe  
20 it's been assigned to the Cemetery Morrow Pool too.

21           Q.       Between those two wells, the two wells that  
22 you show on there, do they penetrate the Morrow?  
23 We're talking about the two wells in the south half of  
24 11, and might as well include that well in the south  
25 half of 13.

1           A.       Yes, sir. All the double circled wells are  
2 Morrow penetrations, and there are nine Morrow  
3 penetrations, and the only two that have made even  
4 Morrow wells are the two red dots.

5           Q.       There is another well up in 14. Do you  
6 know anything about that? This is the north half of  
7 14.

8           A.       Yes, sir. That's a shallow well. I  
9 believe if I could look at a land plat, it might even  
10 tell the depth on it.

11          Q.       I believe I'm looking at Exhibit No. 6,  
12 TD'd at 599; is that correct?

13          A.       Yes.

14          Q.       Did something happen to that well, do you  
15 know?

16          A.       I think it was just probably an attempt by  
17 whoever the operator was at that time to keep from  
18 drilling over a leased exploration at that time, or  
19 something of that nature. That's usually the course  
20 to see what they do.

21          Q.       Operators do that?

22          A.       I've heard about it.

23                   HEARING EXAMINER: I have no other  
24 questions of Mr. Beck. He may be excused.

25                   Mr. Vandiver, please continue.

1                   DAVID FRANCIS BONEAU,  
2 the witness herein, after having been first duly sworn  
3 upon his oath, was examined and testified as follows:

4                   DIRECT EXAMINATION

5 BY MR. VANDIVER:

6           Q.     Please state your full name, your  
7 occupation, and by whom you're employed.

8           A.     My name is David Francis Boneau. I work as  
9 a petroleum engineer at Yates Petroleum in Artesia.

10          Q.     Dr. Boneau, you've previously testified on  
11 numerous occasions before the New Mexico Oil  
12 Conservation Division, had your qualifications as an  
13 engineer accepted; your qualifications are a matter of  
14 record, are they not?

15          A.     Yes, sir.

16          Q.     Have you made an engineering study of the  
17 proposed Yates Petroleum Corporation John "AGU" No. 1  
18 well and the area surrounding it, the Dagger Draw  
19 area?

20          A.     Yes, I have done that.

21          Q.     Have you prepared certain exhibits to  
22 illustrate your testimony?

23          A.     Yes, sir.

24          Q.     Your investigation was for the purpose of  
25 presenting evidence relating to the risk involved in

1 drilling this well and recommending to the Examiner a  
2 risk factor penalty?

3 A. That's correct.

4 MR. VANDIVER: Mr. Examiner, I tender Dr.  
5 Boneau as an expert petroleum engineer.

6 HEARING EXAMINER: Dr. Boneau is so  
7 qualified.

8 Q. (BY MR. VANDIVER) If I could ask you to  
9 refer to Applicant's Exhibit 9 and identify that and  
10 describe what information is contained.

11 A. Exhibit 9 is a small scale map of a big  
12 area that shows that this is a project that extends  
13 over a large area. The proposed well has two  
14 objectives, the Canyon and the Morrow. The Canyon is  
15 what I would call the primary objective, and the well  
16 is an extension in the Canyon of the Dagger Draw Upper  
17 Penn North or South Field.

18 Exhibit 9 shows the water and gas gathering  
19 lines that we have installed to try to produce these  
20 hydrocarbons.

21 I'm sure you understand by now that the  
22 wells make lots of water, and the gas is very sour.  
23 The gas is like 2 to 3 percent H<sub>2</sub>S. So the gas has to  
24 be sweetened in order to be sold, and the water has to  
25 be disposed of. As a result, these are just costly

1 wells to operate.

2           Exhibit 9 shows that there are 20 miles of  
3 water gathering lines that Yates has installed four  
4 salt water disposal wells that are shown by black  
5 dots, and we're installing a fifth salt water disposal  
6 well this month.

7           In addition, there are gas gathering lines  
8 which are a little lighter on the map. We've built  
9 about between 25 and 30 miles of gas gathering lines.  
10 Some of them are 8 inches in diameter and special  
11 metallurgy to resist the H<sub>2</sub>S, etc.

12           The gas is taken two places at the present  
13 time. It's taken to a Transwestern sweetening plant,  
14 which is located in Section 26 of 18 of 25, more or  
15 less towards the top of this exhibit, where  
16 Transwestern operates a sweetening plant, and the  
17 excess gas is taken approximately five miles further  
18 east than Yates gathering line over in the very upper  
19 right-hand corner, where it says Dayton, where it goes  
20 into a Northern Natural gas line which takes it to  
21 Hobbs to be sweetened at the plant at Hobbs.

22           The point is simply to kind of introduce  
23 where we are, but also to show that there is a lot of  
24 steel, etc., sunk in the ground, a lot of expense  
25 invested just to be able to drill these wells and have

1 a chance of handling the production should we discover  
2 more production.

3 Q. Now if you would turn to Exhibit 10 and  
4 describe the information contained in that exhibit.

5 A. Exhibit 10 is pretty short. It simply says  
6 that to date, we've spent \$4-1/2 million on the gas  
7 gathering lines and \$1/2 million on water disposal.  
8 We are right at this time converting another well to  
9 water disposal, and we are building an eight-mile gas  
10 gathering line that I should have pointed out maybe on  
11 Exhibit 1. It is the diagonal, very straight line  
12 that extends from sort of the southwest towards the  
13 northeast, more or less in the middle of the picture.  
14 We're building an 8-inch steel gas gathering line at  
15 an additional cost of \$1-1/2 million, and it's  
16 designed to try to open up the southern extension down  
17 into 20 24 that we're talking about today, and that  
18 this John well would be one of the producers, we hope,  
19 in.

20 Q. Now if you could refer to Exhibit 11 and  
21 identify that and describe the information contained  
22 in that exhibit.

23 A. Exhibit 11 talks about the Canyon producers  
24 in the area of the proposed well. This is a  
25 24-section area in Township 20 24, and it's kind of a

1 south extension of -- the old Dagger Draw is up in the  
2 two sections, the township to the north and township  
3 to the northeast. This is the area of interest.

4 And I think the point -- well, there's a  
5 lot of numbers on it. The numbers on this exhibit  
6 show the cumulative production of the wells and a  
7 current production for each black dot. The numbers  
8 are the most up-to-date I can get.

9 For the Yates wells, the cumulatives are  
10 till the 1-1-90, and the current production is the --  
11 it's actually the first 47 days of 1990. It's from  
12 January 1 to February 16.

13 The numbers for the non-Yates wells are  
14 cumulatives through the end of November, and the  
15 current productions or the values are for the month of  
16 November.

17 The red dot shows the location of the John  
18 well. The nearby wells are in Section 11. One of the  
19 wells in the east of Section 11 is the Debbie well  
20 that Mr. Beck testified to. It's clearly an  
21 uneconomic well.

22 The other well in Section 11 is a very new  
23 Yates well called Saguaro. It is not yet completed;  
24 so it has no cum as of the end of 1990, but it is  
25 producing, as the exhibit shows there, 107 barrels of

1 oil per day, 881 Mcf per day, and 418 barrels of water  
2 per day. It's starting out looking like a pretty  
3 decent well. That's a pretty decent Dagger Draw  
4 well. It only makes 80 percent water.

5 The wells to the south of the proposed  
6 location are mostly the old Conoco wells in south  
7 Dagger Draw Upper Penn. There's five producers and a  
8 dry hole down in 34 that were drilled by Conoco.

9 The well in Section 22 was drilled recently  
10 by Yates. It has a very low cum because it was  
11 drilled in late 89, and is now producing 11 barrels of  
12 oil, almost a million cubic feet of gas a day, and 239  
13 barrels of water a day. That well is called Carl TP  
14 #1. It's not clear whether that well is going to be  
15 economic or not at the present time, although making a  
16 million a day, it has a good chance with not a whole  
17 lot of water.

18 The Conoco wells to be discussed in a  
19 little more detail in one of the following exhibits,  
20 but the summary is that the wells in 23, 26, and 35  
21 consist of five Conoco wells. All four of them are  
22 shut in now. One of the five is clearly economic, one  
23 of them is marginally economic, and the other three  
24 are uneconomic. So there is a good chance of getting  
25 an uneconomic well in the area of the John.



1           Q.       Anything further with regard to that  
2 exhibit?

3           A.       No, sir.

4           Q.       If you would turn to Applicant's Exhibit 12  
5 and identify that exhibit and describe what it shows.

6           A.       Exhibit 12 is a companion to Exhibit 11.  
7 It is a tabular listing of of the data we reviewed on  
8 Exhibit 11, plus other data such as spud dates and  
9 total depths, etc., producing pools on all the wells  
10 shown on Exhibit 11.

11                   I don't think there's anything else to  
12 conclude from that. It's a supporting exhibit for  
13 Exhibit 11.

14           Q.       Now refer to Exhibit 13 and identify that  
15 and describe what you're trying to show by that  
16 exhibit.

17           A.       Exhibit 13 attempts to show economics for  
18 these kind of wells. And I picked in particular the  
19 five wells that Conoco operated for ten years or so in  
20 which there's lot of history; and so you can know what  
21 the wells are going to produce.

22                   I did detailed economics on two of the  
23 wells, and they're the two wells in Section 26, the  
24 Vicki Federal #1 and the Robin Federal #2.

25                   The cumulatives are listed there. The

1 Vicki made 24,000 barrels of oil over three-quarters a  
2 Bcf of gas, and 1.9 million barrels of water, which  
3 doesn't sound all that bad, but it didn't come close  
4 to paying out. It only returned approximately 70  
5 percent of the cost to drill the well, and it's  
6 because of the expenses in treating the gas and in  
7 handling 1.9 million barrels of water or in handling  
8 large amounts of water. So that Vicki did not pay  
9 out, and I wrote it down as a clear loss.

10 The Robin Federal made 39,000 barrels of  
11 oil, 1-1/2 Bcf of gas, and almost 4 million barrels of  
12 water.

13 I might add, either clarify or confuse,  
14 early in the history of these wells, they produced  
15 lots of water and little hydrocarbons, and Conoco  
16 reworked them. And in my reconstruction of it, I  
17 omitted a lot of that water. So in the Vicki, my  
18 reconstruction had like 1.1 million barrels of water,  
19 and in the Robin, about 1.8 million barrels of water.  
20 So I did not count some of that early water that I  
21 thought was not appropriate.

22 Anyway, the well made 39,000 barrels of  
23 oil, and 1-1/2 Bcf, and normally you would say, that  
24 ought to be a very good well. Well, because of the  
25 operating environment here, it really only makes a

1 small profit. It returns the \$500,000 investment  
2 together with the Canyon plus \$57,000 profit, takes  
3 six-and-a-half years to pay out, and you get your  
4 money back plus 38 percent on a nondiscounted basis.  
5 That's clearly a small well.

6 Then the bottom of the exhibit tries to  
7 extrapolate those two results to the other wells and  
8 also to the Debbie. The Debbie only made, converting  
9 the -- there's a column there that says equivalent in  
10 Mmcf, and what I did to try to get it summarized was  
11 take the oil and assign each barrel of oil as 10 Mcf,  
12 which is a reasonable conversion factor on a price  
13 basis, and add the oil to the gas.

14 I'm getting off in left field, but let's  
15 fight it on through here, guys. So the Vicki  
16 converting oil to gas made a little over a Bcf  
17 equivalent and was a loss. The Robin made 1.9  
18 equivalent Mcf, equivalent Bcf of gas, and is a small  
19 profit. The Debbie, north of our proposed location,  
20 made very little and is a huge loss.

21 The Penny Federal #1 and the Penny Federal  
22 #2 were no better than the Vicki and are clear losers,  
23 and the Preston Federal has made, that Mr. Beck said,  
24 almost 2 Bcf of gas and 3.3 Bcf equivalent gas and is  
25 a clearly profitable well but nowhere near as

1 profitable as a 3 Bcf Morrow well would be.

2 So the economics are clearly questionable  
3 in that southern area.

4 Q. Now turn to Applicant's Exhibit 14 and  
5 identify that and describe the information you're  
6 showing on that exhibit.

7 A. Exhibit 14 is the map of the same area in  
8 Township 20 24. Here we're looking at the Morrow  
9 penetrations. Mr. Beck had a similar map restricted  
10 to nine sections and minus 14. I think we're going to  
11 have the same conclusions.

12 The numbers next to the locations here are  
13 total reserves, what the well will make in its life in  
14 gas. I've included two wells that bottomed out in the  
15 Morrow but were completed in the Atoka and completed  
16 from the Atoka; so if you drilled from the Morrow, you  
17 would probably get that gas.

18 The story is that offsetting the proposed  
19 John location are very many zeros. In almost every  
20 direction there is a dry hole Morrow. There are 22  
21 Morrow penetrations here, 13 of them were dry holes.  
22 Of the nine that did produce from the Morrow, three  
23 are economic.

24 And those three are the Conoco in the north  
25 half of Section 11 that has 1.3 Bcf of reserves. The

1 well in the north half of Section 24 that has 625  
2 million, and that one is not going to make very much  
3 money. That's about enough to be even. And the well  
4 in the north half of Section 36, way down in the  
5 southeast has reserves of almost 2 Bcf.

6           The other wells are not economic Morrow  
7 wells when drilled, top to bottom. What we're talking  
8 about here is going an extra 1600 feet at an extra  
9 expense of \$50,000 to \$100,000 to test the Morrow.  
10 The average reserves of these 22 wells, you add them  
11 all up at \$219 million, and, on average, that probably  
12 justifies spending an extra \$50,000 to \$100,000, but  
13 you've got a risk. 60 percent of the time you're  
14 going to get no Morrow, and another 30 percent of the  
15 time, you're going to get only a small amount of  
16 Morrow production.

17           So the Morrow is, I think, clearly more  
18 risky than the Canyon in this area.

19           Q.     And all the wells shown on Exhibit 14 are  
20 Morrow penetrations?

21           A.     All the wells are Morrow penetrations, yes,  
22 sir.

23           Q.     If you'll move to Exhibit 15 and identify  
24 that exhibit and describe the information shown.

25           A.     Exhibit 15 is a tabular listing backup for

1 Exhibit 14, and it contains more details, but it  
2 doesn't add anything to the conclusions. It supports  
3 the conclusions of Exhibit 14.

4 Q. From your review of this information, what  
5 conclusions do you draw about your proposed well, the  
6 John well?

7 A. Easy conclusion is that the Morrow is quite  
8 risky.

9 As far as the Canyon goes, we're moving out  
10 to the south away from where we produced, and we're  
11 moving towards the old Conoco wells, which really  
12 don't look that good; so you're probably going to get  
13 some production, but there is a chance that it won't  
14 be enough to pay the high operating cost and the  
15 disposal and the sweetening, etc., involved.

16 Q. What sort of production does a Canyon well  
17 need to have to be economic in the Dagger Draw area?

18 A. A typical well makes 100 barrels of oil a  
19 day, 800 to 1,000 barrels a water of day, and several  
20 hundred Mcf of gas, and that is barely -- that kind of  
21 numbers are barely economic, but 90 percent water is  
22 kind of the norm.

23 We're moving down here to the south, and  
24 we're getting to the part of the reservoir, the updip  
25 part of the reservoir where the oil is going away, and

1 there's more gas. So the oil numbers here that we've  
2 looked at are lower, and a lot of them are 100 barrels  
3 a day, but some of the wells are making more than a  
4 couple hundred Mcf of gas.

5           From the main part of the field, which my  
6 thinking is attuned to, 100 barrels of oil with no  
7 more than 1,000 barrels of water will probably get you  
8 an economic well. Down here, we don't have that much  
9 experience, and we've got some wells that are making  
10 1/2 million cubic feet a day up to a million cubic  
11 feet a day with 500 barrels of water, 700 barrels of  
12 water, etc. I don't know if they're going to turn out  
13 to be economic or not. It depends if the water would  
14 go away a little bit, they would be economic, but if  
15 the water stays that high, it's going to be close, and  
16 I've run out detailed calculations on all these  
17 things, and I worry every time we drill one because I  
18 don't know what we're going to get.

19           Q.       Based upon your review of this data, do you  
20 have a recommendation to make to the Examiner as to a  
21 risk factor penalty to be ordered in this case?

22           A.       The risk factor penalty ought to be 200  
23 percent.

24           Q.       In your opinion will the granting of this  
25 application be in the interest of the conservation of

1 oil and gas, the prevention of waste, and the  
2 protection of correlative rights?

3 A. Yes, sir.

4 Q. Were Exhibits 9 through 15 prepared by you  
5 or under your direction or supervision?

6 A. Yes, they were.

7 MR. VANDIVER: Mr. Examiner, I would move  
8 admission of Applicant's Exhibits 9 through 15, and I  
9 have no further questions of the witness.

10 HEARING EXAMINER: Exhibits 9 through 15  
11 will be admitted into evidence at this time, and  
12 neither do I.

13 Does anybody have any questions of Dr.  
14 Boneau? There being none, he may be excused.

15 Does anybody have anything further in Case  
16 No. 9869? If not, this case will be taken under  
17 advisement.

18

19

20

21

22

23

24

25




## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
COUNTY OF SANTA FE )

I, Deborah O'Bine, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL February 22, 1989.

  
DEBORAH O'BINE  
CSR No. 127

My commission expires: August 10, 1990

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9869, heard by me on 21 February 1990.

  
Martin H. Hays, Examiner  
Oil Conservation Division