

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 10268
APPLICATION OF BTA OIL PRODUCERS)
FOR SALT WATER DISPOSAL, EDDY)
COUNTY, NEW MEXICO)
)
)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

March 21, 1991
10:30 a.m.
Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on March 21, 1991, at 10:30 a.m. at Oil Conservation Division Conference Room, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Paula Wegeforth, Certified Court Reporter No. 264, for the State of New Mexico.

FOR: OIL CONSERVATION DIVISION BY: PAULA WEGEFORTH
Certified Court Reporter
CSR No. 264

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

March 21, 1991
Examiner Hearing

CASE NO. 10268

APPEARANCES

PAGE
3

APPLICANT'S WITNESSES

VAN STEPHEN SALMON

Direct Examination by Mr. Carr

Examination by Examiner Stogner

4
18

REPORTER'S CERTIFICATE

26

* * *

E X H I B I T S

ADMTD

APPLICANT'S EXHIBIT

1 and 2

18

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.
 General Counsel
 Oil Conservation Commission
 State Land Office Building
 310 Old Santa Fe Trail
 Santa Fe, New Mexico 87501

FOR THE APPLICANT: CAMPBELL & BLACK, P.A.
 Attorneys at Law
 BY: WILLIAM F. CARR, ESQ.
 110 North Guadalupe
 Santa Fe, New Mexico 87501

* * *

1 EXAMINER STOGNER: Call next case, 10268, which is the
2 application of BTA Oil Producers for a salt water disposal
3 in Eddy County, New Mexico.

4 Did I get did county right, Mr. Carr?

5 MR. CARR: Yes, sir.

6 EXAMINER STOGNER: At this time I'll call for
7 appearances.

8 EXAMINER STOGNER: May it please the examiner, my name
9 is William F. Carr with the law firm of Campbell & Black,
10 P.A., of Santa Fe. We represent BTA Oil Producers, and I
11 have one witness.

12 EXAMINER STOGNER: Are there any other appearances in
13 this matter?

14 Will the witness please stand and be sworn?

15 (Whereupon the witness was duly sworn.)

16 EXAMINER STOGNER: Mr. Carr.

17 MR. CARR: At this time we call Mr. Salmon.

18 VAN STEPHEN SALMON,

19 the Witness herein, having been first duly sworn, was
20 examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. CARR:

23 Q. Would you state your full name for the record,
24 please?

25 A. Yes. My name is Van Stephen Salmon.

1 Q. Where do you reside?

2 A. Midland, Texas.

3 Q. By whom are you employed and in what capacity?

4 A. I'm employed by BTA Oil Producers as a petroleum
5 engineer.

6 Q. Mr. Salmon, have you previously testified before
7 the Oil Conservation Division and had your credentials as a
8 petroleum engineer accepted and made a matter of record?

9 A. Yes.

10 Q. Are you familiar with the application filed in
11 this case on behalf of BTA Oil Producers?

12 A. Yes.

13 Q. And are you familiar with the subject well?

14 A. Yes.

15 MR. CARR: Are the witness' qualifications acceptable?

16 EXAMINER STOGNER: For the record, let's go over those
17 qualifications again if you could, Mr. Carr.

18 MR. CARR: All right.

19 Q. (By Mr. Carr) Mr. Salmon, could you briefly
20 summarize for the examiner your educational background?

21 A. Yes. I graduated from Texas Tech -- it was
22 called Texas Technological College at the time; it's Texas
23 Tech now -- in January of 1966 with a bachelor of science
24 in civil engineering. Following that I was employed by Pan
25 American Petroleum for five years as a petroleum engineer,

1 and I have worked for BTA Oil Producers for 20 years as a
2 petroleum engineer.

3 Q. Mr. Salmon, does your geographic area of
4 responsibility for BTA include the portion of southeastern
5 New Mexico which is involved in this application?

6 A. Yes.

7 Q. And are you familiar with the facts surrounding
8 the drilling and -- original drilling and subsequent
9 shutting in of the Pardue C No. 1 Well?

10 A. Yes.

11 MR. CARR: Are the witness' qualifications acceptable?

12 EXAMINER STOGNER: Mr. Salmon is so qualified. Thank
13 you, Mr. Carr.

14 Q. (By Mr. Carr) Could you briefly state what BTA
15 seeks with this application?

16 A. Yes. BTA is requesting authority to dispose of
17 produced water in its 8808 JV-P Pardue C Well No. 1.

18 Q. What is the present status of this well?

19 A. The well is currently shut in.

20 Q. Could you identify what has been marked as BTA
21 Exhibit No. 1 for the examiner?

22 A. Yes. This is the OCD form C-108 and its
23 supporting documents.

24 Q. What is the injection interval that is proposed?

25 A. We are proposing to inject water into the Cherry

1 Canyon part of the Delaware from 3,500 to 3,875 feet.

2 Q. Mr. Salmon, let's now turn to the plat contained
3 in the Exhibit No. 1 that is on the fifth page, and I'd ask
4 you to identify that for the examiner and just briefly
5 review what it shows.

6 A. Yes. This is a plat of the well and its
7 surrounding area. Its scale is one inch equals 4,000 feet.
8 The subject well is located at the center of the two
9 circles. The official location is 176 feet from the south
10 line, 1,550 feet from the west line, Section 11,
11 Township 23 south, Range 28 east, in Eddy County,
12 New Mexico.

13 The outside circle is a radius of two miles.
14 The smaller circle is a radius of a half mile that defines
15 the investigation area. There are 14 wells shown on the
16 map other than the proposed injection well within the
17 half-mile radius.

18 Q. Since the application was filed, has one
19 additional well been drilled within the area of review?

20 A. Yes. The Pardue C No. 1-Y was drilled as a
21 replacement well for this well. It is located just
22 northwest of this well. Its location is 611 feet from the
23 south line and 1,504 feet from the west line of the same
24 section.

25 Q. And that is a well drilled by BTA?

1 A. Yes.

2 Q. The leasehold ownership in the area of review,
3 is that set forth in this exhibit somewhere?

4 A. Yes. The last page of the exhibit is a
5 certification by Dorothy Houghton that she notified the
6 surface owner and the offset mineral owners within a half
7 mile.

8 It shows the surface owner on this least is
9 Mississippi Chemical Corporation out of Carlsbad,
10 New Mexico. Bird Creek is one of the offset mineral
11 owners. They operate in the northwest quarter of
12 Section 14, which is just to the south of the well. They
13 also operate in the northeast quarter of Section 15, which
14 is just to the southwest of the well.

15 Oryx Energy operates in the southeast-southeast
16 quarter of Section 10, which is to the west of the well.
17 Pogo Producing operates in the northeast quarter of the
18 southeast quarter of Section 10, which is to the
19 west-northwest of the well. And RB Operating Company
20 operates in the southeast quarter of Section 11 and in the
21 northeast quarter of Section 14, which is to the east and
22 southeast of the well.

23 BTA is not shown there, but we operate in the
24 west half of Section 11.

25 Q. Mr. Salmon, would you go to the portion of this

1 exhibit which contains tabular data on the wells within the
2 area of review which penetrate the injection zone -- I
3 believe those are pages 6 through 12 of the exhibit -- and
4 review them for the examiner?

5 A. Yes. The tabular data for the offset wells are
6 shown in this exhibit. I believe it starts right after
7 this map.

8 The first well listed is pretty typical of the
9 wells in the area. It's the Pardue C Well No. 2. It's
10 located -- the well name shown first following this is the
11 location. This well was located 560 feet from the south
12 line, 660 feet from the west line of Section 11,
13 Township 23 south, Range 28 east. It's an oil producer in
14 the Delaware. Eight-and-five-eighths-inch casing was run
15 in the well to 527 feet. It was cemented with 400 sacks of
16 cement, and it's circulated.

17 Five-and-a-half-inch casing was run in the well
18 to TD. It's the production string. It was run to 6,250
19 feet. Again, the cement was circulated.

20 The next piece of information that is shown is
21 the date drilled or the spud date. This was February the
22 22nd, 1990, on this well.

23 Following this, the record of completion shows
24 the perforations: 6,031 to 6,140 feet. Initial potential:
25 158 barrels of oil per day flowing. Completed on March the

1 8th, 1990.

2 Q. Now, Mr. Salmon, for each of the wells in the
3 area of review, similar information is presented on the
4 following six pages?

5 A. This is true. The surface casing was all run
6 close to the same depth. Some of it a little shallower or
7 a little deeper. Cement was either circulated on them, or
8 if we didn't have the information, there was sufficient
9 cement that it very well should have circulated or at least
10 came close.

11 On the five-and-a-half-inch casing, the tops of
12 cement ranged from a thousand feet below the surface to
13 circulating on the ones that we have information on. On
14 the wells that we don't have information on, there was
15 plenty of cement to get it put in to get up this high.

16 The next page shows one well that is different
17 than the other wells in the area. This is the
18 8808 JV-P Pardue Well No. 1. This well was drilled as an
19 Atoka producer with a TD of 12,868 feet. It again has the
20 upper part of the well bore protected pretty well with
21 16-inch pipe ran to 433 feet with the cement circulated.
22 Ten-and-three-quarter-inch pipe ran to 2,614 feet, with
23 again the cement circulating. Seven-and-seven-eighths-inch
24 pipe ran to 10,700 feet, with the top of the cement brought
25 it back up to 450 feet.

1 Q. Mr. Salmon, what is the location of that well?

2 A. Of the Pardue Well No. 1? This is -- we had a
3 typo on the sheet on this particular well. The location on
4 the form here is shown as 2,310 feet from the south and 660
5 feet from the east line.

6 Q. And you have --

7 A. The correct location is 660 feet from the west
8 line.

9 Q. And you have reviewed all of the information in
10 this tabular presentation, and aside from that, it's
11 correct and accurate?

12 A. This is true. And the Pardue C 1-Y was not
13 included in the tabular presentation. It was drilled after
14 this was prepared, but it's essentially completed like the
15 other Delaware wells are.

16 Q. Mr. Salmon, are there any plugged and abandoned
17 wells within the area of review which penetrate the
18 injection zone?

19 A. No.

20 Q. Will you refer to the schematic drawing of the
21 proposed injection well, which is on page 4 of this
22 exhibit, and review the present proposed completion for the
23 examiner?

24 A. Yes. The data shown here is -- shows the
25 present status and some of the projected completion data.

1 The original perforate TD was 6,250 feet. The -- it was
2 originally completed in the Delaware from 6,041 to 6,114
3 feet.

4 We currently have a cast-iron bridge plug. The
5 number shown on this sheet was the proposed set in depth.
6 We have now set that. We set it at 5,915 feet. We capped
7 it with 35 feet of cement.

8 The proposed injection interval from 3,500 to
9 3,875 feet is shown here. We have not actually perforated
10 in that interval at this time.

11 In addition, the two-and-seven-eighths-inch
12 fiberglass tubing and the Baker Loc-Set Packer that is
13 shown on the schematic are not in the well bore at this
14 time, but they are -- this is what we're proposing to run.

15 Again, on this well we feel that the surface
16 will be well protected. The top of the cement on the
17 five-and-a-half-inch casing is at a thousand feet, and we
18 ran eight-and-five-eighths-inch casing to 535 feet, and the
19 cement is circulated.

20 Q. Will the annular space be filled with a fluid
21 and the well equipped with a gauge so that that space can
22 be pressure tested as required by the Federal Underground
23 Injection and Control Program rules?

24 A. Yes.

25 Q. Now, under what formation is it you're proposing

1 to inject?

2 A. It will be the Cherry Canyon part of the
3 Delaware.

4 Q. And what is the source of the water you propose
5 to inject in this?

6 A. The source of the water will be the lower
7 Delaware, roughly in the interval from 6,000 to 6,200 feet,
8 mainly from the BTA Pardue leases.

9 Q. And so --

10 A. We may dispose of some off-lease water.

11 Q. And what is presently being done with this
12 water?

13 A. It is currently being trucked.

14 Q. What volumes are you proposing to inject in this
15 well?

16 A. We're asking for a 500-barrel-of-water-per-day
17 average rate with a maximum daily rate of a thousand
18 barrels per day.

19 Q. Is this going to be an open or closed system?

20 A. It will be open.

21 Q. Do you propose to inject by gravity or under
22 pressure?

23 A. We anticipate that we will be injecting under
24 pressure. Until we run injectivity tests, we can't be a
25 hundred percent sure.

1 Q. What would you anticipate being the maximum
2 pressure you would need to use?

3 A. We are asking for a maximum pressure of 1,250
4 pounds.

5 Q. And how does this compare to the two-tenths
6 pound per foot of depth to the top of the injection
7 interval standard that is utilized by the OCD?

8 A. It is higher than that. The two-tenths standard
9 would be approximately 700 pounds.

10 Q. If you have to go above 700 pounds, how would
11 you recommend that be handled?

12 A. As I understand it, if we go above the 700
13 pounds, within 60 days we will be required to run a
14 step-rate test to show what the fracturing pressure of the
15 formation is, and future injection pressures will be
16 required to stay below that pressure.

17 Q. Could you refer to the water analyses of the
18 injection fluid contained in this exhibit, and I believe
19 they are on pages 15 through 19 of the exhibit?

20 A. Right. These are labeled as Exhibits A-1
21 through A-5. They are -- were filed with the application
22 here.

23 These show the water analysis from various
24 Delaware-producing wells on the BTA Pardue leases. The
25 well does have a fairly high chloride. Sodium chloride on

1 the first one is 196,000 milligrams per liter. It is above
2 190,000 on all of the Delaware wells.

3 The total dissolved solids is shown as being
4 290,000 milligrams per liter. It is over 290,000 on all of
5 the Delaware water analyses.

6 Q. Basically you will be injecting Delaware water
7 back into the Delaware formation?

8 A. Yes, we will be.

9 Q. Are there --

10 A. We think that the waters will be compatible
11 because it is Delaware water going into Delaware. In
12 addition, we asked Waylan Martin with Martin Water Labs to
13 give his opinion on the compatibilities of the water, and
14 following the Exhibit A-5 is a sheet labeled Exhibit B.

15 Q. That's page 20 of this exhibit?

16 A. That is a letter from Waylan Martin stating that
17 he feels that they will be compatible.

18 Q. Mr. Salmon, are there fresh-water zones in the
19 area?

20 A. Yes.

21 Q. Would you refer to the plat which is on page 21
22 of this exhibit and identify that for Mr. Stogner?

23 A. Yes. This is a plat of the same area as the
24 previous plat. It -- the blue areas with the numbers on
25 them are the approximate locations of fresh-water wells.

1 Q. And are they producing from the Ogalala?

2 A. Yes, they are producing from the Ogalala.

3 Q. And behind that plat you have water analyses for
4 each of the wells indicated?

5 A. We have water analyses for 1, 2, 3, 4, 5, 6 and
6 7 that correlate with the wells with the numbers shown on
7 the plat.

8 One of the samples, which is Sample No. 4, --
9 it's No. 1 on the second sheet -- is Pecos River water that
10 we included just for comparison. This water is shown to be
11 relatively fresh, of course, compared to the Delaware with
12 a chloride of 4,048 or less, and a total dissolved solids
13 of 11,192 or less.

14 Q. Now, the last page of this exhibit is the
15 certification that notice was provided in accordance with
16 OCD rules on February 21; is that right?

17 A. That's right.

18 Q. Could you identify what has been marked BTA
19 Exhibit No. 2?

20 A. Yes. This is a spectral-density, dual-space
21 neutron log ran by Halbritton Logging Services on the
22 subject well.

23 Towards the bottom of the log in the intervals
24 from 6,041 to about 6,114 the original perforations are
25 shown. This is the main Delaware pay in the area, and this

1 will be the source from other wells of the water that we
2 will be disposing into.

3 Above this, at 9,015 feet, it is shown that we
4 have a cast-iron bridge plug, and that we have capped that
5 interval with 35 feet of cement.

6 The proposed -- or the top of the Cherry Canyon
7 is shown at 3,419 feet, and the injection interval is not
8 shown on -- is not marked on the log, but it would be 3,500
9 to 3,850 feet.

10 We feel that -- the gamma ray is on the left
11 tract. There's a well-defined shale section from about
12 3,450 to 3,374 above the zone.

13 There's another well-defined shale tract
14 starting at -- or several small shale intervals starting at
15 about 3,800 and going down to 3,920 that we feel like will
16 be a good seal to confine the water to the interval.

17 Q. Mr. Salmon, have you examined available geologic
18 and engineering data on this area, and as a result of this
19 examination, have you found any evidence of open faults or
20 other hydrologic connections between the disposal zone and
21 any underground source of drinking water?

22 A. No.

23 Q. In your opinion, will granting this application
24 be in the best interests of conservation, the prevention of
25 waste and the protection of correlative rights?

1 A. Yes.

2 Q. Have you reviewed Exhibits 1 and 2, and can you
3 testify as to their accuracy?

4 A. Yes.

5 MR. CARR: At this time, Mr. Stogner, we would move
6 the admission of BTA Exhibits 1 and 2.

7 EXAMINER STOGNER: Exhibits 1 and 2 will be admitted
8 had into evidence.

9 (Whereupon Applicant's Exhibits 1 and 2 were admitted
10 into evidence.)

11 MR. CARR: That concludes my direct examination of Mr.
12 Salmon.

13 EXAMINATION

14 BY EXAMINER STOGNER:

15 Q. Mr. Salmon, in looking at page 4 -- that is your
16 proposed completion -- I show the bottommost perf, proposed
17 perf, at 3,875, and then the 35 sacks of cement on top of a
18 cast-iron bridge plug setting at 5,900 feet. That looks
19 about -- what? -- about a hundred and -- I mean -- I'm
20 sorry -- about almost 2,000 feet of open space, or what are
21 we looking at there?

22 A. Yes, that would be about 2,000 feet.

23 Q. Do you see any problem on that or any potential
24 problem?

25 A. No, I don't think it would create a problem.

1 There is cement behind the casing over that whole interval.
2 If it creates a problem, we can, if requested, set another
3 plug in there.

4 Q. Was that cast-iron bridge plug, when it was set,
5 tested?

6 A. I'm not familiar with the testing or how it was
7 tested. I can't testify to that.

8 Q. On your fiberglass tubing, do you know the
9 specifications on that particular tubing?

10 A. No.

11 Q. Could you provide me with that information?

12 A. Yes, we can.

13 Q. Has BTA used fiberglass tubing in any other
14 injection wells in southeast New Mexico?

15 A. I'm not personally familiar with any. I can
16 check on that, and if we have, I can supply the
17 information. But I'm not personally familiar with any.

18 Q. In referring to page 3, the top of the cement
19 and your five-and-a-half-intermediate casing was measured
20 by temperature survey at one thousand feet.

21 A. Yes.

22 Q. Now, when I refer to -- starting on page 6 --
23 and you said this was a typical well, though, No. 2,
24 Pardue C Well?

25 A. Yes.

1 Q. Something jumps out in front of me here, and we
2 need to go over it a little bit.

3 A. Okay.

4 Q. In the intermediate -- I'm sorry. In the
5 production string of casing, five-and-a-half-inch casing,
6 you ran 1,317 sacks of cement, and it circulated?

7 A. Yes.

8 Q. But the well underneath it appears to be the
9 same -- correct me if I'm wrong -- and that had 1,300 sacks
10 of cement, but the top of the cement was measured at 1,100.
11 I don't know how it was measured.

12 Was that temperature survey? Do you know?

13 A. I'm assuming it was, yes. We use the
14 temperature survey to define the cement on our wells.

15 Yeah, there is a difference there of a thousand
16 feet, and this could very well be -- I can't tell you
17 exactly why they are different.

18 Q. Let's keep continuing on to page 7, and the --
19 in this particular case, the casing that's open to their
20 proposed interval would be the seven and five-eighths; is
21 that correct?

22 A. The seven and seven-eighths. You're talking
23 about --

24 Q. I'm sorry, seven and seven-eighths.

25 A. You're talking about the Pardue well No. 1?

1 Q. Yes, sir.

2 A. Yes.

3 Q. And then the top of cement is at 450 feet?

4 A. Right.

5 Q. Do you know if that was temperature survey or

6 calculations?

7 A. I'm sure it was a temperature survey.

8 Q. And same with the Pardue No. 1?

9 A. Yes.

10 Q. Temperature survey?

11 A. Yes.

12 Q. Okay. On page 8, I don't have a top of cement.

13 Could you provide that for me either by temperature

14 survey -- if this being some other operator, either

15 temperature survey or a calculation?

16 A. I don't have that, but we can see if we can get

17 that from the operator or from the New Mexico forms, or we

18 will provide it with calculation. I don't have it.

19 Q. And if you have to calculate it, if you would,

20 show your calculations.

21 A. Yes. Yes, if we calculate it, we will.

22 Q. And as I continue on through here, I don't show

23 a top of cement for any of the wells after that in the

24 producing string?

25 A. Right. Right. We didn't have it on the

1 outside-operated wells, but we will see if we can obtain
2 that and get it to you.

3 Q. Okay. Also, if you'll provide the completion
4 interval on that number -- the replacement well, the
5 No. 1-Y for the production string.

6 A. Right. I can give that to you.

7 Q. Okay.

8 A. The completion interval of the No. 1-Y -- it was
9 perforated from over the gross interval 6,020 to 6,098
10 feet.

11 Q. How about the production string?

12 A. The production string was five and a half inch;
13 ran to 6,200 feet, and the cement circulated.

14 Q. Do you know how much cement it took to
15 circulate?

16 A. 1,300 sacks.

17 Q. Will the Cherry Canyon take this fluid, or will
18 there be stimulation required?

19 A. We anticipate a -- I think we anticipate an acid
20 job. Then we will run injectivity tests. If it won't take
21 it at that point, it may require a fracture treatment.

22 Until we run our injectivity tests, we aren't a
23 hundred percent sure what we'll be needing.

24 Q. Do you know what the --

25 EXAMINER STOGNER: Before I ask this next question,

1 Mr. Carr, what are your next witness' credentials?

2 MR. CARR: This is the only witness we'll call.

3 EXAMINER STOGNER: Oh, I'm sorry. I thought you said
4 two. I'm sorry.

5 MR. CARR: If I said two, I misspoke.

6 EXAMINER STOGNER: No. I'm thinking previously.

7 Q. (By Examiner Stogner) Do you know what the
8 thickness of the Cherry Canyon in this interval of the
9 Delaware is, Mr. Salmon?

10 A. I don't have a specific bottom of the Cherry
11 Canyon. The way our -- we're picking it is that it would
12 go down almost to the Brushy Canyon, which would -- the
13 next top I have on the log is 4,668 feet, but I don't have
14 a specific bottom on the Cherry Canyon.

15 Alls that I've ever picked on logs and alls
16 we've ever picked for the Cherry Canyon has been the top,
17 and I don't have a specific base of the Cherry Canyon.

18 Q. And your Cherry Canyon is shown to be at -- the
19 top of the Cherry Canyon -- 3,410; is that correct?

20 A. 3,419.

21 Q. 3,419.

22 A. And whether officially the rest of this will be
23 Cherry Canyon, I really don't know.

24 Q. Now, is it necessarily true that the top of the
25 Cherry Canyon is also the top of the Delaware?

1 A. No. The top of the Delaware would be on up the
2 log. You have the Bell Canyon, which is also part of the
3 Delaware, at 2,613 feet, and then the top of the Delaware,
4 where I would pick it, would be 2,580 feet.

5 EXAMINER STOGNER: I have no further questions of this
6 witness, Mr. Carr.

7 Double-check me, Mr. Carr. I'll need
8 information on the specifications for the --

9 MR. CARR: Fiberglass tubing.

10 EXAMINER STOGNER: -- fiberglass tubing.

11 MR. CARR: And you need either actual or calculated
12 tops of cement for all wells that don't have it in the
13 exhibit, and if they are calculated, you'd like to see the
14 actual calculations.

15 EXAMINER STOGNER: That's right. And if you'll
16 provide me with that information, Mr. Carr --

17 MR. CARR: Will do.

18 EXAMINER STOGNER: -- subsequent to the hearing.

19 MR. CARR: Yes, sir.

20 EXAMINER STOGNER: Other than that, I have no other
21 questions at this time.

22 Anything further?

23 MR. CARR: Nothing further, sir.

24 EXAMINER STOGNER: I'm going to leave the record on
25 this case open pending that additional information,

1 Mr. Carr, so I guess we'll adjourn this particular case for
2 today.

3
4 (The foregoing hearing was concluded at the
5 approximate hour of 10:55 a.m.)

6 * * *

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I do hereby certify that the foregoing is
a complete and true record of the proceedings in
the Deamner hearing of Case No. 10268,
heard by me on 21 March 1991.
Michael E. Stinson, Examiner
Oil Conservation Division

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)


REPORTER'S CERTIFICATE

I, PAULA WEGEFORTH, a Certified Court Reporter and Notary Public, DO HEREBY CERTIFY that I stenographically reported these proceedings before the Oil Conservation Division; and that the foregoing is a true, complete and accurate transcript of the proceedings of said hearing as appears from my stenographic notes so taken and transcribed under my personal supervision.

I FURTHER CERTIFY that I am not related to nor employed by any of the parties hereto, and have no interest in the outcome hereof.

DATED at Santa Fe, New Mexico, this 20th day of April, 1991.

My Commission Expires:
September 27, 1993


PAULA WEGEFORTH
Certified Court Reporter
CSR No. 264, Notary Public