

NEW MEXICO OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
STATE OF NEW MEXICO
CASE NO. 10412

IN THE MATTER OF:

The Application of MW Petroleum
Corporation/Apache Corporation
to amend Division Order No.
R-9487-A, Eddy County, New Mexico.

BEFORE:

MICHAEL E. STOGNER

Hearing Examiner

State Land Office Building

November 21, 1991

REPORTED BY:

DEBBIE VESTAL
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

1 EXAMINER STOGNER: At this time I will
2 call the next case, No. 10412, which is the
3 Application of MW Petroleum Corporation/Apache
4 Corporation to amend Division Order No. R-9487-A,
5 Eddy County, New Mexico. Said order authorized
6 the drilling of a well at an unorthodox gas well
7 location in Unit E of Section 12, Township 22
8 South, Range 23 East in the Indian Basin Upper
9 Pennsylvanian Gas Pool.

10 At this time the applicant specifically
11 seeks to amend the gas allowable acreage factor
12 assigned to the well by said order. However, the
13 applicant has requested that this case be
14 continued to the Examiner Hearing scheduled for
15 December 5, 1991, which is scheduled for this
16 room, in Santa Fe, New Mexico.

17 Case No. 10412 is therefore continued
18 to the Examiner's Hearing scheduled for December
19 5.

20 (And the proceedings were concluded.)
21
22

23 I do hereby certify that the foregoing is
24 a true and correct copy of the record as
25 heard by me on 10/4/91 at 10412.


Michael J. Stogner, Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL NOVEMBER 27,
1991.



DEBBIE VESTAL, RPR
NEW MEXICO CSR NO. 3

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10412

5
6 IN THE MATTER OF:7
8 The Application of MW Petroleum
9 Corporation/Apache Corporation
10 to amend Division Order No.
11 R-9487-A, Eddy County, New Mexico.12
13
14 BEFORE:15
16 DAVID R. CATANACH

17 Hearing Examiner

18 State Land Office Building

19 December 5, 1991

20
21
22 REPORTED BY:23 DEBBIE VESTAL
24 Certified Shorthand Reporter
25 for the State of New Mexico**ORIGINAL**

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Post Office Box 2208
Santa Fe, New Mexico 87504-2208
BY: WILLIAM F. CARR, ESQ.

FOR MUSELMAN, OWEN & KING OPERATING, INC.:

HINKLE, COX, EATON, COFFIELD & HENSLEY
500 Marquette, Northwest, Suite 740
Albuquerque, New Mexico 87102-2121
BY: JAMES BRUCE, ESQ.

FOR MARATHON OIL COMPANY:

KELLAHIN, KELLAHIN & AUBREY
Post Office Box 2265
Santa Fe, New Mexico 87504-2265
BY: W. THOMAS KELLAHIN, ESQ.

I N D E X

	Page Number
Appearances	2
WITNESSES:	
1. CECI SEARLS LEONARD	
Examination by Mr. Carr	6
Examination by Mr. Bruce	28, 51
Examination by Mr. Kellahin	34
Examination by Examiner Catanach	41
Examination by Mr. Stovall	45
2. JOHN POLASEK	
Examination by Mr. Carr	52
Examination by Mr. Bruce	60
Examination by Mr. Kellahin	63
Examination by Mr. Stovall	65
3. BOB STATTON	
Examination by Mr. Bruce	66, 93
Examination by Mr. Carr	71, 92
Examination by Mr. Kellahin	76
Examination by Examiner Catanach	81, 90
Examination by Mr. Stovall	85, 91
Certificate of Reporter	121

E X H I B I T S

Page Marked

1		
2		
3		
4	Exhibit No. 1	8
5	Exhibit No. 2	11
6	Exhibit No. 3	16
7	Exhibit No. 4	17
8	Exhibit No. 5	19
9	Exhibit No. 6	22
10	Exhibit No. 7	27
11	Exhibit No. 8	55

12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 EXAMINER CATANACH: At this time we'll
2 call Case 10412.

3 MR. STOVALL: Application of Yates --
4 Application of MW Petroleum Corporation/Apache
5 Corporation to amend Division No. R-9487-A, Eddy
6 County, New Mexico.

7 EXAMINER CATANACH: Are there
8 appearances in this case?

9 MR. CARR: May it please the Examiner,
10 my name is William F. Carr with the law firm of
11 Campbell, Carr, Berge & Sheridan of Santa Fe. I
12 represent MW Petroleum Corporation in this case,
13 and I have two witnesses.

14 EXAMINER CATANACH: Other appearances?

15 MR. BRUCE: Mr. Examiner, my name is
16 James Bruce from the Hinkle law firm in
17 Albuquerque, representing Musselman, Owen & King
18 Operating, Inc. I have one potential witness.

19 EXAMINER CATANACH: And other
20 appearances?

21 MR. KELLAHIN: Mr. Examiner, I'm Tom
22 Kellahin, of the Santa Fe law firm of Kellahin,
23 Kellahin & Aubrey, appearing on behalf of
24 Marathon Oil Company. I do not have witnesses in
25 this case.

1 EXAMINER CATANACH: Will the witnesses,
2 potential witnesses, please, stand and be sworn
3 in.

4 (The witnesses were duly sworn.)

5 MR. CARR: At this time I call Ceci
6 Leonard.

7 CECI SEARLS LEONARD

8 Having been duly sworn upon her oath, was
9 examined and testified as follows:

10 EXAMINATION

11 BY MR. CARR:

12 Q. Would you state your name for the
13 record, please.

14 A. My name is Ceci Leonard.

15 Q. And would you spell "Ceci" for us?

16 A. C-e-c-i.

17 Q. Where do you reside?

18 A. In Houston, Texas.

19 Q. By whom are you employed and in what
20 capacity?

21 A. I'm employed by Apache Corporation as a
22 Senior Staff Reservoir Engineer.

23 Q. Have you previously testified before
24 this Division and had your credentials as a
25 petroleum engineer accepted and made a matter of

1 record?

2 A. Yes, I have.

3 Q. Are you familiar with the application
4 filed in this case on behalf of MW Petroleum
5 Corporation?

6 A. Yes, I am.

7 Q. And are you familiar with the well that
8 is the subject of this hearing and the area that
9 surrounds the well?

10 A. Yes, I am.

11 MR. CARR: Are the witness'
12 qualifications acceptable?

13 EXAMINER CATANACH: They are.

14 Q. (BY MR. CARR) Would you briefly state
15 what MW seeks with this application.

16 A. MW seeks to amend the gas allowable
17 acreage factor assigned to our recently drilled
18 Smith Federal Gas Com. No. 2 well.

19 Q. And that was approved by Division Order
20 No. R-9487-A?

21 A. Yes, it was.

22 Q. And a penalty was imposed on the well
23 by that order?

24 A. Yes, it was.

25 Q. What is the location of the Smith

1 Federal Gas Com. Well No. 2?

2 A. The well is located 2,049 feet from the
3 north line and 480 feet from the west line of
4 Section 12.

5 Q. This is in 22 South, 23 East?

6 A. Yes, it is.

7 Q. And in what pool is the well completed?

8 A. It's Indian Basin-Upper Penn gas pool.

9 Q. What are the spacing and well location
10 requirements for this pool?

11 A. The spacing is 640 acres per well, and
12 the setback requirements are 1650 feet from the
13 section line boundaries.

14 Q. Is this a prorated gas pool?

15 A. Yes, it is.

16 Q. So any penalty that is imposed on the
17 well can be applied to the acreage factor in the
18 allowable formula?

19 A. That's correct.

20 Q. Could you refer to what has been marked
21 as MW/Apache Exhibit No. 1 and first identify
22 that and then review it for the Examiner. And in
23 so doing, I think it would be helpful if you
24 would provide some general background on this
25 well and how we got to the hearing today.

1 A. Exhibit No. 1 is a Form C-102, a well
2 location and acreage dedication plat. This was
3 the one that was filed on the Smith Federal Gas
4 Com. No. 2.

5 I'm going to first tell you a little
6 bit about the history on how MW Petroleum came to
7 be. Amoco Corporation was the original owner of
8 the properties in Indian Basin. They assigned
9 their interest to a subsidiary of theirs called
10 MW Petroleum a couple of years ago.

11 Then Apache Corporation bought MW
12 Petroleum from Amoco effective July 1 of this
13 year. So all of the MW Petroleum properties are
14 now wholly-owned by Apache Corporation.

15 Q. All right. Now, when was the Smith
16 Federal No. 2 well originally proposed, and how
17 was it proposed?

18 A. Amoco, in April of 1991, originally
19 proposed that we sidetrack or that a well be
20 sidetracked from the Smith Federal Gas Com. No. 1
21 location to a bottom-hole location window that
22 you see on this plat. The boundaries of that
23 window are 330 feet to 430 feet from the west
24 line and 1800 to 2000 feet from the north line of
25 the section.

1 In July they reentered the Smith
2 Federal Gas Com. No. 1 and found that the casing
3 could not take being reentered. There were
4 numerous casing leaks in the intermediate casing,
5 and so the well was plugged and abandoned.

6 Then in August of 1991 Apache came
7 before this Commission and requested a
8 straight-hole location, that straight-hole being
9 the 480 feet from the west line and the 2049 feet
10 from the north line.

11 The Commission did grant our
12 application. And Apache drilled this well in
13 October of this year.

14 Q. When the well was originally approved
15 on the Amoco application, what penalty was
16 imposed by the Division on that well?

17 A. A 0.49.

18 Q. When you came back and proposed the
19 straight hole in lieu of the deviated hole, did
20 you request the same penalty?

21 A. Yes, we did.

22 Q. And you received approval to drill a
23 straight hole at that location?

24 A. Yes, we did.

25 Q. Could you explain what happened when

1 you drilled that well that has brought you back
2 here today?

3 A. After drilling the No. 2 well, we
4 tested an interval that was below the perforated
5 interval in the Smith No. 1 well. And that
6 interval did test water-free and at commercial
7 gas rates.

8 As a result of that test, we are now
9 seeking to amend the penalty factor that was
10 imposed in the original order.

11 Q. Do the input factors that resulted in
12 the penalty in the original order accurately
13 reflect the reservoir as you know it to be today?

14 A. No, they don't.

15 Q. Let's go to what has been marked
16 MW/Apache Exhibit No. 2, and I would ask you
17 first to identify that and then review it for Mr.
18 Catanach.

19 A. This is a structure map on the top of
20 the Penn. It was developed by John Polasek, who
21 is a geologist with our company.

22 Q. Is Mr. Polasek also going to testify in
23 this case?

24 A. Yes, he is.

25 Q. This particular structure map is in the

1 southeast portion of the Indian Basin gas pool.

2 Q. Now, before we go into the plat and
3 identify what the underscored numbers are, could
4 you point out the proposed well and then identify
5 the offsetting owners, please.

6 A. The recently drilled Smith Federal Gas
7 Com. No. 2 is outlined in red in your map. That
8 was the well that was just drilled this October.

9 The original well in that section is
10 the well that's located just east of that.
11 That's the Smith gas unit No. 1, and that well
12 has been plugged.

13 Q. All right. Now, that well is at an
14 unorthodox location; right?

15 A. Yes, it is.

16 Q. And how is it unorthodox?

17 A. It's unorthodox in that it is 480 feet
18 from the west line, and the setback requirements
19 are 1650 feet.

20 Q. The well is encroaching on the tracts
21 to the west?

22 A. Yes, it is.

23 Q. Who owns and operates Section 11, the
24 640-acre tract to the west?

25 A. MW Petroleum does. This is one of the

1 properties that was acquired from Amoco. And MW
2 has 100 percent working interest in that Section
3 11 well.

4 Q. Is that a federal tract?

5 A. Yes, it is.

6 Q. Is the proposed well on Section 12 also
7 located on a federal tract?

8 A. Yes, it is.

9 Q. Now, you're required to be 1650 feet
10 back from the outer boundary of the spacing unit?

11 A. That's correct.

12 Q. How far are you from the Musselman
13 properties in this area?

14 A. 2049 feet.

15 Q. So you're more than the standard
16 setback from them?

17 A. Yes, we are.

18 Q. Where are their interests?

19 A. Their interests are in Section 1 just
20 to the north of Section 12.

21 Q. To your knowledge do they have any
22 interest in Section 2?

23 A. To my knowledge they do not.

24 Q. Do they have any interest in Section
25 11?

1 A. No, they don't.

2 Q. Are any of the interest owners in this
3 area objecting to this well location other than
4 Musselman?

5 A. No.

6 Q. And you are more than a standard
7 setback from them?

8 A. Yes.

9 Q. You could in fact be 400 feet closer,
10 could you not?

11 A. That's correct.

12 Q. Why was a penalty originally imposed on
13 this well; do you know?

14 A. Not really. The penalty was imposed by
15 Amoco, and that was before we were owners of the
16 property.

17 Q. And you're still having to live with an
18 order that approves that location but contains a
19 penalty?

20 A. That's correct.

21 Q. And you're here today to try and deal
22 with that penalty question?

23 A. That's correct.

24 Q. What does the information on this
25 exhibit that is underscored in red indicate?

1 A. The numbers that are underscored in red
2 are the perforated intervals in the wells. I'd
3 like to first draw your attention to the original
4 well in Section 12, the No. 1 well. It was
5 perforated from a minus 3482 to a minus 3508.
6 Amoco reported that that well had watered out.
7 That was the information they had supplied to
8 us.

9 Based on that information it was our
10 opinion then that the gas-water contact must be
11 on or around a minus 3500 feet. That caused us
12 to redrill the well as close as we could to the
13 west line in an up-structure location.

14 Further study of the field, however,
15 did reveal that there were some offsetting
16 information that disputed this minus 3500
17 gas-water contact.

18 To the north we have the Musselman and
19 Owen No. 2 well. And it's perforated from a
20 minus 3594 to a minus 3612. This is
21 approximately 100 feet down-structure of the
22 perforations in our original Section 12 well.

23 To my knowledge the closest water
24 production that is in fact true water production
25 that we have is in the original well in Section

1 1, perforated from a minus 3585 to minus 3635.
2 And that well did water out, and it was shut in
3 in December of 1985.

4 We have additional information to the
5 south in Section 13. The Amoco, now MW
6 Petroleum, Hoc Federal Gas Unit No. 1, is
7 perforated from a minus 3648 to a minus 3744.
8 And this well does not produce appreciable
9 amounts of water. And it's perforated to a much
10 deeper interval than even the minus 3600 feet.

11 Based on those those pieces of
12 information, we did suspect that perhaps the
13 gas-water contact was not at a minus 3500 feet.
14 After the drilling of the Smith Federal No. 2, we
15 decided to test below the interval that had been
16 perforated in the No. 1 well and had reportedly
17 watered out.

18 Now, I'd like to draw your attention
19 now to our next exhibit, which is Exhibit No. 3.

20 Q. Let's go to Exhibit No. 3. And then if
21 you would, review the information on that exhibit
22 for Mr. Catanach.

23 A. Exhibit No. 3 is a log on the recently
24 drilled Smith Federal Gas Com. No. 2 well. And
25 the bottom portion of that log, you'll notice

1 that there is a perforated interval from 7554 to
2 7574. The bottom perf is a minus 3588.

3 Now, the interval was not stimulated,
4 so the gas rates are not staggering. But the
5 well did test 700 million cubic feet a day at 210
6 pounds with no fluid.

7 The next exhibit, Exhibit No. 4, is a
8 detail of that well test. And you'll note that
9 there were steady rates produced and that no
10 fluid was produced from this zone. And this zone
11 is 80 feet deeper than the zone that had
12 reportedly watered out in the No. 1 well.

13 Q. From this information what conclusion
14 can you reach about the gas column in the No. 2
15 well?

16 A. The gas column is approximately 100
17 feet thicker than we had originally thought when
18 the well was proposed.

19 Q. So this is a difference between what
20 was originally believed and what the actual facts
21 of the particular well have to be?

22 A. Yes, that's true.

23 Q. Before we move on from these exhibits,
24 I would like to go back for a minute to your
25 structure map, your Exhibit No. 2. Musselman

1 operates a well, do they not, in the section
2 north of the section which is involved in this
3 case?

4 A. Yes, they do.

5 Q. And what is the location of that well;
6 do you know?

7 A. That well is located 330 feet from the
8 west line and 1650 from the south line of Section
9 1.

10 Q. So it's a standard setback from the
11 common boundary between the two tracts?

12 A. Yes, it is.

13 Q. It is 330 feet from its west boundary?

14 A. That's correct.

15 Q. Your well is 480 feet from the west
16 boundary?

17 A. Yes, sir.

18 Q. Is there a penalty imposed on the
19 Musselman well?

20 A. Yes, there is.

21 Q. What is that penalty?

22 A. I believe that penalty is a 0.57.

23 Q. They are encroaching toward the west,
24 as your well is also?

25 A. Yes, they are.

1 Q. Who operates the tract to the west of
2 the Musselman well?

3 A. Oryx does.

4 Q. Is that a federal tract?

5 A. No. It has some state interests on
6 it. It's a state tract.

7 Q. Now, your well is also unorthodox to
8 the west?

9 A. Yes, it is.

10 Q. Are you encroaching on any other
11 producer?

12 A. Only our own Smith Federal No. 1, which
13 is located on a federal tract.

14 Q. Okay. You're also a federal tract?

15 A. Yes. I would like to explain further
16 what the problem might have been in the Smith gas
17 unit No. 1, the original well that had watered
18 out, or had reportedly watered out in Section
19 12.

20 The next exhibit that I have --

21 Q. That's Exhibit No. 5?

22 A. Yes, sir. -- is a production curve on
23 the Smith Federal Gas Com. No. 1. And you'll
24 notice that that well was producing a significant
25 volume of gas, over 3 million a day, through the

1 middle of 1989. And it was essentially
2 water-free through the middle of 1989.

3 Then in a matter of one month, the well
4 went from no water to 800 barrels of water a
5 day. And then it watered out in six months.
6 This is real inconsistent with the performance of
7 other wells that I've looked at in this field.

8 Most of the wells take anywhere from
9 four to six years to water out, and they don't
10 experience that kind of increase in water
11 production immediately as this well did.

12 We suspect that this well did not water
13 out but that in fact suffered from a casing
14 leak. This is further supported by a visual
15 inspection that we made of the casing that was
16 pulled from that well when the well was plugged
17 and abandoned.

18 The casing was in horrible condition,
19 and it was reviewed by both our production
20 engineer, who is in charge of this area, as well
21 as our production foreman.

22 Q. At no time when Amoco operated the well
23 were tests run on the casing to determine the
24 integrity?

25 A. At no time. There is something else

1 I'd like to point out about the Smith Federal No.
2 1, and that is --

3 Q. Just a second. Mr. Bruce is handing me
4 a note saying they are missing exhibits.

5 MR. BRUCE: We haven't had any of
6 them.

7 MR. CARR: Okay.

8 MR. STOVALL: Nice try, Mr. Carr.

9 MR. CARR: Gosh darn.

10 A. There was a test prior to the shutting
11 in and temporary abandonment of the Smith Federal
12 Gas Com. No. 1. The well was tested at a sub-sea
13 level of about a minus 3610. And it did test all
14 water with no stimulation.

15 I personally do not feel that the test
16 was valid. They still never checked for a casing
17 leak in this well. I don't think that that water
18 came from that zone that was perforated, but
19 nonetheless that was below a minus 3610 feet,
20 which is where we suspect our lowest known gas to
21 be at the present time.

22 Q. Ms. Leonard, if you're not encroaching
23 on any other producer, why are you seeking a
24 penalty on the production for the well at this
25 new location?

1 A. We're seeking a penalty because that's
2 essentially what we inherited from Amoco.

3 Q. Let's go to what has been marked as
4 your Exhibit No. 6, and I would ask you to
5 identify that, please.

6 A. Exhibit No. 6 is an acreage factor
7 calculation for the Smith Federal Gas Com. No.
8 2. And this calculation is consistent with that
9 that Amoco had calculated in April of this year.

10 We did include the new information as a
11 result of the testing of the well and as a result
12 of the new location of this well compared to what
13 was believed at that April hearing.

14 Q. This exhibit then is simply the same
15 method presented by Amoco in previous hearings
16 using current information on the well?

17 A. That's correct.

18 Q. Now, there are basically three factors
19 in this; is that correct?

20 A. That's correct.

21 Q. Let's go to the first one, the
22 productive acreage method. Could you explain how
23 you did that?

24 A. I took the amount of area or acreage
25 up-dip of a minus 3600 feet sub-sea, which is

1 what we currently suspect is our lowest known
2 gas, and the amount of that area is 500 acres.
3 And this is approximately 78 percent of the
4 640-acre section.

5 Q. Now, the next thing you have is a
6 two-circle method. Why did you use the
7 two-circle method?

8 A. Again, I used the two-circle method
9 because this is what was used by Amoco in the
10 past.

11 Q. And just explain how you used this
12 factor.

13 A. The two-circle method, we drew a
14 500-acre circle, which is the amount of
15 productive area, around the existing location and
16 around the nearest legal location or regular
17 location. And then you look at the amount of
18 area that lies outside of that which would be
19 drained by a regular location.

20 And as it turns out from this
21 calculation, 77 percent of the proposed or the
22 existing drainage pattern is within the
23 correlative rights of the gas unit.

24 Q. Now, let me ask you, when you drilled
25 the circle around the well at the unorthodox

1 location, you actually were drawing that circle
2 farther away from Musselman than the original
3 circle at the standard location?

4 A. That's correct.

5 Q. And you have additional drainage area.
6 Was any of that on the Musselman tract, or was
7 there actually less on that tract?

8 A. Well, there's actually less on this
9 tract than was originally proposed by Amoco.

10 Q. And is there less than you would have
11 if the well were moved to a 1650 location off
12 their lease line?

13 A. Yes, sir.

14 Q. All right. Let's go to the
15 distance-ratio method, and I'd ask to you explain
16 what you mean by that.

17 A. That's simply the setback to the
18 nearest boundary over the legal setback. It's
19 that ratio. And we are 480 feet from the west
20 line, and 1650 is the standard setback. And that
21 ratio is 29 percent.

22 Q. And then what did you do with all these
23 factors?

24 A. I simply averaged all three factors and
25 came up with the 61 percent penalty factor.

1 Q. Are you recommending a 61 percent
2 penalty?

3 A. No, I'm not.

4 Q. What are you recommending?

5 A. I'm recommending a 77-and-a-half
6 percent penalty factor.

7 Q. How do you get that?

8 A. By averaging the productive acreage and
9 the two-circle method, the average of those two
10 factors is 77-and-a-half percent.

11 Q. Do you think a penalty of 77 percent
12 would be more realistic based on what you
13 understand of the reservoir?

14 A. Yes, I do.

15 MR. STOVALL: Mr. Carr, if I may
16 clarify, are you talking about a penalty
17 production factor?

18 MR. CARR: A production factor of that.

19 MR. BRUCE: An allowable.

20 MR. CARR: An allowable factor of 77
21 percent.

22 MR. STOVALL: Just to make sure. We
23 don't penalize you the amount you want to be able
24 to produce.

25 MR. CARR: I'm sure we would go de novo

1 if that happened, and they would have Mr.
2 Kellahin here representing them when they
3 straightened it out.

4 Q. (BY MR. CARR) In your opinion will
5 approval of this application -- would approval of
6 the application without a penalty result in MW
7 and Apache gaining an unfair advantage on
8 offsetting tracts?

9 A. No, I don't believe so.

10 Q. And why is that?

11 A. The only tract upon which we are
12 encroaching is Section 11. That is an MW
13 Petroleum tract. We have 100 percent of that,
14 and it's also a federal leasehold. So there
15 is -- we're willing to accept that. There is a
16 significant amount of productive acreage
17 remaining in Section 12. This is a competitive
18 reservoir.

19 Q. Would approval of the application with
20 no penalty permit you to gain an advantage on any
21 offsetting producer?

22 A. No, sir.

23 Q. Would a 77 percent penalty in your
24 opinion enable you to produce the well, trying to
25 honor the penalty that was previously imposed,

1 and at the same time adjusting the productive
2 acres that you now believe to be under the tract?

3 A. Yes, sir.

4 Q. Could you identify Exhibit No. 7,
5 please.

6 A. Exhibit No. 7 is an affidavit that
7 William F. Carr, attorney for this case, did
8 serve notice to all of the working interest
9 owners affected.

10 Q. Attached to that do we have return
11 receipts showing that the offsetting operators
12 have in fact received notice of today's hearing?

13 A. Yes, they are attached.

14 Q. In your opinion will granting the
15 application of MW to amend the application by
16 increasing the production factor to 77-and-a-half
17 percent cause waste?

18 A. The granting of this application will
19 not cause waste.

20 Q. Why is that?

21 A. In the interest of the timely
22 production of reserves and in the protection of
23 correlative rights, I believe that this well
24 ought to be allowed to produce its fair share of
25 this field's reserves, and that interest is best

1 protected by a 77-and-a-half percent acreage
2 factor.

3 Q. Would any reservoir damage occur by
4 producing it at the higher rate?

5 A. Oh, no.

6 Q. You're not encroaching on any other
7 operators, so correlative rights should not be
8 impaired?

9 A. That's correct.

10 Q. Will MW also call a geological witness?

11 A. Yes.

12 Q. Were Exhibits 1 through 7 either
13 prepared by you or compiled under your direction
14 and supervision?

15 A. Yes, they were.

16 MR. CARR: At this time, Mr. Catanach,
17 I would move the admission of Exhibits 1 through
18 7.

19 EXAMINER CATANACH: Exhibits 1 through
20 7 will be admitted as evidence.

21 MR. CARR: That concludes my direction
22 examination of Ms. Leonard.

23 EXAMINER CATANACH: Mr. Bruce.

24 EXAMINATION

25 BY MR. BRUCE:

1 Q. Ms. Leonard, you talked about the
2 penalty, but I believe under the current order,
3 whatever that number may be, 9487-A, there's a 48
4 or 49 percent allowable factor; is that correct?

5 A. Yes, sir.

6 Q. Not a penalty factor?

7 A. That's correct.

8 Q. That's the allowable. And you're
9 seeking now a 77.5 percent allowable factor?

10 A. Yes.

11 Q. And that's -- you can calculate it if
12 you want, but that will roughly allow MW to
13 increase production by about 60 percent?

14 A. That's correct.

15 Q. The Smith No. 1 well in Section 12, how
16 much has that produced to date?

17 A. That well has produced approximately 30
18 Bcf.

19 Q. Three-zero?

20 A. Yes, sir.

21 Q. Now, I believe in your calculations on
22 productive acreage in Section 12, you used 500
23 acres; is that correct?

24 A. That's correct.

25 Q. Wouldn't a large amount of that have

1 already been drained by this Smith No. 1 well?

2 A. Well, yes, sir, it has, but there's
3 been a significant pressure depletion as a result
4 of this from the Federal No. 1 producing.

5 Q. Do you have any idea how much has been
6 drained by the Smith No. 1 as far as acreage?

7 A. No, sir, I don't.

8 Q. What was the last pressure reported on
9 the Smith No. 1?

10 A. I don't have that information. The
11 field pressure is approximately 1600 pounds.

12 Q. What is the pressure in your Smith No.
13 2?

14 A. Approximately 1550 pounds.

15 Q. And the Smith No. 1, is it shut in now?

16 A. It's plugged and abandoned.

17 Q. And you don't have a final pressure on
18 that?

19 A. No, I don't.

20 Q. Now, regarding water production, are
21 there wells to the east in the Indian Basin-Upper
22 Penn pool that have watered out?

23 A. Yes, there are.

24 Q. Is the trend generally from the east to
25 the west water encroachment?

1 A. In my opinion the trend is generally
2 from the northeast.

3 Q. Okay. So it's coming from the
4 northeast to the southwest?

5 A. Yes.

6 Q. So if there's going to be watering out,
7 the Musselman well would probably water out
8 before your Apache well -- I mean your Smith No.
9 2 well?

10 A. For several reasons. We are
11 structurally significantly high to the Musselman
12 well. And the other reason is that that well is
13 indeed northeast of our well or more north.

14 Q. It's further north, but since the water
15 is encroaching from the northeast, the water
16 would reach there first?

17 A. Yes.

18 Q. Even if they were at the same level
19 structurally?

20 A. Yes.

21 Q. Regarding the Smith No. 1 well, was
22 there evidence of a tubing or packer leak in that
23 well after watering out?

24 A. It was never tested.

25 Q. Okay. But you did state you thought

1 there was a casing leak above the packer?

2 A. I don't know where that casing leak
3 was. I simply believe that there is a casing
4 leak.

5 Q. That's speculation because you haven't
6 tested it?

7 A. No, it hasn't been tested. Amoco was
8 the operator of the well at the time.

9 Q. What was the method of testing the
10 pressure in the Smith No. 2 well?

11 A. Shutting tubing pressures.

12 Q. In the Smith No. 1 well, did you have
13 any water sample from that well?

14 A. No, sir.

15 Q. So the resistivity wasn't checked?

16 A. No, sir.

17 Q. Does Amoco -- excuse me, MW or Apache
18 have any partners in the Smith No. 2 well?

19 A. Yes, we do. Oryx is a 50 percent
20 working interest owner in the Smith No. 2.

21 Q. Approximately how thick -- and you may
22 want to defer this to the geologist -- but how
23 thick is the Upper Penn formation?

24 A. I'll let John answer that since he's
25 the one that developed all that.

1 Q. You mentioned Oryx is a partner in the
2 well. Obviously they have approved of the
3 request to increase the allowable?

4 A. Yes, sir, they have.

5 Q. Is that in any way prompted by their
6 own internal economics or --

7 A. I don't know.

8 MR. STOVALL: Mr. Bruce, can you wait
9 just a moment.

10 (A recess was taken.)

11 MR. BRUCE: Just a minute, Mr.
12 Examiner. I believe I'm almost done here. One
13 final question.

14 Q. I believe you said Exhibit 6 was -- at
15 least some of the calculations were derived using
16 new information -- that was calculated using new
17 information derived from your No. 2 well; is that
18 correct?

19 A. That's correct.

20 Q. What was new from the No. 2 well as
21 opposed to what Amoco told you about the No. 1
22 well?

23 A. Amoco had informed us that the Smith
24 Federal No. 1 had watered out as a result of
25 water encroachment. Testing of the No. 2 well

1 indicated that we had approximately 100 feet of
2 additional gas column that was not expected in
3 that well.

4 As a result of that additional 100 foot
5 of gas column, we have extended the amount of
6 productive acreage of down-dip of what was
7 originally believed to have been the gas-water
8 contact.

9 MR. BRUCE: Okay. I have nothing
10 further at this time, Mr. Examiner.

11 EXAMINER CATANACH: Mr. Kellahin.

12 MR. KELLAHIN: Thank you, Mr.
13 Examiner.

14 EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Ms. Leonard, I'm going to try to
17 understand the sequence of events between what I
18 will call the Amoco order, which was the second
19 amended order that you obtained from the
20 Division. There were three parameters or factors
21 in the penalty calculation, were there not?

22 A. When Amoco originally secured the order
23 in May of 1991, before MW had purchased the
24 property, there were those three factors included
25 in that calculation, that's correct.

1 Q. When you came back in August of 91 --

2 A. Yes, sir.

3 Q. -- those same three factors were
4 applied to the penalty calculation?

5 A. Yes, sir.

6 Q. But there was an adjustment made -- was
7 there any adjustment made?

8 A. No, sir, there was no adjustment made.

9 Q. Okay. The three factors were what
10 we've characterized a productive acreage
11 component, the double-circle component and then a
12 distance-to-boundary component; right?

13 A. That's correct.

14 Q. Okay. When Amoco presented and you
15 presented, I guess, back in the August hearing in
16 91 the productive acreage factor, was that based
17 upon a structure map?

18 A. Amoco's productive acreage factor was
19 not based upon a structure map. I didn't really
20 present anything. I simply recommended that we
21 continue with the same acreage factor that Amoco
22 had requested in their April hearing.

23 Q. What was the acreage factor Amoco had
24 requested or used in the earlier hearings?

25 A. The productive acres were 352 acres.

1 Q. Okay. How was that derived; do you
2 know?

3 A. Amoco drew a line from the original
4 well in Section 1, which was the Arco Smith No. 1
5 well. That line then extended to the Smith
6 Federal Gas Com. No. 1 well to the south, and
7 then over to a dry hole to the southeast of the
8 Smith Federal Gas Com. No. 1, which would be the
9 Pan American Dunkin Federal No. 1. And they
10 simply stated that all acreage west of that line
11 was productive acreage.

12 Q. There wasn't a structural factor
13 integrated into the analysis of the productive
14 acreage?

15 A. No, sir, there was not.

16 Q. So when you and your geologists then
17 prepared the structure map, it is the structure
18 map that you're now using to make the adjustment
19 in the productive acreage?

20 A. Yes, sir.

21 Q. And productive acreage is simply that
22 portion of the structure above the minus 3600?

23 A. That's correct.

24 Q. Contour elevation on the structure?

25 A. Yes, sir.

1 Q. And everything below that then is
2 presumed not to contribute for purposes of the
3 calculation?

4 A. For purposes of the calculation, we're
5 really considering the minus 3600 as the lowest
6 known gas. I firmly believe that there is
7 productive acreage below a minus 3600. I simply
8 can't prove it. So we're using the minus 3600 as
9 our boundary for the calculation of the penalty.

10 Q. Explain to me again the data between
11 the No. 1 and the No. 2 well in Section 12 that
12 causes you to believe that the lowest known gas
13 is now approximately 100 feet below what Amoco
14 was using for the lowest known gas.

15 That was based upon re-analyzing the
16 No. 1 well and attributing the water produced in
17 the No. 1 to a casing leak?

18 A. Yes, sir.

19 Q. Was there any water analysis made of
20 the water produced from the No. 1 well?

21 A. We found no water analyses in the file.

22 Q. Do you have any way to calculate or
23 estimate the approximate location of the casing
24 leak?

25 A. No, sir, we don't.

1 Q. Where would you attribute the water
2 production to in that well if it's not coming
3 from the formation within the pool?

4 A. That water production could be coming
5 from an interval that's deeper than a minus 3600
6 feet. The well was drilled through the entire
7 Penn section. It could be coming from a
8 shallower interval.

9 I personally suspect it's coming
10 somewhere deep within the upper Penn, but I
11 really -- that's a suspicion only and has no
12 proof or facts behind it.

13 Q. Have you reviewed the drilling and
14 completion reports and information for the No. 1
15 well?

16 A. I have reviewed all of the current --
17 or I'd say recent reports, any workovers that
18 have been done within the last three years.

19 Q. Do you find any information that shows
20 that the well is completed in such a fashion that
21 water could be migrating in that wellbore from a
22 deeper water contact up into the wellbore?

23 A. There is no suggestion that that could
24 happen.

25 Q. Give me your best hypothesis of where

1 the water is coming from.

2 A. I think the water is coming from
3 somewhere deep in the Penn section.

4 Q. Okay. Using the geologist's structure
5 map and then determining the number of surface
6 acreage in the section above the minus 3600 foot,
7 you get the approximately 500 acres, was it?

8 A. Yes, sir.

9 Q. So then 500 acres in a ratio to the 640
10 was then the productive acreage portion of the
11 penalty calculation?

12 A. That's correct.

13 Q. When you put that in place with the
14 other two factors, what number do you get for the
15 production allowable number?

16 A. Following the same formula that Amoco
17 used in the original application, we get 0.61
18 allowable, acreage allowable factor.

19 Q. Okay. You've suggested or requested a
20 77.5 percent allowable factor. What did you
21 adjust to get the increase?

22 A. To get the 77-and-a-half percent
23 allowable factor?

24 Q. Above the 61 percent.

25 A. I didn't adjust anything. I took the

1 average of the productive acres and the
2 two-circle method and used that average, and that
3 was 77-and-a-half.

4 Q. Okay. If you take the productive
5 acreage number --

6 A. Yes, sir.

7 Q. -- and average that with the
8 distance-to-boundary ratio and delete the
9 double-circle portion, do you know what you get?

10 A. No, sir, I don't.

11 Q. If the well you're seeking an increase
12 in its allowable on was not restricted in any
13 fashion, had a full allowable, what would be its
14 daily gas production rate; do you know?

15 A. The average allowable for 1990, I
16 believe, was 4.4 million a day. I really don't
17 know what the average allowable has been for
18 1991.

19 Q. Does the No. 2 well in Section 12 have
20 the capacity to produce a full allowable if it
21 was not otherwise limited by the penalty factor?

22 A. I don't think a full allowable, no. We
23 tested the well for a couple of days, and it
24 produced 2.9 million a day at 780 pounds. I
25 don't really know what the well would do with

1 additional drawdown.

2 The well hadn't completely cleaned up
3 at that time, but I suspect that the limits of
4 its production is somewhere around
5 three-and-a-half million a day.

6 Q. If the allowable for the spacing unit
7 is applied at the 61 percent, what would be the
8 producing rate of your well on a daily basis?

9 A. If I assumed -- let's just have a nice
10 round number -- four million a day, that would be
11 approximately two-and-a-half million a day.

12 Q. Okay. And if we move it up to the
13 77-and-a-half, would your well be restricted at
14 all?

15 A. Yes, it would be somewhat because the
16 allowable would be then something around three
17 million a day.

18 MR. KELLAHIN: Thank you, Mr.
19 Examiner.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Ms. Leonard, when Amoco originally came
23 in to permit this deviated well, do you know why
24 Amoco proposed a penalty?

25 A. No.

1 Q. Was the application objected to as far
2 as you know?

3 A. I believe that Musselman, Owen & King
4 objected to the application, but I don't know if
5 they objected to it because of the penalty or
6 not. I don't know where that entered into it. I
7 really don't understand that sequence of events.

8 MR. BRUCE: We might be able to clear
9 that up, and I'll have a witness discuss that
10 briefly.

11 MR. STOVALL: Do you want to wait until
12 his witness?

13 MR. BRUCE: Basically it was agreed
14 upon.

15 EXAMINER CATANACH: Prior to the
16 hearing?

17 MR. BRUCE: Yes.

18 EXAMINER CATANACH: I would ask Mr.
19 Kellahin how Marathon feels they're being
20 affected by this whole thing.

21 MR. KELLAHIN: We're not taking a
22 position in their case. We are interested
23 insofar as how this penalty is applied to our
24 case, which is the following case, and the
25 relationship between Sections 13 and 14.

1 EXAMINER CATANACH: I see.

2 MR. STOVALL: Trying to build a record,
3 are you, Mr. Kellahin?

4 MR. KELLAHIN: Doing what I can.

5 MR. CARR: Reminds me, you always enter
6 your orders before you get the records, so my
7 efforts are to no avail.

8 MR. STOVALL: We'll keep your caustic
9 comments on the record.

10 MR. CARR: I didn't say that.

11 MR. KELLAHIN: I'm just repeating what
12 my able counsel has suggested.

13 (Discussion off the record.)

14 Q. (BY MR. CATANACH) Ms. Leonard, on your
15 allowable calculation, why would you throw out
16 the distance-ratio method in your calculation?

17 A. In my opinion there are probably more
18 than 500 productive acres in this section that
19 are productive. And I think it would be unfair
20 to penalize the well unnecessarily and not give
21 it a chance to produce the gas reserves that
22 remain in that 640-acre spacing unit.

23 Q. Do you have any idea what those
24 reserves might be?

25 A. Not really.

1 Q. It's my understanding that MW or Apache
2 currently owns all of Section 11 and Section 12;
3 is that correct?

4 A. No, sir. We have half of Section 12,
5 but we do own all of Section 11.

6 Q. Half of Section 12. And who owns the
7 other half?

8 A. Oryx.

9 Q. So they're a 50 percent partner in the
10 well?

11 A. Yes, sir.

12 Q. Now, in trying to understand how you
13 determine the minus 3600 feet as being the lowest
14 known gas, that was determined how again?

15 A. That was determined using the
16 information, the perforation information in both
17 the north and south offsets, which are both
18 perforated to below a minus 3600, neither well
19 producing significant volumes of water. And
20 based on the test in the No. 2 well, it was
21 tested down to minus 3588 and did not produce any
22 liquids at all.

23 Q. So is it your opinion in the Smith well
24 No. 1 in Section 12 that was plugged that the
25 interval for minus 3508 to minus 3600, that's all

1 productive?

2 A. That's all productive.

3 Q. And it was never tested in that well?

4 A. No, sir. I found a procedure in the
5 well requesting that the casing be tested, but
6 when we reviewed the actual records of how the
7 well was tested, the casing was never tested.

8 This was at a time when Amoco was
9 disposing of the property. I don't think that
10 they were maybe paying as much attention to it as
11 they might otherwise.

12 Q. Also in your opinion you don't believe
13 that the interval from minus 3482 to minus 3508
14 within Section 12 was drained completely by the
15 first well?

16 A. No, sir. The section still has
17 pressure. We still have approximately 1600
18 pounds of reservoir pressure.

19 EXAMINER CATANACH: I believe that's
20 all I have for that.

21 MR. STOVALL: I've got a couple
22 questions, if I might.

23 EXAMINATION

24 BY MR. STOVALL:

25 Q. Let me make sure I understand the

1 sequence. Amoco operated the No. 1 well, got
2 water in it, and basically said we need to go
3 up-structure, let's kick off and go over to a
4 higher structural position from the same
5 wellbore; is that correct?

6 A. That's correct.

7 Q. Got that approved. Determined they
8 couldn't do it because the well wasn't in good
9 enough mechanical condition to do it?

10 A. Yes, sir.

11 Q. Sold the property to MW or Apache -- or
12 sold MW to Apache, I guess, is what you said they
13 did; right?

14 A. That was fairly close. We bought the
15 property effective July 1 of 1991. We took over
16 operations effective August 1 of 91. The attempt
17 to re-enter the well was made in July of 91 while
18 Amoco still had operations of the well, but
19 Apache was the owner at that time.

20 Q. Then Apache drilled the No. 2
21 subsequent to taking over operations in August, I
22 guess; is that correct?

23 A. Yes, sir.

24 Q. And drilled the No. 2 based primarily
25 on the geology and engineering presented by

1 Amoco; is that correct?

2 A. We authorized the No. 2 internally
3 based on Amoco's geology and engineering. At the
4 time that that well was being drilled, John
5 Polasek, who you will meet in a minute, was
6 hired. And I asked him to do an in-house
7 geologic interpretation since we didn't have
8 one. So he started his in-house interpretation
9 at the time that well was drilling.

10 Q. And subsequently, based upon his work
11 and your later analysis, you determined that
12 water really wasn't the problem -- water
13 formation wasn't the problem in the well?

14 A. That's correct.

15 Q. Given that knowledge, if you were
16 getting a fresh start, if No. 2 weren't drilled
17 today, would you tend to go further away from the
18 section line and go back closer to the No. 1?
19 Hypothetical question. It really doesn't mean a
20 whole lot.

21 A. My opinion is I would recommend it to
22 management because then we wouldn't have to mess
23 around with this penalty stuff.

24 Q. In other words, that structural gain
25 that you make by moving this far east isn't as

1 significant as Amoco thought at the time they --

2 A. That's correct.

3 Q. -- sought the application; is that
4 correct?

5 A. That's correct.

6 Q. With respect to the casing leak,
7 although it wasn't tested, you did indicate that
8 somebody -- production engineer and production
9 superintendent -- actually looked at the casing
10 that was pulled?

11 A. We had --

12 Q. You had some physical evidence that
13 there was some bad casing in the hole; is that
14 correct?

15 A. Yes, we do. We had two members of our
16 staff look at it. And we were looking for
17 locations for the Smith Federal No. 2, and we
18 were out on location. And there was casing. It
19 was lying down, and they looked at it and were
20 horrified at the condition of that casing.

21 Q. You don't know what particular depth
22 the casing they were looking at came from?
23 There's no indication of that; is that correct?

24 A. No.

25 Q. Mr. Bruce asked you about the water

1 encroachment. You say it's coming from, really
2 from up-dip, from the northeast; is that correct,
3 or kind of along a strike, I guess?

4 A. It's not necessarily conforming to
5 structure. In my opinion, based on the way we've
6 got it mapped, the volume of water, the source of
7 water is largely from the northeast, and it
8 conforms to structure somewhat but not in the
9 classical sense.

10 Q. Assuming that is the case and you
11 testified that the Musselman well would probably
12 water out first because it is both lower and to
13 the north of the No. 2 Smith well, does the
14 location of the No. 2 Smith well have any bearing
15 on when the Musselman well will water out?

16 A. In my opinion, it doesn't. There are
17 approximately 34 wells currently producing from
18 this field. And all of those wells have bearing
19 on when the Musselman will water out.

20 Q. Bearing in the sense that they are
21 withdrawing gas and leaving room for the water;
22 is that what you mean?

23 A. That's correct.

24 Q. But whether the Apache well is at --
25 what is it? 480 feet or 1620 feet, it's the

1 withdrawal of gas and not the location of the
2 well?

3 A. That's correct.

4 Q. One other thing. You've stated that --
5 and correct me if I'm putting words in your
6 mouth -- that the distance-ratio penalty factor
7 isn't necessarily appropriate in this case
8 because the distance -- you are encroaching only
9 on your own property and not somebody else's; is
10 that correct?

11 A. That's correct.

12 Q. But if either of the parcels were to be
13 sold and it were to become different ownership,
14 then that might be a significant factor; is that
15 correct?

16 A. It certainly could.

17 Q. The other question is based upon this
18 unorthodox location, assuming there is some --
19 call it excess drainage for lack of a better
20 term -- from Section 11, does that in effect mean
21 that Apache has given some of its gas to Oryx, if
22 you will, because they're a partner in the well
23 that's doing that, some of its Section 11 gas?

24 It's giving its own gas to its partner
25 in its own well; is that correct? Tricky

1 question.

2 A. I don't think so. I think that it will
3 be all that the Smith Federal No. 2 can do to
4 adequately drain the reserves that are under its
5 own section. I don't think it has any
6 competitive advantage over the structurally
7 higher and much thicker Smith Federal No. 1 in
8 Section 11.

9 MR. STOVALL: Good answer. Okay. That
10 was kind of a throw-away question anyway.

11 I don't have any other questions.

12 EXAMINER CATANACH: Anything further?
13 Mr. Bruce.

14 MR. BRUCE: Can I ask one, just a
15 clarification?

16 FURTHER EXAMINATION

17 BY MR. BRUCE:

18 Q. On the No. 1 well, I think you said it
19 was tested in the Upper Penn immediately before
20 it was plugged and that water was found; is that
21 correct?

22 A. It was tested at approximately minus
23 3610. That zone was not stimulated at all, and
24 usually the Upper Penn has to be stimulated
25 somewhat before it gives up any significant

1 volumes of fluid. And they swabbed approximately
2 350 barrels of water per day from that and were
3 not able to keep up with the water volume.

4 That suggests to me that the water they
5 were producing was the same water that they were
6 producing from the upper zone. That's why I
7 think the water is coming from the lower Penn
8 someplace, someplace down deep from a casing
9 leak.

10 Q. Was that test done by Amoco or by
11 Apache?

12 A. That test was done by Amoco in 1990.

13 MR. BRUCE: Thanks.

14 EXAMINER CATANACH: The witness may be
15 excused.

16 MR. CARR: At this time we call John
17 Polasek.

18 JOHN POLASEK

19 Having been duly sworn upon his oath, was
20 examined and testified as follows:

21 EXAMINATION

22 BY MR. CARR:

23 Q. Would you state your name for the
24 record, please.

25 A. John Polasek.

1 Q. Would you spell "Polasek."

2 A. P-o-l-a-s-e-k.

3 Q. Where do you reside?

4 A. Houston, Texas.

5 Q. By whom are you employed and in what
6 capacity?

7 A. I'm employed by Apache Corporation as a
8 Senior Staff Geologist.

9 Q. Have you previously testified before
10 the New Mexico Oil Conservation Division?

11 A. No, I haven't.

12 Q. Would you briefly summarize your
13 educational background and then review your work
14 experience for Mr. Catanach.

15 A. I got a bachelor's degree in geology
16 from Syracuse University in 1974, a master's
17 degree from the State University of New York in
18 1978. I started off working with Amoco in 1978,
19 and went to a company called Wintershaw in 1982,
20 where I worked there approximately three years.

21 In 1985 I became an independent
22 geologist. And I was an independent consultant
23 as well as owned JP Exploration. My latest
24 consulting job was Apache Corporation, which I
25 started in late August, I believe. And I've been

1 hired by Apache Corporation since then.

2 Q. You're now a full-time employee of
3 Apache?

4 A. I'm a full-time employee.

5 Q. What were your degrees in?

6 A. Geology.

7 Q. Are you certified as a petroleum
8 geologist?

9 A. Yes. I'm certified by the Society of
10 Independent Professional Earth Scientists, or
11 SIPES, Houston chapter.

12 Q. Are you familiar with the area which is
13 involved in this application in the subject well?

14 A. Yes, I am familiar.

15 Q. And have you made a geological study of
16 this area?

17 A. Yes, I have.

18 MR. CARR: We tender Mr. Polasek as an
19 expert witness in petroleum geology.

20 EXAMINER CATANACH: He is so qualified.

21 Q. Have you prepared an exhibit for
22 presentation in this hearing today?

23 A. Yes, I have.

24 Q. That's what has been marked as
25 MW/Apache Exhibit No. 8?

1 A. Correct.

2 Q. Would you identify that now and review
3 it for Mr. Catanach, and we might start with the
4 structure map.

5 A. Okay. On the left-hand side of this
6 cross-section, D-D prime, there's a structure map
7 with the structural cross-section. The wells
8 included in this structure cross-section are the
9 Pan Am-Smith 1 in Section 11, the Apache-Smith
10 No. 2 well, the Smith No. 1, and to an old Pan Am
11 dry hole in the southeast part of the field.

12 The structure map is on top of the
13 Pennsylvanian. And that is a major unconformity
14 in the area. Do you have a colored copy of
15 that?

16 MR. STOVALL: I just discovered we do
17 have a colored copy.

18 A. Okay. The structure map is on top of
19 the Penn, the Cisco Canyon is the formation name,
20 as they call it. Upper Penn. I guess the
21 Conservation calls it the Upper Penn.

22 This information was put together by
23 all the existing wells that have been drilled in
24 this portion of the field. Some of the
25 interpretation on the cross-section was based on

1 log, log's character, cores, and any sample
2 analyses that were done.

3 I want to show on that structure map
4 the yellow outlines. In Section 11 is 100
5 percent MW/Apache. In Section 12 in the Smith
6 Federal, it's 50 percent Apache, MW/Apache, 50
7 percent Oryx. And Section 13 it's approximately
8 93 percent Apache, 7 percent Oryx.

9 Q. If we look at the structure map, this
10 is the same structural map that was presented as
11 Exhibit No. 2; is that correct?

12 A. Exactly.

13 Q. And you prepared this?

14 A. I prepared this.

15 Q. Did you prepare it for this hearing, or
16 basically what were you asked to do?

17 A. No. When I first started consulting
18 for Apache, they had this area. They had
19 acquired interest in 26 wells in this particular
20 area. The maps that Amoco had were maps that had
21 been done previously and hadn't been updated in a
22 few years. And I started a project in here to
23 evaluate their properties and including the Smith
24 Federal lease.

25 Q. Did you integrate the Amoco information

1 into your work?

2 A. Yes, I did.

3 Q. And your interpretation is based on
4 that and, what, seismic information?

5 A. No. It was just based on adding
6 additional wells that hadn't been included in the
7 Amoco map in a little bit more subsurface
8 detail. Their map was on 100-foot contour
9 interval, and mine is on 50.

10 Q. When you compare your work to that of
11 Amoco, is your evaluation of Section 12 -- has it
12 differed in any material way?

13 A. Yeah. My map is a little bit more
14 conservative.

15 Q. Let's go now to the cross-section
16 portion of this exhibit, and I'd ask you to
17 review that for Mr. Catanach.

18 A. Well, the first thing that's obvious
19 from this structure cross-section -- and let me
20 again -- the three wells, starting from the left
21 to right, are Pan Am, old Pan Am, MW/Apache
22 wells. That goes approximately east to west.
23 And the final well is to the southeast. These
24 are hung on a minus 3600 structure datum.

25 The thing that's obvious here is the

1 color, and let me explain the color. Typically,
2 geological colors for dolomite is pink, for
3 limestone it's blue. This blue is not water;
4 it's limestone. And for shaley limes or shaley
5 dolomites it's gray.

6 What I've done on this cross-section is
7 identify the base of the dolomite, which is
8 basically the reservoir rock of the Indian Basin
9 field. Okay. This dolomite sits on bedded
10 limestones, approximately Canyon age, and is
11 overlain by Wolfcamp age, shales, and clastics in
12 some cases. It's a major unconformity in the
13 area, so the top of this reef has been eroded
14 down somewhat.

15 I also included on here the zones that
16 were perf'd and produced out of the reservoir in
17 red. The perms are in red. On the right-hand
18 side of the cross-section was the original
19 oil-water contact of approximately 3800 feet,
20 minus 3800 feet. And that is just based on the
21 dry hole in the Pan Am No. 1, Dunkin Federal to
22 the southeast. The Dst recovered water along
23 with gas.

24 Okay. As you can see, the thickness of
25 the dolomite in the Pan Am No. 1 Smith Federal in

1 Section 12 is approximately 350 feet thick. As
2 you go from that well to the Apache well, No. 2
3 Smith Federal, we only topped about -- the top,
4 160 feet roughly.

5 And as you go westward from there, the
6 No. 1 Smith in Section 11 is approximately 277
7 feet thick. You can see in here that I have
8 marked some shale zones. This is based on
9 interpretation.

10 There is Paleo in here as far as
11 differentiating different zones, but when you get
12 into dolomite, the Paleo -- all the bugs are
13 pretty well obliterated by the dolomitization.

14 You can also see on the Smith No. 2
15 well the lowest zone that we perf'd and the upper
16 zones that we perf'd and tested. And there is a
17 bridge plug between the two zones.

18 Q. Basically what conclusions have you
19 reached from your geologic study as that relates
20 to Section 12?

21 A. As far as the comparison between the
22 No. 1 Smith Federal and No. 2, we are
23 geologically approximately 30 feet structurally
24 higher; however, we don't have open the whole
25 zone. We're basically structurally higher. I

1 don't think it has any bearing on the reservoir.

2 Q. And your study and your geological
3 interpretation is the basis for the determination
4 that there are 500 productive acres in this
5 section?

6 A. Correct.

7 Q. The blue on the exhibit does not
8 indicate water?

9 A. Does not indicate water.

10 Q. Was Exhibit No. 8 prepared by you?

11 A. Yes, it was.

12 MR. CARR: At this time, Mr. Catanach,
13 we move the admission of MW Exhibit No. 8.

14 EXAMINER CATANACH: Exhibit No. 8 will
15 be admitted as evidence.

16 MR. CARR: Thank you. That concludes
17 my direct examination of this witness.

18 EXAMINER CATANACH: Mr. Bruce.

19 EXAMINATION

20 BY MR. BRUCE:

21 Q. What was the gray, these gray stringers
22 on Exhibit 8 represent?

23 A. Again, this is hung structurally, so
24 the gray doesn't -- when you look at it on the
25 log, sometimes it's offset. But it basically

1 indicates a shaley limestone or shaley dolomite.

2 Q. Okay.

3 A. And --

4 Q. Go ahead.

5 A. And that's based on Amoco core
6 information and cores that they have taken in
7 this area.

8 Q. Okay. Looking at the Pan American No.
9 1, Smith Fed. well, there are two sets of perfs
10 there, one marked in red and one marked in blue.
11 What does the blue indicate?

12 A. The blue one is the perf, is the zone
13 that was tested, that Amoco tested and produced
14 water prior to the plugging.

15 Q. And that's just slightly below 3600
16 feet?

17 A. Right.

18 Q. Below sea level?

19 A. Correct.

20 Q. And is that equivalent to the
21 perforations in the Musselman well to the north?

22 A. The Musselman well perfs -- and again,
23 this is done by Ceci -- I believe are -- see, the
24 difference between our well and the Musselman
25 well, the Musselman well has about 50 or 60 feet

1 of limestone above the dolomite. So their main
2 zone is approximately stratigraphically
3 equivalent to the zone that we see in the No. 1
4 Smith in that particular well.

5 Q. The No. 1 Smith in Section 11?

6 A. Right.

7 Q. Okay. Do you know what the original
8 formation or reservoir pressure was?

9 A. I believe the original reservoir
10 pressure in this field was about 2800 pounds.
11 Presently it's about 1600 pounds. And most of
12 the wells were drilled in the early 60s.

13 Q. Okay. And you're saying 1600 pounds
14 based upon your pressure test in the Smith Fed.
15 No. 2 well?

16 A. Correct. But other wells in the area
17 that have been redrilled recently into the
18 reservoir have that same reservoir.

19 Q. Regardless of whether they're high or
20 low in the Upper Penn?

21 A. It seems to be, yes.

22 MR. BRUCE: Nothing further, Mr.
23 Examiner.

24 EXAMINER CATANACH: Mr. Kellahin.

25 MR. KELLAHIN: I don't have a copy of

1 your structure map. Let me borrow one.

2 EXAMINATION

3 BY MR. KELLAHIN:

4 Q. In looking at Section 12, what would be
5 the optimum location in 12 to drill a well?

6 A. In 12?

7 Q. Uh-huh.

8 A. Well, I think structurally it doesn't
9 seem to matter. I think the optimum location
10 would be for the thickest dolomite.

11 Q. Do you have a gross isopach that will
12 show the pictures?

13 A. Yes, I do. But I'll have it for the
14 next -- I mean I do have it, yes. I do have a
15 dolomite isopach.

16 Q. Describe for me why you reached the
17 conclusion that structure is not the important
18 criteria for picking the optimum location in
19 Section 12.

20 A. The Hoc No. 1, the Pan Am Hoc, or now
21 it's the MW/Apache Hoc No. 1, has been producing
22 at approximately minus 3700 or below that or
23 below 3650 and closer to 3700.

24 MR. CARR: That's the well on the north
25 half of 13; right.

1 THE WITNESS: That's the well on the
2 north half of 13. And that particular well is
3 still making gas, although at marginal amounts
4 with no water production.

5 None of the other wells along that
6 trend in Section 13, 14, 11, other than the Pan
7 Am well in 12, have had any water production
8 whatsoever.

9 Q. (BY MR. KELLAHIN) What's the thickness
10 of the reservoir at the Apache 2 well location of
11 Section 12?

12 A. We did not go deep enough, but it's
13 estimated about 300 feet thick, and it's thinner
14 than the No. 1.

15 Q. How does that compare to the
16 Musselman-Smith No. 2 in Section 1?

17 A. Musselman, I do not know. They only
18 topped the zone. They went about 30 or 40 feet
19 into it, and that's it.

20 Q. Do you have sufficient data from the
21 wells drilled in this area to draw a net pay map,
22 if you will, of the reservoir by which you could
23 apportion reservoir share among the various
24 spacing units?

25 A. No, I don't.

1 MR. KELLAHIN: No further questions.

2 MR. STOVALL: Just one easy geologic
3 question.

4 EXAMINATION

5 BY MR. STOVALL:

6 Q. Do you agree with the engineer that
7 were the Smith No. 2 not already drilled, that
8 you wouldn't necessarily seek this unorthodox
9 location based upon the information you have
10 today?

11 A. It appears as though the dolomite is
12 thicker in the No. 1 location.

13 Q. So you'd go further east?

14 A. I think Amoco had a little different
15 interpretation. I think when they applied for
16 this thing, their interpretation was to go
17 structurally up-dip. And I found no net dolomite
18 maps or anything that Amoco had done in their
19 file. So it was almost -- I started from scratch
20 pretty much.

21 MR. STOVALL: That's my question.

22 EXAMINER CATANACH: I have no
23 questions. The witness may be excused.

24 MR. CARR: That concludes our direct
25 presentation.

1 (A recess was taken.)

2 EXAMINER CATANACH: You may proceed,
3 Mr. Bruce.

4 MR. BRUCE: Mr. Examiner, I have one
5 witness, Mr. Statton.

6 BOB STATTON

7 Having been duly sworn upon his oath, was
8 examined and testified as follows:

9 EXAMINATION

10 BY MR. BRUCE:

11 Q. Would you, please, state your name for
12 the record.

13 A. Yes. My name is Bob Statton.

14 Q. And what is your occupation?

15 A. I'm a petroleum engineer consultant in
16 Midland, Texas, with the firm Gist & Statton,
17 Inc.

18 Q. And who are you employed by in this
19 case?

20 A. Employed by Musselman, Owen & King.

21 Q. Have you previously testified before
22 the OCD as an engineer?

23 A. No, I have not.

24 Q. Would you, please, state your
25 educational and work background for the

1 Examiner.

2 A. Okay. I graduated from Texas A & M in
3 1979 with a BS in petroleum engineering. I went
4 to work for Allen Atwell out of Hobbs for a
5 couple of years before joining HJ & Associates
6 consulting firm in Dallas. I stayed there for
7 five-and-a-half years and then moved to Midland
8 and worked for Osborn & Yule, another
9 consultanting firm, for about four years before
10 my partner, Rhet Gist, and I split off here last
11 April and started our own consulting firm.

12 Q. Are you familiar with the engineering
13 matters related to this case?

14 A. Yes, I am.

15 Q. Were you hired by Musselman, Owen &
16 King specifically to analyze this area?

17 A. Yes, I was.

18 MR. BRUCE: Mr. Examiner, I tender the
19 witness as an expert petroleum engineer.

20 EXAMINER CATANACH: He is so
21 qualified.

22 Q. Mr. Statton, first of all, just briefly
23 would you describe how the penalty in Order
24 R-9487-A came to be?

25 A. My understanding from talking with Mike

1 Headrick of Musselman, Owen & King, is that Amoco
2 and Musselman, Owen & King mutually agreed to
3 that production factor.

4 Q. Okay. And in this case, Musselman,
5 Owen & King isn't really concerned about Apache
6 draining reserves off of Section 1, are they?

7 A. No, they're not.

8 Q. What is the basic concern?

9 A. Musselman, Owen & King are concerned
10 about a potential coning problem that may result
11 as a consequence of increased withdrawal rates of
12 any wells nearby, specifically the one in the
13 case here.

14 Q. So if there's too much production from
15 the wells in the area, there might be water
16 encroachment?

17 A. Correct.

18 Q. On Musselman's well?

19 A. That's right.

20 Q. Would you go into this coning a little
21 bit and tell us what your fears are.

22 A. We had been looking, after the
23 engineering aspect for this well for about a
24 year-and-a-half, and we had advised Musselman,
25 Owen & King that we wanted to take a bottom well

1 pressure test back in March of this year to do
2 two things: One was to define possible skin
3 damage. We thought from doing the pressure
4 buildup analysis we could detect that, and if so,
5 maybe we could do some stimulation.

6 But also we wanted to possibly see what
7 the optimal rate of withdrawal would be so that
8 we would not cause a water cone to occur. And
9 this test was performed in March of this year,
10 March 22, 1991. We found the reservoir pressure
11 to be quite a bit lower than what Apache stated.
12 We found it to be 1350 pounds as opposed to
13 1600.

14 And also from that test we ran some
15 analytical calculations that suggested at their
16 location, at Musselman, Owen & King's location,
17 that going much above a million a day might cause
18 water to come up into their wellbore region,
19 thereby restricting adaptability.

20 Q. Okay.

21 A. I might add too that this well has
22 started producing water. Musselman, Owen &
23 King's well is producing water and has been since
24 about October 29 of this year.

25 They conferred with us and asked us

1 what they should do, and we suggested cutting
2 back to the rates that we had recommended in the
3 first place. They have since done that, and the
4 water production is coming down.

5 We're trying to reestablish a higher
6 flowing tubing pressure so that the gas is able
7 to lift the water that is there. We don't have
8 any water production, but our rates are way off
9 at this time for the well.

10 Q. In your opinion if there is too high of
11 a withdrawal rate of gas from this portion of the
12 reservoir, might water production increase in the
13 Musselman, Owen & King well?

14 A. Right.

15 Q. Therefore might increasing the
16 production in the Apache well adversely affect
17 Musselman's correlative rights?

18 A. I believe it would. I would also like
19 to point out at this time that when we started
20 studying the overall field, that we noticed that
21 back to the east where there's a lot of wells
22 that have been plugged, many of those wells are
23 much higher structurally than either the
24 Musselman, Owen & King well or the Apache new
25 well.

1 And we think that part of that watering
2 out was in fact due to a severe withdrawal rate,
3 bringing in the water, and therefore cutting
4 short the reserves, the life of the well.

5 Q. So structure isn't very important in
6 the water?

7 A. Structure has some importance, but
8 rates also have a very big effect. One would --
9 in other words, high rate or a low rate. You're
10 going to see different producing mechanisms
11 around as well, of course.

12 Q. Do you have anything further in this
13 matter, Mr. Statton?

14 A. No.

15 MR. BRUCE: I'd pass the witness, Mr.
16 Examiner.

17 MR. CARR: Mr. Carr.

18 EXAMINATION

19 BY MR. CARR:

20 Q. Mr. Statton, the Musselman well in
21 Section 1, that location was approved and a
22 production penalty was set on that well, was it
23 not?

24 A. That's correct.

25 Q. What is that penalty rate?

1 A. I don't have that available to me.

2 Q. Are you producing at or about the
3 production limit as imposed by the order?

4 A. Actually below it.

5 Q. Has that always been the case?

6 A. Not always.

7 Q. In fact, isn't it true that early this
8 year there was a dispute between Musselman and
9 Amoco when in fact Amoco complained that you were
10 ignoring the production limitation?

11 A. I can't answer that.

12 Q. Is it only recently that you have
13 discovered that the well is in fact rate
14 sensitive?

15 A. No. We discovered it back in March.

16 Q. You're not aware of any meetings with
17 the Oil Conservation Division staff, some of the
18 people perhaps present, when there were
19 complaints about the rate that you were producing
20 raised by Amoco?

21 A. No, I'm not.

22 Q. If you were producing at a higher rate
23 at that well, that in fact would also affect the
24 potential for coning in the well; isn't that
25 correct?

1 A. That's correct.

2 Q. Now, if I understand your testimony,
3 you're not really concerned about the location;
4 you're concerned about the rate?

5 A. That's right.

6 Q. So we're not talking about drainage
7 here?

8 A. The location relative to Musselman's
9 well, we are concerned about because it is fairly
10 close by. If you look at the map, it is one of
11 the closest wells to the Musselman well that's
12 producing right now.

13 Q. Now, your Musselman well would also be
14 affected by the well in Section 2, would it not?

15 A. I haven't looked at the map. Could you
16 point that out for me, please.

17 Q. There's a Conoco State No. 1 well in
18 Section 2.

19 A. Yes, sir. It would also be affected by
20 that.

21 Q. Wouldn't it also be affected by the Pan
22 American-Smith No. 1 Federal in Section 11?

23 A. Yes, sir.

24 Q. Have you considered any action to
25 perhaps adopt special rules for the pool to

1 restrict production because of this problem?

2 A. No, we have not.

3 Q. But you believe that the penalty should
4 be imposed just on the Apache well?

5 A. I believe that Apache should abide by
6 what they agreed to, yes, sir.

7 Q. Were you involved in the actual
8 negotiation of that agreement?

9 A. No, sir, I was not.

10 Q. Do you know whether it was based on
11 drainage or reservoir pressure?

12 A. I'm not aware of that.

13 Q. Are you aware if it was based on
14 proximity of the common lease line?

15 A. No, sir.

16 Q. Do you know that the Musselman well was
17 closer to the common boundary between these
18 properties than the Apache well?

19 A. Yes, sir.

20 Q. Do you know that the Musselman well is
21 closer to the western boundary than the Apache
22 well is to the western boundary of its section?

23 A. Yes, sir.

24 Q. And do you know that your well is
25 encroaching on a tract operated by another

1 operator, Oryx?

2 A. Which one would that be, sir?

3 Q. To the west in Section 2.

4 A. When you say "encroaching," what do you
5 mean?

6 Q. Are you closer to Section 2 than
7 authorized by spacing rules, or do you know?

8 A. I don't know that.

9 Q. Do you know what the spacing rules are
10 in this pool?

11 A. I do not -- well, I know what the
12 spacing is, but this is an unorthodox location
13 just as the Apache location.

14 Q. Do you know the basis for setting
15 penalties for wells in unorthodox locations?

16 A. No, sir.

17 Q. Do you know the difference between that
18 and, say, imposing a pool rule to protect against
19 dissipation of reservoir energy?

20 A. No, sir.

21 MR. CARR: That's all I have.

22 EXAMINER CATANACH: Mr. Kellahin.

23 MR. KELLAHIN: Just a few questions,
24 Mr. Statton.

25 EXAMINATION

1 BY MR. KELLAHIN:

2 Q. You've indicated that you've made a
3 study of the rate sensitivities?

4 A. Yes, sir.

5 Q. Of which wells?

6 A. Of the Musselman, Owen & King well.

7 Q. That's the well in Section 1?

8 A. That's in Section 1, yes, sir.

9 Q. Have you made a rate sensitivity study
10 of any of the other wells in the pool?

11 A. No, sir, because we don't have access
12 to that data. I wish we did. We would like to
13 have that data from the old Amoco well, but
14 that's something that's prohibited us from going
15 into that kind of study.

16 Q. Do you have estimates of the gas
17 reserves in place underneath Section 1 that are
18 being produced by your well?

19 A. I have an estimate, yes, sir.

20 Q. Do you have those estimates for any of
21 the other spacing units?

22 A. Yes, I do.

23 Q. Have you attempted to determine the
24 apportionate share of those reserves among all
25 the sections?

1 A. Yes, sir, I have, at least I have a map
2 here that we could enter as an exhibit that we've
3 worked up that involves much -- many more
4 sections than this one does, and we've done our
5 analysis based on that.

6 Q. What was the purpose of the analysis?

7 A. To figure out approximate ultimate
8 recoveries per 640 in this area so that we could
9 then try to define what might be recovered from
10 the Musselman, Owen & King well.

11 Q. Have you been able to take that
12 information and construct a penalty, if you will,
13 for those wells that are at unorthodox locations
14 in order to balance the equities and protect the
15 correlative rights of the interest owners
16 involved?

17 A. No, sir, because we weren't asked to do
18 that.

19 Q. Okay. The Musselman well is at an
20 unorthodox location. You're 330 off that western
21 boundary?

22 A. Correct.

23 Q. Your producing allowable for that well
24 is what percentage; do you remember?

25 A. I don't remember.

1 Q. Okay.

2 A. But we're below that percentage because
3 of the reservoir problems that we see, and we're
4 trying to restore relative permeability to gas
5 that's been adversely affected by the
6 encroachment of water.

7 So we've cut back on our rates hoping
8 that the water would subside back down and
9 thereby reduce, you know, effective permeability
10 of the water and increase the effective
11 permeability of the gas.

12 Q. Of the options to control the rates of
13 withdrawal between your well and the Apache well,
14 one of the choices would be a pool rule change by
15 which the rates were controlled so that they
16 would both be withdrawing at the optimum rate?

17 A. Yes, sir.

18 Q. Another alternative is to look at the
19 existing penalties in place on both of those
20 wells and see if by happenstance or otherwise
21 those penalties, as they are now, are close
22 enough that they will balance the withdrawal
23 rates so that you don't have a problem?

24 A. Correct.

25 Q. Have you done the second part?

1 A. No, sir, we have not. We have not been
2 asked to do that.

3 Q. Explain to me again your position in
4 opposing the applicant's application.

5 A. It's really more than just a technical
6 position. One is it was an agreement that came
7 before this court, I would say. Two, from my
8 side and the reason I am here is because we
9 believe that these wells and, again, from our
10 study of the whole area are sensitive to
11 withdrawal rates that some of these other wells
12 that have watered out at much higher structural
13 positions than either of these two wells could
14 have in fact produced more gas had there been
15 restrictions applied to those wells earlier in
16 their life.

17 So if we go in here and get real
18 aggressive with either the Musselman well or the
19 Apache well, the same kind of problem, we
20 believe, would persist.

21 Q. Have you been able to or have you
22 quantified the impact it will have if the Apache
23 well is increased from the 49 percent up to their
24 requested 77 percent of allowable?

25 A. We would have to see a pressure

1 transient test performed on that well to even get
2 an idea of what that would do to ours. Ideally,
3 we would like to see an interference test run
4 where one well is shut in and the other well
5 would then be produced and analyze the shut-in
6 well to see how much interference there truly is
7 at these different rates. I think that's one way
8 of trying to prove our point.

9 Q. I understand your position. I'm trying
10 to understand how it applies to the formula
11 that's actually in place on the well now, the 48
12 percent.

13 A. I am not aware of how the 48 percent
14 was derived.

15 Q. So you don't have any knowledge about
16 whether or not that is an appropriate rate at
17 which to produce the Apache well in order not to
18 exceed the rate in which the reservoir is
19 sensitive to that production?

20 A. I do not think you can say what penalty
21 rate is based on some acreage position. It's got
22 to be more due to pressure and pressure analysis
23 where you could really establish this stuff.
24 Otherwise, it's an arbitrary pick on where your
25 gas-water contact is.

1 I could make a case that that gas-water
2 contact in fact is west of the old Amoco well
3 just as much as I could make a case for what
4 Apache is saying. So there's a lot more
5 arbitrary assumptions in that part than there
6 would be if we started doing some more definitive
7 testing.

8 Q. How do you make the case that the water
9 contact is west of the Apache well?

10 A. Very simple, it watered out.

11 MR. KELLAHIN: Thank you, Mr.
12 Examiner.

13 EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Do you know how long the Musselman well
16 has been producing?

17 A. I can find out. I believe we're
18 producing for a little over two years. Since May
19 approximately 3 Bcf and until the last two months
20 was making around 2 million a day or 1.8.
21 They've cut the well back again because of this
22 water problem.

23 Q. What's the current rate?

24 A. Current rate right now, like
25 yesterday's rate was right around 2- to 300 Mcf

1 with no water; whereas, the previous month the
2 rates have been coming down along with the
3 water. We had suggested that they put a back
4 pressure regulator on their separator to try to
5 keep the flowing tubing pressures up so we don't
6 load up with water and kill the well. And that's
7 what was done.

8 Q. By controlling the rate in the Smith
9 No. 2 well or by keeping it down somewhat, it
10 might delay watering out your well?

11 A. Correct, and their well too, in our
12 opinion.

13 Q. It's eventually going to happen,
14 though, maybe due to production from wells in
15 Section 2 and Section 11?

16 A. Could happen, yes, sir. Eventually it
17 will. It's a matter of how much you can get
18 out. And if it's coning, then you're going to be
19 basically wasting a wedge of production out there
20 which you might have had had you not coned the
21 water to begin with.

22 Q. Do you believe it's fair to curtail
23 only this one operator when there's other
24 operators involved in this whole scenario?

25 A. Yes, sir, I do because, again, it was

1 agreed upon. And we think because of the
2 location of this well to the Musselman well,
3 which it is one of the closest wells if not the
4 closest producer, that it will have the most
5 effect.

6 Q. Do you think the additional data that
7 Apache has come up with doesn't justify the
8 increase in allowable?

9 A. We haven't seen the data we would like
10 to see, one of which would be a resistivity of
11 the water produced from that Amoco well. Another
12 would have been the bottom-hole pressure
13 associated with that well. If it was a casing
14 leak upstairs, the pressure would have been a lot
15 higher.

16 We would have liked to have seen that;
17 we just don't have that information handy. I
18 don't think it's their fault; it's just it wasn't
19 available.

20 Q. You can't say that that increase from
21 49 percent to 77 percent definitely will have an
22 impact?

23 A. I cannot say that until we have had a
24 chance to look at another pressure test on their
25 well. That would be as critical as anything

1 else. But from what we saw on our well, we did
2 see a difference, so I'm just going by analogy.

3 Q. But the Musselman well produced 2
4 billion a day for approximately two years?

5 A. Actually, higher than that. It was
6 producing over three-and-a-half for quite some
7 time. And then they had some kind of
8 disagreement with, I believe, Amoco and/or the
9 pipeline about what they ought to be producing.
10 So they've cut theirs back to an agreed allowable
11 that is now lower than what it used to be.

12 Q. Is the cutback in production due to the
13 fact that maybe your well or the Musselman well
14 was overproduced?

15 A. Yes, sir. It was at one time. The
16 well was overproduced. And I think there's a
17 two-year period that started sometime back in
18 this year at which they've decided to cut it back
19 to perform up to what Amoco had wanted in the
20 first place, which was to get back in line with
21 production.

22 Q. So you're not entirely curtailing your
23 well just because of -- just because you think
24 it's rate sensitive?

25 A. At this point we are, yes, sir. We

1 were at a rate much higher a week ago than we are
2 right now, or two weeks ago for that matter.
3 We're doing it right now for reservoirs. Before
4 it was done because of, I guess, the agreement
5 that was made with the OCD to cut it back. But
6 we're doing it right now to try to keep the well
7 from loading up and dying.

8 The reservoir pressure is lower than
9 what was stated earlier. And, of course, from a
10 hydraulic standpoint that means it's going to be
11 harder to lift these lower bottom-hole pressures,
12 and that's what we're very concerned about.

13 Q. So as far as you know, the well is not
14 being curtailed at this point due to the OCD
15 requiring it?

16 A. No, sir, it's not.

17 MR. STOVALL: Do I get to venture into
18 engineering now?

19 EXAMINER CATANACH: Have at it.

20 EXAMINATION

21 BY MR. STOVALL:

22 Q. I think you've answered it before, but
23 once again, the rate sensitivity issue is, A,
24 it's dependent upon withdrawals from the entire
25 field; is that correct?

1 A. Yes, sir.

2 Q. And, B, it's based upon an absolute
3 withdrawal rate of gas from the reservoir; is
4 that correct?

5 A. Yes, sir. And it's also a function of
6 the local region around those wellbores as to
7 what the permeabilities are. They do vary across
8 the region.

9 Q. Let's assume that either Apache drilled
10 the well at an orthodox location or that they
11 were still able to repair and continue to operate
12 the Pan American No. 1 and then produce at a top
13 allowable, wouldn't that have the same effect?

14 A. Yes, sir, if it could have, but I think
15 that's a hypothetical question.

16 Q. Well, assuming you've got the same
17 withdrawal rate from a location that's 1200 feet
18 further east --

19 A. Are you also assuming the water isn't
20 there too? That's my question.

21 Q. I'm sorry. Yes, I am assuming that --

22 A. Yes, sir.

23 Q. -- their conclusion about the water is
24 correct, that the Pan American watered out due to
25 mechanical failure rather than reservoir --

1 A. Yes, sir, I would have to agree with
2 what you said.

3 Q. Okay. Do you understand that the
4 penalty is a portion of allowable?

5 A. Yes, sir.

6 Q. And that if you could assign a 10
7 percent penalty, but if the allowable is high
8 enough, you could still get a rate that is above
9 some limit that you would set as an engineer as a
10 maximum efficient rate for the reservoir?

11 A. I'm not sure I followed that.

12 Q. In other words, 10 percent of 20
13 million could be higher than 68 percent of 2
14 million?

15 A. Yes, sir, I understand that, what
16 you're saying.

17 Q. And so it sounds to me like you're
18 coming in here using the wrong forum to try to do
19 what you want to. As an engineer what you would
20 like to do is see the withdrawal rates from
21 reservoir limited based upon science to a number
22 which would be determined by scientists as being
23 the absolute number above which you start doing
24 damage to the reservoir through coning; is that
25 correct?

1 A. No, sir. The reason I am here is
2 because more -- I guess you would say a defensive
3 posture. Not knowing what they were going to
4 bring, leaving Apache to this forum, what
5 information they had, one, there was an agreement
6 of .49. And two, from what they have stated and
7 what we have seen in these wellbores, at least
8 the Musselman, Owen & King, in fact these wells
9 to the east have watered out at a higher position
10 than even our well or their well, tells me it is
11 somewhat sensitive to the withdrawal rate.

12 I'm not proposing that we change
13 rules. I'm saying how it affects the Musselman,
14 Owen & King well, and I also propose it will do
15 the same thing to the Apache well.

16 Q. To the extent there's agreement, do you
17 realize, if it's any sort of enforceable
18 agreement, that the district court is going to
19 have to enforce it, not the OCD; that as far as
20 we're concerned, both the Musselman well and the
21 Apache well are limited by order?

22 A. Yes, sir.

23 Q. And that agreement may have been --
24 whatever agreement there may have been is part of
25 the evidence that went into the entering of that

1 order?

2 A. Yes, sir, I understand.

3 Q. And you understand that Apache now is
4 saying that there is different information than
5 was available at the time the order was entered
6 and therefore they're asking that the order be
7 changed based upon new and different information;
8 is that correct?

9 A. I understand that they are submitting
10 different information. I would just say it's
11 incomplete, but I understand what you're saying.

12 Q. But you haven't submitted anything else
13 other than the fact that the thing is --

14 A. I can submit any and all exhibits
15 required by Apache.

16 Q. Of course, you know, that is your
17 option, but I want to make sure that we're
18 talking in the right framework is where I'm
19 coming from. I'm just concerned, and I think
20 everybody else has raised the same concern, that
21 you may be asking for the right thing for the
22 wrong reasons in this case.

23 A. Okay.

24 MR. STOVALL: I have no further
25 questions.

1 EXAMINER CATANACH: I have one
2 additional question.

3 FURTHER EXAMINATION

4 BY EXAMINER CATANACH:

5 Q. Do you agree with Apache's contention
6 that there was a portion of the reservoir that
7 was not drained by the Smith No. 1 below where
8 they were originally perforated?

9 A. I disagree with that because, again, I
10 believe that this well watered out due to water
11 encroachment from -- the water was indigenous to
12 that zone and was not a casing leak. So I would
13 disagree with that.

14 Q. So you would disagree with the 500
15 acres productivity rates?

16 A. That's correct. I think the only way
17 to prove that obviously is to have done a
18 replacement well to the well they just plugged.
19 And had that well been wet, I think the proof
20 would have been in the pudding or vice versa.
21 But I think right now it's presumptuous to say
22 it's 500 acres or even 200 acres.

23 FURTHER EXAMINATION

24 BY MR. STOVALL:

25 Q. Let me follow up with you and ask you

1 then, they have presented some evidence in
2 support of their contention that the water was
3 due to casing link. Do you have any evidence to
4 the contrary? What evidence do you have to
5 support your argument?

6 A. I don't have any evidence, but with all
7 due respect, I don't think they do either. All
8 they have is evidence of casing. We don't know
9 where it was pulled from. I would say it wasn't
10 pulled from the bottom. We don't know if that
11 casing in fact had communication behind the pipe
12 to this particular zone.

13 We asked them for water resistivities
14 to back up their claim that the water was in fact
15 indigenous or a bottom-hole pressure test, either
16 one of which would have said yes, say this was or
17 was not a casing link. I say we don't have
18 evidence, but they don't either.

19 MR. STOVALL: I don't have any further
20 questions.

21 EXAMINER CATANACH: Anything further?

22 MR. CARR: I do.

23 FURTHER EXAMINATION

24 BY MR. CARR:

25 Q. Mr. Statton, do you happen to know when

1 the Smith No. 1 well in 12 was drilled
2 approximately?

3 A. I would have to look at my notes, but I
4 do not know, sir.

5 Q. Do you know when the Musselman well in
6 No. 1 was drilled?

7 A. It was drilled, I believe, in 1988, but
8 I would have to go back and look.

9 Q. That date is just approximate, I
10 understand.

11 A. Right.

12 Q. That well, the Musselman well, was
13 drilled sometime after the well in 12, was it
14 not?

15 A. The well in 12? Yes, sir, this one
16 here.

17 Q. And it had produced for some period of
18 time before Musselman's well was actually
19 drilled?

20 A. Correct.

21 Q. When did Musselman acquire its interest
22 in Section 1?

23 A. I am not sure of that.

24 Q. There would have been an opportunity
25 for either Musselman or its predecessor to drill

1 a well prior to that time if they were concerned
2 about the Smith No. 1; isn't that right too?

3 A. Yes, sir.

4 Q. To protect their correlative rights and
5 avail themselves of the opportunity to do that?

6 A. Would you repeat that.

7 Q. They could have drilled the well at an
8 earlier date if they felt there was something
9 there to produce or protect?

10 A. I would assume that's correct, yes,
11 sir.

12 Q. You've talked about the agreement.
13 Here, again, I just want to make sure I
14 understand you do know there was an agreement,
15 but you don't know what the factors were that
16 went into those negotiations?

17 A. No, sir. I was not privy to that.

18 MR. CARR: That's all.

19 EXAMINER CATANACH: Mr. Bruce.

20 FURTHER EXAMINATION

21 BY MR. BRUCE:

22 Q. Mr. Statton, just a couple of
23 questions. In response to Mr. Stovall, you said
24 there was a field-wide rate sensitivity regarding
25 production; right?

1 A. We believe there is.

2 Q. But what's more important, field-wide
3 or the immediate wells?

4 A. I would say the immediate wellbores,
5 proximity to the Musselman well.

6 MR. BRUCE: Thank you.

7 EXAMINER CATANACH: Anything further of
8 this witness? If not, this witness may be
9 excused.

10 MR. BRUCE: Mr. Examiner, if I could,
11 Mr. Carr has raised some questions, and there is
12 one person who could probably answer some of
13 those questions here regarding the agreement with
14 Amoco, the allowable, et cetera. If I could, he
15 wouldn't be testifying as an expert, but just his
16 knowledge of the day-to-day operations of the
17 well. And if I could have him sworn in to
18 testify --

19 EXAMINER CATANACH: That would be fine.

20 MR. STOVALL: He's not been previously
21 sworn?

22 MICHAEL HEADRICK

23 Having been duly sworn upon his oath, was
24 examined and testified as follows:

25 EXAMINATION

1 BY MR. BRUCE:

2 Q. Would you, please, state your name for
3 the record.

4 A. My name is Michael Headrick.

5 Q. Where do you reside?

6 A. Midland, Texas.

7 Q. Could you state for the Examiner what
8 your interest is in the well and your association
9 with Musselman, Owen & King?

10 A. I'm an independent businessman in
11 Midland. I developed this prospect before it was
12 drilled and sold the prospect to Musselman, Owen
13 & King. I acquired the acreage from Hondo, the
14 successor to Arco that owned the acreage after
15 the original well in Section 1 watered out.

16 We -- Musselman, Owen & King then
17 drilled the well. And I share office space with
18 Musselman, Owen & King and am intimately involved
19 in the day-to-day operations of the well.

20 Q. When did Musselman, Owen & King acquire
21 its interest in this well?

22 A. I acquired a farmout from Hondo on the
23 acreage in the fall of 1987. I assigned that
24 interest to Musselman, Owen & King following
25 their drilling of that well. The well was

1 completed in February of 88, went on production
2 in May of 88.

3 Q. Now, Mr. Carr raised some questions.
4 First of all, would you describe what is the,
5 strictly speaking, the allowable or the allowable
6 factor for Musselman Owen & King's well?

7 A. It was originally established through
8 the fairly well established procedure for the
9 area at least of coming up with an average of the
10 three different factors, the acreage and the
11 distance to the lines and the concentric circles,
12 et cetera, et cetera.

13 Q. The factors discussed by Ms. Leonard?

14 A. Yes.

15 Q. What is the allowable for the Musselman
16 well?

17 A. I can't remember offhand what the exact
18 percentage was, but it's in the low 50s. Section
19 1 is larger than 640 sections, so the acreage
20 factor was 1.06 or something like that times the
21 original penalty, arriving at around 57 percent
22 allowable factor.

23 Q. Okay. Now, it's been discussed about
24 overproduction on the well. Could you discuss
25 that, how it occurred, and what resulted.

1 A. Yes. This is the only well that
2 Musselman, Owen & King operates in New Mexico.
3 They were unfamiliar with the prorated type
4 fields. And the original factor of .57, as it
5 was incorporated into the proration books until
6 last spring, was incorrect.

7 And the allowable that was -- they were
8 either not given an allowable in the proration
9 book formally, or they were later assigned a
10 production volume that was incorrect. Musselman,
11 Owen & King essentially followed along with
12 whatever guidance they were given in the
13 proration schedule.

14 Before the schedule was -- I say
15 corrected in a liberal sense -- we -- or
16 Musselman, Owen & King requested that the
17 Commission correct the book, and it was not
18 corrected until, I'm going to guess it was around
19 a year-and-a-half ago.

20 When the correction was made, the
21 allowable was -- the actual volume was still
22 incorrect. Musselman, Owen & King continued to
23 follow along with that.

24 And it wasn't until spring of 91 when
25 Amoco went back and analyzed all of the figures

1 in the proration schedule versus what the actual
2 production was that not only the state, but
3 Musselman, Owen & King discovered that there was
4 overproduction in excess of what would have been
5 allowed under the normal circumstances.

6 Q. And what resulted from the discussions
7 among the state and by Amoco and Musselman, Owen
8 & King?

9 A. We negotiated with Amoco so that we
10 could -- or that Musselman, Owen & King could
11 continue to produce their well without being shut
12 in until the allowable was made up. And the
13 agreement that we struck was that MO&K could
14 produce their well at 1.6 million a day versus a
15 volume that would probably be two- to
16 two-and-a-half times that amount until the
17 overproduction was worked off.

18 Q. You mentioned the two- to
19 two-and-a-half times. That would mean under its
20 allowable, its 50 percent, or 52 percent
21 allowable would allow it to produce at twice the
22 1.6 million rate?

23 A. Yeah. For instance, if we were not
24 overproduced, .57 of the allowable from March
25 through October would have been something like 75

1 million a month. And we've been producing
2 anywhere from around 30 million to 45 million a
3 month in conformance to the agreement.

4 Q. Okay.

5 A. There was actually a three-way
6 agreement between the OCD, Amoco, and us.

7 Q. And lately you've been producing much
8 less than that 1.6 million a day?

9 A. Yes. It was a combination of concern
10 over a report that Gist & Statton gave to us last
11 spring over drawing water into the wellbore. It
12 was also based on the new agreement that we made
13 with the OCD and, in addition, price
14 considerations, when prices dropped to the lower
15 levels in the summertime.

16 Q. And finally, would you discuss how the
17 penalty or the allowable for MW/Apache's-Smith
18 Federal No. 2 well came about.

19 A. It was under the same -- I'm sorry.
20 Apache-Smith 2?

21 Q. Yes. The one we're currently here for
22 today.

23 A. As I remember, it was a similar type of
24 calculation to what we used when we established
25 our well.

1 Q. And MO&K agreed with Amoco on that
2 penalty?

3 A. Yes, we did.

4 Q. And did not protest the hearing wherein
5 that penalty was granted?

6 A. We did not.

7 MR. BRUCE: Thank you, Mr. Examiner.

8 EXAMINER CATANACH: Any cross, Mr.
9 Carr?

10 MR. CARR: Just a couple.

11 EXAMINATION

12 BY MR. CARR:

13 Q. When did you become concerned about
14 this rate sensitivity issue?

15 A. Our proximity to the flood front moving
16 from the northeast to the southwest has always
17 been a consideration. There was a well drilled
18 by BHP in Section 36 just north of us that did
19 the same thing.

20 The original well in the section
21 watered out. They moved away from the
22 encroaching flood front and got a new well, a
23 good well. We drilled our well right after that
24 using the same theory and obtained a good well.

25 Q. If it's always been a consideration,

1 when, I guess my question is, did you start
2 curtailing production from your well to try and
3 deal with this water coning problem that Mr.
4 Statton mentioned?

5 A. We originally, like I said before, we
6 were concerned about it from the first. We did a
7 study -- I did a study of the production in
8 proximity to our lease, looking at the dates when
9 water originally began to be produced from the
10 wells and the dates that the waters were
11 completely consumed by water production and the
12 amount of gas that was produced between those two
13 dates.

14 And we assumed, because of all the
15 other wells that had watered out, they had made
16 anywhere from maybe a Bcf to three or four Bcf in
17 that interval, that if at some point our well
18 began to show signs of making water, that we
19 could reduce the rate and conserve. But up into
20 that point we wouldn't have any indication that
21 the water -- the flood front was upon us.

22 Q. When did that occur? When did you
23 actually curtail production because of this
24 problem of water?

25 A. Okay. Our well was not making any

1 unusual volumes of water until -- and I have to
2 correct Mr. Statton -- it was around the first
3 week in October. We had been shut in prior to
4 that for two to three weeks because the Marathon
5 plant was down.

6 We had always been concerned because of
7 variations in the line pressure in the field
8 because since Marathon had installed new
9 compressors, the line pressure had been dropped.
10 But it varied as much as 200 to 250 pounds from
11 day to day, thereby, one day with low line
12 pressure it would pull real hard on us; the next
13 day it would be higher and our well would be
14 curtailed somewhat because of line pressure.

15 We were concerned about this, and
16 Marathon shut their plant in, so we were shut in
17 for two to three weeks. And when they turned
18 back on, the line pressure was lower than
19 anticipated. And it pulled our well
20 exceptionally hard, and within a couple of days,
21 we began to make water.

22 Q. So then did you then at that time begin
23 to curtail production?

24 A. We did.

25 Q. When would that be?

1 A. It would be right at or right after the
2 first week in October.

3 Q. When the agreement with Amoco
4 concerning the penalty was worked out, was it my
5 understanding of your testimony that basically
6 the same factors were used as when the penalties
7 were imposed on your well?

8 A. Yes.

9 Q. Those are basically the factors that
10 Ms. Leonard talked about?

11 A. Yes, the original agreements.

12 MR. CARR: That's all I have.

13 THE WITNESS: That's why -- I'm sorry.
14 If I might say, that's why we didn't protest
15 their calculation of their 49 percent allowable
16 because we thought they ought to be able to
17 produce that amount but not an excessive amount
18 because of proximity to the flood front.

19 Q. (BY MR. CARR) Did you discuss the
20 proximity to the flood front or the lease lines
21 in those negotiations, or do you recall?

22 A. Well, as Mr. Statton stated earlier,
23 and no disrespect to the Commission, but we were
24 just doing business as usual. And business as
25 usual was using those three calculations and not

1 some form of reservoir data, which to my
2 knowledge has never been used.

3 MR. CARR: That's all.

4 EXAMINER CATANACH: Mr. Kellahin.

5 MR. KELLAHIN: Let me follow up on
6 these last comments.

7 EXAMINATION

8 BY MR. KELLAHIN:

9 Q. Mr. Headrick, you said the three-factor
10 formula was business as usual?

11 A. Well, as far as determining an
12 allowable percentage on unorthodox locations.
13 Not business as usual for us, but just as far as
14 we understood it was determined in the state of
15 New Mexico.

16 Q. Other than the Musselman well and the
17 Apache well, can you cite me to any other penalty
18 order in this pool that uses those three factors
19 for this penalty?

20 A. I believe the BHP well in Section 36
21 north of us used that.

22 Q. Any others?

23 A. That's the one we keyed off of when we
24 did our presentation and obtained waivers from
25 offset operators. And as I remember -- I don't

1 have it in front of me -- but as I remember, the
2 Amoco proposal to us was almost verbatim off of
3 our proposal --

4 Q. Thank you.

5 A. -- our original proposal.

6 EXAMINATION

7 BY EXAMINER CATANACH:

8 Q. Might it have been a better idea to
9 curtail your well from the date of first
10 production?

11 A. Without a doubt.

12 Q. But you did not do so?

13 A. We -- as I stated earlier, I think that
14 it's -- hindsight is fabulous in this case. We
15 thought that from looking at the other wells that
16 have watered out to the north and east of us that
17 we would have ample warning in the form of small
18 incremental amounts of water being produced at
19 first so that we could bring our production down
20 to a point where we could make it live as long as
21 possible after water began to encroach.

22 In hindsight we believe, and it's my
23 opinion, that these rates probably should have
24 been reduced, you know, before we did reduce them
25 because of reservoir factors.

1 EXAMINER CATANACH: I believe that's all
2 I have. Anything else of this witness?

3 MR. STOVALL: Yes.

4 EXAMINATION

5 BY MR. STOVALL:

6 Q. Back to one -- keep going back to this
7 agreement thing. What is your understanding of
8 the purpose of a penalty in an unorthodox
9 location situation, penalty against a well or
10 restriction, whatever you want to call it?

11 A. My original understanding was that the
12 state of New Mexico did not encourage unorthodox
13 locations, especially at the time that we were
14 applying for ours and that any offset operator
15 who had an interest, regardless of which side of
16 the section he was on from the well in the
17 unorthodox location, that he could protest.

18 Q. Is it your understanding then that the
19 penalty -- the purpose of the penalty is to
20 discourage unorthodox locations, or does it have
21 another purpose?

22 A. That's what we were told when we
23 applied for ours is that the state of New Mexico
24 had discouraged them. But as long as we could --
25 as the operator could come to an agreement

1 outside of the hearing process on establishing a
2 reduced rate, then the OCD would allow it.

3 Q. What if I told you that the real
4 purpose of the -- I should use the term
5 "restriction" rather than penalty, although
6 we've always used penalty -- is to negate any
7 advantage that an operator gains from moving
8 closer to another operator's tract in terms of
9 draining that second operator's tract?

10 A. Well, yeah.

11 Q. Does that make sense to you?

12 A. Sure. That's -- we assumed that's
13 where it originally started and because of that
14 then the OCD discouraged unorthodoxed locations.

15 Q. The reason it discouraged them is to
16 prevent the drainage from -- and the whole reason
17 for spacing rules in the first place is to try to
18 have a well drain its own proration unit rather
19 than offsetting proration units.

20 A. Right. We assumed that without those
21 guidelines that any operator could go -- put a
22 well anywhere they wanted to on their lease and
23 drain offset.

24 Q. Sounds like spindle top to me.

25 A. Yeah. So we agree with the reasoning

1 behind all of it. And as long as there's an
2 agreement with offset operators, then --

3 Q. Well, then all the testimony here, and
4 again we're going back to the same point that's
5 been raised, is that this unorthodox location is
6 not likely to cause any, if you will, excess
7 drainage off the Musselman tract; is that
8 correct, because it doesn't get any closer to it?

9 A. Yeah. Our contention all along has not
10 been that we're concerned about their draining
11 our reserves, per se. We're more --

12 Q. Okay. Let me stop you right there.
13 Your concern has to do with this thing about the
14 water coning and the --

15 A. Yeah.

16 Q. -- if you would draw too fast, you
17 would bring water in and all those problems?

18 A. That's correct.

19 Q. Again, if they put their well at 16 --
20 what is it 1650 -- 1650 of the corner, they're
21 probably actually a little closer to your well, a
22 little further to the east, doesn't that have a
23 greater potential to bring water in and you've
24 got no recourse because you don't have an
25 unorthodox location situation in which to try to

1 enforce some restriction; is that correct?

2 A. Yes. There's no immediate remedy as
3 far as the Commission goes, as far as I'm aware
4 of. But the closer the proximity to the flood
5 front, the more likely they are to draw water in.

6 Q. In other words, the closer they got to
7 the flood front and the closer they got to your
8 well, yet you'd have no remedy in that case;
9 isn't that correct?

10 A. Well, not so much the closer they got
11 to our well as they are to the flood front.
12 Those two wells essentially, if I might, it's my
13 opinion that those two wells, although they're
14 legal distance apart, even now in their current
15 situation they create a localized pressure sink
16 that draws water and gas to them.

17 Q. I will express to you my concern again,
18 as expressed to Mr. Statton, is that you're in an
19 unorthodox well case which is encroaching upon
20 property which is not yours, trying to impose a
21 penalty that's designed for a different purpose,
22 to prevent the aura of water coning and drawdown,
23 and then when you look at the manner in which the
24 penalty is applied, again the question of
25 percentage of an allowable, it doesn't

1 necessarily accomplish that because the allowable
2 is high enough you've still got the same pressure
3 drawdown, even if you impose a very significant
4 production restriction; is that not correct?

5 A. Well, I think that it would take a very
6 exhaustive pressure study of the area in order to
7 arrive at the optimum withdrawal rates from not
8 just our well or their well but all wells. But
9 it's my understanding that, as we discussed
10 earlier, that the purposes of these penalties is
11 to not only protect the offset rights of other
12 offset operators, but also to conserve
13 resources.

14 And I think that by preventing, in
15 whatever manner we can within reasonable bounds,
16 economic bounds, the encroachment of waters, then
17 we're protecting our rights. But also I think
18 that -- I mean it's our opinion that Apache will
19 be, by lowering their rates, will be protecting
20 their resources under their lease also.

21 Q. If that makes good engineering sense,
22 presumably Ms. Leonard will figure that out.
23 They may start seeing water in that well, I
24 guess. I guess what I'm saying to you is we
25 could impose a 10 percent allowable on that well,

1 well then they just say, "Let's go back to an
2 orthodox location and drill again," if they
3 didn't get enough gas, and they aggravate,
4 perhaps, that problem rather than mitigate it.

5 Once again, I'm concerned that we are
6 in the wrong case to accomplish what you would
7 because we're looking at unorthodox locations on
8 a well-specific basis, and what you're talking
9 about is a reservoir management situation.

10 A. Well --

11 Q. So I suggest you think about it.
12 That's not a question. That's a statement. So I
13 don't know that -- I understand why you're here.
14 It's the forum you've got right now.

15 A. We agree with you. It probably ought
16 to be addressed in the future because the Indian
17 Basin field is a huge resource that needs to be
18 managed. And the edge wells all around this
19 field are going to have this problem from now
20 on. And the withdrawal rates in the field,
21 whether they're up on top of the structure or
22 right next to the flood front, are going to have
23 something to do with the amount of gas that's
24 produced out of the field ultimately.

25 MR. STOVALL: And I'll be a little

1 heretical and say that the other four might be
2 the allowable here in the semiannual allowable
3 hearing. Familiarize yourself with that process
4 to determine how allowables -- that will get my
5 engineer all excited when I start talking about
6 that.

7 But I have nothing further.

8 EXAMINER CATANACH: Anything further of
9 this witness? If not, he may be excused. Would
10 counsel like to give brief closing statements?

11 MR. KELLAHIN: We waive closing
12 statements.

13 MR. BRUCE: Mr. Examiner, let me first
14 address Mr. Stovall's suggestion about lack of
15 jurisdiction. I think Musselman, Owen & King is
16 trying to protect their correlative rights, which
17 is certainly within the OCD's jurisdiction. And
18 although the MOK people state that they're not
19 concerned about drainage, obviously if their well
20 waters out quickly, those reserves will be
21 captured by someone else, not by Musselman, Owen
22 & King.

23 Furthermore, when you talk about this
24 is the wrong forum to assess a penalty because of
25 the, in effect, the location of the Apache well

1 standard as to Musselman, Owen & King, I would
2 raise the issue of the Stevens Operating case
3 wherein a penalty was assessed against a well at
4 a standard location in an oil pool in effect.

5 So I believe the OCD does have
6 jurisdiction to do what's necessary in this case
7 to protect the rights of offsets, including those
8 of Musselman, Owen & King.

9 MR. STOVALL: Let me make the record
10 clear so that you understand it. I am not
11 suggesting that they don't have the jurisdiction
12 in this case. I am suggesting that we may not be
13 addressing the right issues.

14 MR. BRUCE: I'm raising that just to
15 make my record. MOK agrees that MW/Apache isn't
16 moving closer to MOK, but as has been stated,
17 that's not the problem. The problem is water
18 encroachment. Apache's own witnesses stated the
19 water is coming down from the southeast.
20 Obviously, it will reach the MOK well well before
21 it reaches the Apache well.

22 The Musselman well began producing
23 water approximately two months ago. And combined
24 with the report of water in the Amoco and now
25 Apache Smith No. 1 well, there is a doubt where

1 the flood front is. It could be close; it could
2 be relatively far away. But I think action needs
3 to be taken to protect the resources in this
4 field.

5 MW/Apache, in essence, seeks to
6 increase its allowable, its production rate, by
7 60 percent. The current allowable factor is 48
8 or 49 percent, and they seek to increase that to
9 77-and-a-half percent. That's a substantial
10 increase.

11 Musselman, Owen & King is afraid that
12 this may cause a more rapid watering out of their
13 well, therefore causing wasted reserves and, as I
14 stated, adversely affecting their correlative
15 rights.

16 For that reason we believe that you
17 must leave the distance method in the penalty
18 calculated by Apache. The nearness to the
19 section line clearly allows MW to -- it appears
20 to obtain a better well, and this increased
21 production will affect Musselman, Owen & King.

22 MOK is sympathetic to their plight.
23 Obviously, MOK has an unorthodox location, and
24 both companies clearly want to drain what's under
25 their sections. In fact, MOK does not agree to a

1 small increase in the allowable. We do not think
2 that will unduly harm the MOK well. But we don't
3 think there should be a 60 percent increase in
4 the allowable.

5 And for that reason we would suggest
6 that if this application is granted, that any
7 increase should be kept relatively small. I
8 think during the winter months, the allowables on
9 these wells are quite high. And as pointed out
10 by Mr. Stovall, even a small increase in the
11 allowable would allow substantial additional
12 production.

13 Thank you.

14 EXAMINER CATANACH: Mr. Carr.

15 MR. CARR: May it please the Examiner,
16 this is a strange case. What we have is a
17 situation where Apache/MW takes over a property
18 from Amoco, and they drill a well that has been
19 approved by the Division with a penalty imposed
20 based on assumptions.

21 When the well was drilled, the
22 assumptions don't match information from the
23 reservoir. And so they're before you today
24 seeking an adjustment in the penalty.

25 We can't tell you why a penalty is

1 appropriate at all. We're not encroaching on
2 anybody but ourselves, but for some reason we've
3 inherited the well with an order that imposes a
4 penalty, the data underlying that penalty
5 calculation has changed, so we're asking for a
6 similar change.

7 Musselman, an offset operator to the
8 north, comes in and objects. They're closer to
9 the common boundary than we are. They admit that
10 they're not concerned about the location.
11 They're concerned about withdrawal rates, and
12 their concern stems from the fact that their well
13 is making water because it's close to a flood
14 front.

15 We get some suggestions that what we
16 ought to do is balance withdrawal rates between
17 our well and theirs to deal with the problem.
18 Certainly that misses the point. If there is a
19 legitimate question concerning withdrawal rates,
20 that would apply field-wide. It would apply to
21 every operator in the field.

22 And, in fact, just because somebody
23 happens to have a well positioned near to a
24 waterfront doesn't mean necessarily, without any
25 evidence to support it, other than just

1 speculation, that we should come in and start
2 looking at an allowable hearing or changing the
3 rules at all.

4 That's another case. That's another
5 day. If that comes up, Mr. Kellahin and I will
6 really be on the same side and sure, because
7 we'll be opposed to the reducing of these
8 allowables just because one well is near a
9 waterfront.

10 It's a bizarre case, but it doesn't
11 have to be because when you're asked to decide a
12 case, Mr. Catanach, what you look at, I assume,
13 is the application. I assume you look at the
14 rules. And I assume you review the record. I
15 have no reason to think you do otherwise.

16 When you look at the application,
17 there's one thing before you, that's an
18 adjustment in penalty. When you look at the
19 record, only two people testified and presented
20 evidence. Musselman says they could, but they
21 didn't. They come and say, "Well, we don't
22 believe their evidence." That's argumentative,
23 and that's not supported by anything they've put
24 in the record.

25 Look at the record. Two expert

1 witnesses qualified. Two people presented data,
2 and both of them showed that the reservoir
3 doesn't match the assumptions that were used in
4 setting this penalty. For that alone I think you
5 need to, when you review the record, look at what
6 MW and Apache has presented.

7 Then you also have to take that
8 information and, Mr. Catanach, you have to look
9 at that information in context of the rules.
10 This isn't just an equitable forum where in the
11 context of the unorthodox location case we can
12 come in and talk about maximum efficient rates,
13 balancing equities, whatever else, if studies
14 were done, which haven't been done.

15 We're talking about a penalty for an
16 unorthodox location. And the authority that you
17 have to look to is Rule 104-G. And that rule
18 says that whenever an exception -- we're talking
19 about location exceptions -- whenever an
20 exception is granted, the Division may take such
21 action as will offset any advantage which the
22 person securing the exception may obtain over
23 other producers by reason of the unorthodox
24 location.

25 You see, this case falls even outside

1 the statute if you're to impose a penalty. What
2 we have here is no advantage being gained on
3 another producer -- we're only encroaching on
4 ourselves -- and no advantage being gained by
5 reason of the unorthodox location.

6 Why should there be a penalty? We
7 submit if you look at the rules, if you look at
8 this application, and if you look at the record,
9 the only thing you can do is grant a 77.5 percent
10 production factor or really follow the law and
11 the rule and impose no penalty at all.

12 And if Musselman has a legitimate
13 concern that is field-wide and not just a factor
14 of the particular geology and then the
15 engineering facts that surround their well, which
16 was drilled years after other people developed
17 the pool, if they have a real complaint and a
18 real concern, this forum remains open and is
19 qualified to review technical data when it is
20 developed that addresses this waterfront and
21 water coning problem. That is not the question
22 before you today.

23 When you review this case, we ask you
24 to look at the application, review this record,
25 and compare that to the rules of this Division,

1 and when you do, you will grant the application
2 of Apache and MW Corporation.

3 EXAMINER CATANACH: Thank you, Mr. Carr
4 and Mr. Bruce.

5 Is there anything further? There being
6 nothing further, Case 10412 will be taken under
7 advisement.

8 (The proceedings were concluded.)
9
10
11
12
13
14
15
16
17

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10412,
heard by me on December 5, 1991.

David Catanch, Examiner
Oil Conservation Division


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4) ss.
COUNTY OF SANTA FE)

5
6 I, Debbie Vestal, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that
8 the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me;
10 that I caused my notes to be transcribed under my
11 personal supervision; and that the foregoing is a
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a
14 relative or employee of any of the parties or
15 attorneys involved in this matter and that I have
16 no personal interest in the final disposition of
17 this matter.

18 WITNESS MY HAND AND SEAL December 17,
19 1991.

20
21
22 
23 _____
24 DEBBIE VESTAL, RPR
NEW MEXICO CSR NO. 3
25