

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICOHearing Date SEPTEMBER 1, 1994 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
Maurice Trimmer	R.W. Byrner	SF
Eric Hoers	Amerada Hess Corp.	Monument, NM
Bob Williams	Amerada Hess Corp.	" "
Terry Payne	Bass Enterprises Production Co.	Midland
Y. J. Williams	Phillips 66	Santa Fe
William A. Hall	Campbell, Taylor, & Henderson	Santa Fe
Jerry W. Hoover	Conoco Inc.	Midland, TX
Terry McCance	Texasaco	Midland
Jim Bruce	Hinkle Law Firm	SF
Conte D. Smith	Santa Fe Energy	Midland, TX
Mike Illi	SANTA FE Energy	Midland, TX
DAVID White	SANTA FE Energy	Midland, TX
Daniel Polots	SANTA FE ENERGY	MIDLAND, TX

NEW MEXICO OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
STATE OF NEW MEXICO
CASE NO. 10444

IN THE MATTER OF:

Case No. 10444 Being Reopened Pursuant
to the Provisions of Order No. R-9696
Which Order Promulgated Special Rules
and Regulations for the Hobbs-Lower
Blaine Pool, Including a Provision
for 80-Acre Spacing Units.

BEFORE:

JIM MORROW


Hearing Examiner

State Land Office Building

September 1, 1994

REPORTED BY:

CARLA DIANE RODRIGUEZ, NMCCR No. 4
Certified Shorthand Reporter
for the State of New Mexico



ORIGINAL

A P P E A R A N C E S

FOR THE OIL CONSERVATION DIVISION:

State of New Mexico Oil Conservation Division
Room 206, Land Office Building
Post Office Box 2088
Santa Fe, New Mexico 87504-2088
By: RAND L. CARROLL, ESQ.

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Post Office Box 2208
Santa Fe, New Mexico 87504-2208
BY: WILLIAM F. CARR, ESQ.

I N D E X

	Page Number
Appearances	2
WITNESSES FOR THE APPLICANT:	
1. <u>ERIC JOHN HAAS</u>	
Examination by Mr. Carr	3
Examination by Mr. Morrow	17
Certificate of Reporter	22

E X H I B I T S

	Page Marked
Exhibit No. 1	7
Exhibit No. 2	10
Exhibit No. 3	12
Exhibit No. 4	13
Exhibit No. 5	14
Exhibit No. 6	14
Exhibit No. 7	16

1 EXAMINER MORROW: Call Case 10444.
2 Call for appearances.

3 MR. CARR: May it please the Examiner,
4 my name is William F. Carr with the Santa Fe law
5 firm Campbell, Carr, Berge & Sheridan.

6 I represent Amerada Hess Corporation in
7 this matter and I have one witness.

8 EXAMINER MORROW: Would the witness
9 please stand to be sworn.

10 **ERIC JOHN HAAS**

11 Having been first duly sworn upon his oath, was
12 examined and testified as follows:

13 EXAMINATION

14 BY MR. CARR:

15 Q. Would you state your name for the
16 record, please?

17 A. Eric John Haas.

18 Q. Mr. Haas, where do you reside?

19 A. Hobbs, New Mexico.

20 Q. By whom are you employed?

21 A. Amerada Hess Corporation.

22 Q. What is your current position with
23 Amerada Hess Corporation?

24 A. Senior production foreman.

25 Q. Have you previously testified before

1 this Division?

2 A. No, I have not.

3 Q. Would you briefly summarize for Mr.
4 Morrow your educational background, and then
5 review your work experience?

6 A. Okay. I graduated from New Mexico
7 Institute of Mining and Technology in June of
8 1984, with a bachelor of science degree in
9 petroleum engineering.

10 Upon graduation, I went to work for
11 Amerada Hess Corporation in the Monument district
12 office, where I am currently employed.

13 Q. And your geographic area of
14 responsibility includes the portion of Southeast
15 New Mexico involved in this case?

16 A. Yes, it does.

17 Q. Are you familiar with the Hobbs-Lower
18 Blinbry Pool and the producing capabilities of
19 the wells in that pool?

20 A. Yes, I am.

21 Q. Have you prepared certain exhibits for
22 presentation today in this hearing?

23 A. Yes, I have.

24 MR. CARR: Are the witness's
25 qualifications acceptable?

1 EXAMINER MORROW: Yes.

2 Q. Would you briefly state what Amerada
3 Hess seeks with its presentation in this case?

4 A. Amerada Hess seeks the adoption of
5 permanent pool rules for the Hobbs-Lower Blinebry
6 Pool, providing for 80-acre well spacing.

7 Q. Initially, Mr. Haas, could you provided
8 the Examiner with a general background or history
9 of this pool?

10 A. The Hobbs-Blinebry was established in
11 November 1968 by order R-3530. The development
12 occurred primarily in the late 1960s and early
13 1970s.

14 In July of 1992, the pool was divided
15 into the Upper and Lower portions by Order
16 R-9696. This was brought about by the completion
17 of the Amerada Hess Corporation State "A" No. 5
18 in the Lower Blinebry Pool, and the subsequent
19 application by Amerada Hess Corporation for
20 special pool rules for the Hobbs-Lower Blinebry
21 and 80-acre well spacing.

22 Q. Prior to July 1992, the pool was
23 operated as one reservoir?

24 A. That's correct.

25 Q. Under statewide spacing that provided

1 for 40-acre oil well spacing?

2 A. That's correct.

3 Q. And Amerada Hess drilled and completed
4 the State "A" No. 5 in the Lower zone?

5 A. That is correct.

6 Q. That was really the first well capable
7 of producing from the Lower zone, was it not?

8 A. It was the first well that was produced
9 from the Lower zone.

10 Q. Because of the information on that
11 well, you came to the Division and obtained a
12 division of the pool into two reservoirs?

13 A. That is correct. The evidence from the
14 producing characteristics of the well indicated
15 that it was producing from a separate source of
16 supply and that it was, in fact, capable of
17 draining the 80-acre State "A" lease.

18 Q. Amerada Hess was the original
19 applicant?

20 A. That is correct.

21 Q. Have you reviewed the exhibits and the
22 transcript of the hearing held in February of 92?

23 A. Yes, I have.

24 Q. Since that time, is there any new
25 evidence concerning the separation of the

1 Blinebry into two reservoirs?

2 A. There is no new evidence, to my
3 knowledge, but I would like at this time to
4 present the first item in our exhibit packet,
5 labeled Exhibit 1, which is a type log from the
6 Amerada Hess Corporation State "A" No. 5 located
7 in Section 32, Township 18 South, Range 38 East.

8 The type log shows the top of the Upper
9 Blinebry formation at a depth of 5738, the top of
10 the Lower Blinebry formation at a depth of 6203,
11 and the top of the Tubb formation at a depth of
12 6418.

13 I also want to note the shale bed
14 marker, which was identified in the 1992
15 testimony located at 6203, was identified as
16 being continuous across the field, and this was
17 supported by exhibits presented in 1992, which
18 were numbered 4 and 5, and comprised
19 cross-sections trending north/south and
20 east/west.

21 The geological evidence presented at
22 the time further suggested that this shale bed
23 marker at 6203 provided an impermeable separation
24 between the Upper and Lower formations.

25 Q. Mr. Haas, this type log was offered as

1 Amerada Hess's Exhibit No. 2 in the original
2 hearing, was if not?

3 A. That's correct.

4 Q. Based on this type log, the Division
5 defined the break between the Upper and Lower
6 Blinebry at a depth on this log of 6203?

7 A. That's correct.

8 Q. In your opinion, are the Upper and
9 Lower Blinebry separate sources of supply?

10 A. The geologic evidence suggests that
11 they are. The producing characteristics of the
12 two pools confirm that they are.

13 Q. Is there pressure and production
14 information on the two reservoirs?

15 A. Yes, there is.

16 Q. Could you review that generally, for
17 the Examiner?

18 A. In May of 1969, the Shell State "A" No.
19 6 had a bottomhole pressure taken in the Upper
20 Blinebry interval at a depth of -2200 feet
21 subsea. It was found to be 2008 psia.

22 In March 1985, Amerada Hess Corporation
23 measured the static bottomhole pressure in the
24 State "A" No. 5 well, also in the Upper Blinebry
25 interval, and found it to be 630 psia at a depth

1 of -2227 feet subsea. This pressure was
2 consistent with the marginally productive
3 producing nature of the pool at that time.

4 In addition, in March of 1985, Amerada
5 Hess Corporation conducted a pressure survey on
6 the Lower Blinebry interval and determined the
7 bottomhole pressure to be 2455 psia at a depth of
8 -2600 feet subsea.

9 The difference in pressure between 2455
10 and 630 indicates that there is significant
11 separation between the two pools.

12 Q. How do the gravities of the oils from
13 the two intervals compare?

14 A. The Upper Blinebry Pool is
15 characterized as a solution gas-type drive with a
16 black oil, having an api gravity of approximately
17 38.4 degrees api.

18 The Lower Blinebry, on the other hand,
19 is characterized as a gas condensate reservoir,
20 producing a green condensate with an api gravity
21 of 49.4.

22 Q. So, the gravities and the pressure
23 information confirm what the geology shows, and
24 that is the two separate sources of supply?

25 A. That is correct.

1 Q. At the original hearing in 1992, how
2 many wells were actually completed in the Lower
3 Blinebry?

4 A. One.

5 Q. Today, how many wells are completed in
6 the pool?

7 A. There are two.

8 Q. Do you anticipate that there's going to
9 be additional development in the reservoir?

10 A. I don't think it's likely.

11 Q. At the original hearing, Amerada Hess
12 requested an increase in the gas/oil ratio for
13 this pool, and Order R-9696 was entered, and I
14 quote:

15 "Encouraged Amerada Hess to present any
16 available data to support its request, should it
17 desire a special gas/oil ratio for the newly
18 formed Hobbs-Lower Blinebry Pool." My question
19 is, does Amerada Hess still seek an increase in
20 the gas/oil ratio for the pool?

21 A. No, we do not.

22 Q. Let's go to what has been marked for
23 identification as Amerada Hess Exhibit No. 2.
24 Would you identify this first and then review it
25 for Mr. Morrow?

1 A. Yes. Exhibit No. 2 is a plat of the
2 Hobbs field. Indicated on the plat are the wells
3 which have penetrated the Lower Blinebry
4 interval. In addition, the Amerada Hess
5 ownership has been indicated by shading.

6 Additionally, the four significant
7 production tests which were conducted in the
8 Lower Blinebry formation are indicated.

9 Beginning in the upper left corner, the
10 Shell McKinley "A" No. 11, located in Section 19,
11 was tested in April of 1970, from 6375 to 6377,
12 and swabbed at a daily rate of 360 barrels of
13 water per day. The perforations were
14 subsequently cement squeezed.

15 The Amerada Hess State "A" No. 5,
16 located in Section 32, was tested in February of
17 1985, from perforations 6204 to 6275, resulting
18 in a test of 35 barrels of oil per day, zero
19 water, and 1125 Mcf per day, flowing on a 16/64"
20 choke at 960 pounds flowing tubing pressure.

21 The Shell State "A" No. 7, also located
22 in Section 32, was drill-stem tested in June 1969
23 and flowed gas to surface in 15 minutes at a rate
24 of 326 Mcf per day.

25 The initial and final shut-in pressures

1 recorded were 2424 psia.

2 The final test in the Shell Grimes No.
3 10, located in Section 28, was performed in
4 October of 1969, from perforations 6284 to 6324.
5 The final flow test on this well resulted in
6 production of 7 barrels of oil per day, 320
7 barrels of water per day, and an estimated gas
8 rate of 500 Mcf per day on a 30/64" choke.

9 Q. How does this information relate to the
10 general structure of the Lower Blinebry in this
11 area?

12 A. This information indicates that there's
13 significant variations in the producing
14 characteristics of the pool, which can be
15 explained if we refer to Exhibit No. 3.

16 Q. That's your structure map?

17 A. That's correct.

18 Q. Would you review that for Mr. Morrow?

19 A. Yes. Exhibit No. 3 is a structure map
20 of the top of the Lower Blinebry Pool. As
21 indicated, the Amerada Hess State "A" lease has
22 significant structural advantage. It's also
23 important to note that the Shell McKinley "A" No.
24 11 in Section 19, and the Shell Grimes No. 10 in
25 Section 28, are more than 40 feet down structure

1 to our lease.

2 Q. Let's go now to Amerada Hess Exhibit
3 No. 4. Would you identify that and review it?

4 A. Yes. Exhibit No. 4 is a volumetric
5 analysis technique which was outlined in Applied
6 Petroleum Reservoir Engineering by Kraft &
7 Hawkins. It was also presented in the 1992
8 testimony as Exhibit No. 8.

9 The results of this analysis show that,
10 assuming an 85-percent recovery factor and an
11 80-acre drainage area, we can expect to recover
12 32,200 barrels of oil and 1.03 Bcf.

13 Q. Did you also present, at that time,
14 some pressure and cumulative production
15 information?

16 A. Yes. In 1992, a pressure versus
17 cumulative plot was also presented based on two
18 bottomhole pressure values, which showed that the
19 ultimate recovery would be 1.05 Bcf at an
20 abandonment pressure of 500 psia.

21 Q. That's what you presented back in 1992?

22 A. That's correct.

23 Q. Has new information become available to
24 Amerada Hess since that last hearing?

25 A. Yes, referring now to Exhibit No. 5, a

1 production plot of the State "A" No. 5,
2 Hobbs-Lower Blinebry production, showing the
3 production since March 1985 through March 1994.

4 Also indicated is the casinghead
5 allowable with the increase which was granted in
6 mid-1992.

7 Q. Basically,, what does this exhibit
8 show?

9 A. It shows that we have taken advantage
10 of the allowable increase, as outlined in the
11 1992 order.

12 Q. Let's go to Exhibit No. 6. Would you
13 identify and review that?

14 A. Exhibit No. 6 is a refined pressure
15 versus cumulative plot, based on a static
16 bottomhole pressure which was obtained in July of
17 this year.

18 It shows that the ultimate recovery,
19 assuming a 300 psia abandonment pressure, will be
20 1.08 Bcf, showing a good agreement between not
21 only the volumetric analysis presented in 1992
22 and here today, but also with the pressure versus
23 cumulative information presented in 1992.

24 Q. Basically, what you've obtained is
25 static bottomhole pressure information, and

1 that's enabled you to further refine your
2 recovery projections, and they are in line with
3 what you originally estimated?

4 A. That is correct.

5 Q. Do you anticipate any other operator
6 needing a higher allowable, other than Amerada
7 Hess?

8 A. No, I do not.

9 Q. You, in fact, have the only top
10 allowable well in the pool?

11 A. That is correct.

12 Q. Do you recommend that permanent rules
13 be adopted for the pool?

14 A. Yes. Based on the agreement between
15 the volumetric analysis and the pressure versus
16 cumulative recovery estimate, we feel that
17 80-acre well spacing is an efficient means of
18 draining this pool.

19 Q. In your opinion, will adoption of
20 permanent rules for the Lower Hobbs Blinebry
21 Pool, providing for 80-acre spacing, be in the
22 best interest of conservation, the prevention of
23 waste, and the protection of correlative rights?

24 A. Yes. The 80-acre well spacing is
25 consistent with the data presented both in 1992

1 and today.

2 Q. 80-acre spacing would, in fact, be
3 consistent with how this reservoir actually
4 produces?

5 A. That is correct.

6 Q. Do you recommend that these zones
7 continue to be produced as separate reservoirs?

8 A. Yes, we do.

9 Q. Is Amerada Hess Exhibit 7 a summary of
10 your presentation in this case?

11 A. Yes, it is.

12 Q. Were Exhibits 1 through 7 prepared by
13 you?

14 A. Yes.

15 MR. CARR: At this time, Mr. Morrow, we
16 move the admission into evidence of Amerada Hess
17 Exhibits 1 through 7.

18 EXAMINER MORROW: Exhibits 1 through 7
19 are admitted.

20 MR. CARR: That concludes my direct
21 examination of Mr. Haas.

22 EXAMINATION

23 BY EXAMINER MORROW:

24 Q. Mr. Haas, on Exhibit 1, you quoted some
25 bottomhole pressure information and the depth to

1 date and I didn't get all that down. I believe
2 all the pressures I would like to have now would
3 be from this well on this exhibit.

4 A. Okay. Not indicated on this type log
5 are the original Upper Blinbry perforations,
6 from 5905 to 5957.

7 Q. In the Upper?

8 A. Yes, that's correct.

9 Q. Now, the little dash or minus marks, or
10 dashes, I guess--

11 A. That is not subsea, no. The pressure
12 in that interval was 630 psia in March of 1985.

13 Q. And that was at that perforation depth?

14 A. That's correct.

15 Q. Okay. All right.

16 A. Okay. In the lower interval, from 6204
17 to 6275, bottomhole pressure also obtained in
18 March of 1985, it was found to be 2455 psia.

19 Q. Were there some subsequent pressures
20 measured at a later date, that you testified to?

21 A. Yes. In the lower interval, July 14th
22 of this year, we measured a pressure of 901 psia.

23 Q. 901?

24 A. Yes. And on March 15, 1991, a pressure
25 of 1596 psia. And these are all extrapolated to

1 the same depth.

2 Q. And the Upper zone is still on pump, I
3 guess?

4 A. No, the Upper zone we abandoned
5 following the completion of the Lower zone, due
6 to its marginal producing nature.

7 Q. Did you cite some pressures in other
8 wells from the Upper zone, or was this the only
9 thing you gave me the first time around?

10 A. I have an original bottomhole pressure
11 from a well to the south, the Shell State "A" No.
12 6.

13 Q. Okay.

14 A. It's probably fairly close to the
15 original reservoir pressure. It was obtained in
16 May of 1969, at a depth of -2200 feet subsea, and
17 it was 2008 psia.

18 Q. Okay. On Exhibit No. 2, the two
19 producing wells are what? Which wells?

20 A. The Amerada Hess State "A" No. 5 in
21 unit letter A of Section 32, 18-38.

22 Q. And that was a discovery well?

23 A. That's correct. And the other well is
24 the Shell State "A" No. 7, located in Unit H of
25 Section 32, 18 South, 38 East.

1 Q. Are the current pool limits as shown on
2 this map?

3 A. Yes, that's correct.

4 Q. Do you see any reason to change those?

5 A. Not at all.

6 Q. Even though you do think that's all the
7 development you're going to have?

8 A. Looking at the structure map, it's
9 conceivable that there is another structural high
10 down to the southeast of our property, that there
11 is potential for development.

12 Q. The recovery that you show on your
13 Exhibit No. 4, that is for just the one well, as
14 I understand?

15 A. That is correct. It's for the State
16 "A" No. 5 reservoir parameters, based on an
17 80-acre drainage area.

18 Q. What about the other well? Is it half
19 as good as this one?

20 A. The Shell State "A" No. 7 was completed
21 from perforations 6205 to 6260 in March of 1993,
22 and had an initial potential test of three
23 barrels of oil per day, zero water, and 300 Mcf
24 per day, flowing at about 30 pounds flowing
25 tubing pressure.

1 Q. So, what is your current gas/oil ratio?

2 A. In our well?

3 Q. Yes, sir.

4 A. 55,000.

5 Q. So you're primarily just producing your
6 gas limit on what oil you can get with it, is
7 that correct?

8 A. That's correct.

9 Q. How much oil are you given if you're
10 gas limited?

11 A. In April of 1994, we averaged six
12 barrels of oil per day, two water, and 335 Mcf.

13 Q. How much Mcf?

14 A. 335.

15 Q. I believe the limit's 4?

16 A. 444, that's correct.

17 Q. So you're not quite making your gas
18 allowable, either?

19 A. No, we're not, but we've attributed
20 that partially to some operational problems.
21 We've had to swab the well occasionally, and it's
22 actually been higher since then.

23 Q. You're just about at the allowable?

24 A. That's correct; 395 in August.

25 EXAMINER MORROW: Thank you.

1 MR. CARR: Mr. Morrow, that's all we
2 have to present in this case.

3 EXAMINER MORROW: All right. Thank
4 you, Mr. Carr.

5 Case 10444 will be taken under
6 advisement.

7 (And the proceedings concluded.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)


I, Carla Diane Rodriguez, Certified
Shorthand Reporter and Notary Public, HEREBY
CERTIFY that the foregoing transcript of
proceedings before the Oil Conservation Division
was reported by me; that I caused my notes to be
transcribed under my personal supervision; and
that the foregoing is a true and accurate record
of the proceedings.

I FURTHER CERTIFY that I am not a
relative or employee of any of the parties or
attorneys involved in this matter and that I have
no personal interest in the final disposition of
this matter.

WITNESS MY HAND AND SEAL September 16,
1994.


CARLA DIANE RODRIGUEZ, RPR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10444
heard by me on Sep. 1 1994.


Examiner
Oil Conservation Division