

## 1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10495

5  
6 IN THE MATTER OF:7  
8 The Application of Beach Exploration,  
9 Inc., for amendment of Division Order  
10 No. R-9453 to increase the injection  
11 pressure limitation in its Red Lake  
12 Unit Penrose Waterflood Project, Eddy  
13 County, New Mexico.

14 BEFORE:

15  
16 DAVID R. CATANACH

17 Hearing Examiner

18 State Land Office Building

19 June 25, 1992

20  
21  
22 REPORTED BY:23 DEBBIE VESTAL  
24 Certified Shorthand Reporter  
25 for the State of New Mexico**ORIGINAL**

## A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel

State Land Office Building

Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN, KELLAHIN & AUBREY

Post Office Box 2265

Santa Fe, New Mexico 87504-2265

BY: W. THOMAS KELLAHIN, ESQ.

## I N D E X

## Page Number

Appearances

2

## WITNESSES FOR THE APPLICANT:

1. HAL GILL

Examination by Mr. Kellahin 7

Examination by Examiner Catanach 27

2. BRADLEY M. ROBINSON

Examination by Mr. Kellahin 30

Examination by Examiner Catanach 71

Further Ex. by Mr. Kellahin 82

Certificate of Reporter

85

## E X H I B I T S

## Page Identified

Exhibit No. 1	8
Exhibit No. 2	11
Exhibit No. 3	15
Exhibit No. 4	17
Exhibit No. 5	18
Exhibit No. 6	19
Exhibit No. 7	20
Exhibit No. 8	24
Exhibit No. 9	24
Exhibit No. 10	24
Exhibit No. 11	24
Exhibit No. 12	34
Exhibit No. 13	36
Exhibit No. 14	14

1 EXAMINER CATANACH: At this time we'll  
2 call Case 10495.

3 MR. STOVALL: Application of Beach  
4 Exploration, Inc., for amendment of Division  
5 Order No. R-9453 to increase the injection  
6 pressure limitation in its Red Lake Unit Penrose  
7 Waterflood Project, Eddy County, New Mexico.

8 EXAMINER CATANACH: Are there  
9 appearances in this case?

10 MR. KELLAHIN: Mr. Examiner, I'm Tom  
11 Kellahin of the Santa Fe law firm of Kellahin,  
12 Kellahin & Aubrey, appearing on behalf of the  
13 applicant, and I have two witnesses.

14 EXAMINER CATANACH: Are there any other  
15 appearances? Mr. Carr?

16 MR. CARR: Do you need an attorney or a  
17 witness?

18 EXAMINER CATANACH: Will the witnesses,  
19 please, stand and be sworn in.

20 [The witnesses were duly sworn.]

21 MR. KELLAHIN: Mr. Examiner, I have two  
22 witnesses to present this morning. Mr. Hal Gill  
23 is a petroleum engineer and is the managing  
24 engineer for Beach for this particular waterflood  
25 project.

1           He's here to testify for you to explain  
2 the current status of the project. He was the  
3 engineering witness that presented the initial  
4 waterflood project to you at your hearing back in  
5 January. I've given you a copy of the current  
6 order for your information.

7           Mr. Gill will tell you that the current  
8 limitation for his project is 900 pounds. That's  
9 based upon recent step-rate tests. He is  
10 requesting that that surface pressure limitation  
11 be increased to 1500 pounds.

12           In addition, because of the issues  
13 concerning fracturing the Penrose Formation of  
14 the Queen Pool, Mr. Gill has hired a consulting  
15 engineering firm from College Station, Texas, S.  
16 A. Holditch & Associates. They are recognized  
17 experts in fractured reservoir information and  
18 studies.

19           And Mr. Bradley M. Robinson is our  
20 engineering witness. He has prepared an  
21 engineering study on this particular reservoir  
22 and on this waterflood project. It is his  
23 conclusion based upon that study that we may  
24 safely increase the surface pressure limitation  
25 up to the 1500 pounds and that will be his

1 presentation.

2 At this point I'd like to call Mr. Hal  
3 Gill.

4 HAL GILL

5 Having been duly sworn upon his oath, was  
6 examined and testified as follows:

7 EXAMINATION

8 BY MR. KELLAHIN:

9 Q. Mr. Gill, for the record would you,  
10 please, state your name and occupation?

11 A. My name is Hal Gill. I'm an engineer  
12 for Beach Exploration in Midland, Texas.

13 Q. Mr. Gill, on prior occasions have you  
14 testified as a petroleum engineer for the  
15 Division?

16 A. Yes, I have.

17 Q. Pursuant to your employment as an  
18 engineer, have you continued to study your  
19 company's Red Lake Waterflood Project in the Red  
20 Lake Queen Grayburg Pool in Eddy County, New  
21 Mexico?

22 A. Yes, sir.

23 Q. Is that a project that you manage for  
24 your company?

25 A. Yes, it is.

1           MR. KELLAHIN: We tender Mr. Gill as an  
2 expert petroleum engineer.

3           EXAMINER CATANACH: Mr. Gill is so  
4 qualified.

5           Q.       (BY MR. KELLAHIN) Mr. Gill, to refresh  
6 the Examiner's recollection about your project,  
7 let me have you turn to what we've marked as  
8 Exhibit No. 1. Using that display, help us find  
9 the boundary of your project and how you've  
10 identified it on that exhibit.

11          A.       Okay. Exhibit 1 is a map showing the  
12 area in Eddy County where the Red Lake Unit is  
13 located. We've highlighted the unit itself in  
14 yellow. And also highlighted on the map are  
15 several other Penrose Sand units which have  
16 essentially been completed as far as  
17 waterflooding in the Penrose Sand.

18                 The purpose of this plat is primarily  
19 to show that these other units, which are  
20 essentially completed, have all used pressures of  
21 considerably in excess of our current pressure  
22 limitations of 900 pounds ranging as high as 1800  
23 pounds for the Vintage East High Lonesome Penrose  
24 Sand Unit.

25                 These projects have all been successful



1 in the secondary recovery of oil. Most of them  
2 exceeding a one-to-one, secondary-to-primary  
3 recovery ratio. The unit that immediately  
4 offsets our Red Lake Unit to the south, which is  
5 highlighted in red, recovered 1.3-to-1,  
6 secondary-to-primary ratio. That particular unit  
7 had a maximum pressure during its life of 1450  
8 pounds on the injection wells.

9 Q. In studying your project and comparing  
10 it to other projects in this area, are we looking  
11 at the same geologic formations that are being  
12 flooded by these various operations?

13 A. Yes. It is the Penrose Sand, which is  
14 a portion of the Queen Formation.

15 Q. Have you determined whether or not  
16 these other projects have been successful in  
17 terms of secondary recovery of oil?

18 A. Yes. I would point out also that I  
19 visited with the Oil Conservation Division office  
20 in Artesia concerning these other projects which  
21 have all, as I pointed out, used higher  
22 pressures. And they indicated that there have  
23 been no problems associated with these higher  
24 pressures.

25 Q. Let's turn specifically to your

1 project. This Examiner approved for the Division  
2 Director to sign an order entered on March 12,  
3 1991. It's R-9453, which initially approved the  
4 project with the .2 PSI per foot of depth surface  
5 limitation. Are you familiar with that order?

6 A. Yes.

7 Q. That's the order that you've operated  
8 under?

9 A. Yes.

10 Q. Subsequent to the entry of the order,  
11 what did you do?

12 A. Well, we installed the necessary  
13 facilities and put in a waterflood plant, put the  
14 unit in operation, and have been in operation and  
15 injecting since June of 1991, approximately a  
16 year now.

17 Q. At the .2 PSI per foot of depth, what  
18 would the surface pressure limitation have been?

19 A. Approximately 350 pounds per well.

20 Q. Were you able to obtain an effective  
21 and efficient response from the flood at that  
22 surface pressure limitation?

23 A. No. And we, after beginning at that  
24 pressure limitation pursuant to the conditions of  
25 the order, came back and conducted step-rate

1 tests on several of the wells in the unit. I  
2 believe it was five that we conducted step-rate  
3 tests on. And at that time were granted pressure  
4 limitation, which is our current limitation, of  
5 900 pounds.

6 Q. Let's turn now to Exhibit No. 2. Would  
7 you identify and describe that display?

8 A. Okay. Exhibit 2 is a plat of the Red  
9 Lake Unit itself. And on this plat I have  
10 identified several wells in which we have  
11 conducted some tests. First, I will point out  
12 that there are twelve producing wells and  
13 thirteen injection wells. The injection wells  
14 are indicated by the blue triangles.

15 We also conducted several tests in  
16 reference to this application. The red outline  
17 around well No. 23 is indicative of the well that  
18 we ran a full-wave sonic log in for determining  
19 rock properties for the formations above and  
20 below the Penrose.

21 Also the green hexagons indicate wells  
22 in which we ran injection profiles at the  
23 requested pressure of 1500 pounds. The yellow  
24 circles indicate wells in which we ran  
25 bottom-hole pressure bombs and conducted pressure

1 fall-off and pump tests.

2 And I would point out that the green  
3 hexagon wells, of those wells we have tried to  
4 pick a cross-section of the unit as far as the  
5 type of wells. Well No. 2 would be considered a  
6 fairly mediocre to below average well. Well No.  
7 10 would be considered an above average injection  
8 well in that it takes better volumes at lower  
9 pressures. Well No. 21 again is below average.

10 Well No. 24 is one of the three  
11 tightest wells in the unit. We were attempting  
12 with this data that we gathered to get a good  
13 cross-section indicative of all the wells in the  
14 unit.

15 Q. Do you have an opinion as to whether or  
16 not you can obtain an effective and efficient  
17 waterflood response at the current pressure  
18 limitation at the surface of the 900 pounds?

19 A. No, we cannot.

20 Q. What are some of the reasons for that  
21 opinion?

22 A. Well, I'll discuss that more on Exhibit  
23 3. But basically the reason is we are unable to  
24 inject sufficient amounts of water into the  
25 injection wells at the limitation of 900 pounds

1     due to the fairly tight nature of the Penrose  
2     Sand in this area in order to effectively flood  
3     it in a period of time in which some economic  
4     justification can be had.

5           Q.     If the pressure limitation of 900  
6     pounds is not increased, what will happen to the  
7     project?

8           A.     The project will most likely be  
9     abandoned.

10          Q.     What has been the current expenditure  
11     of your company for this waterflood project?

12          A.     In excess of \$600,000.

13          Q.     What is the approximate volume of  
14     estimated recoverable secondary oil that can be  
15     recovered from this project if an effective and  
16     efficient response can be obtained?

17          A.     550,000 barrels.

18          Q.     What is the pressure surface limitation  
19     that you're seeking for your project?

20          A.     1500 pounds.

21          Q.     In your opinion will that provide you  
22     sufficient operational flexibility in order to  
23     continue injecting water into these injection  
24     wells and continue with your expectation of  
25     recovering this secondary oil?

1 A. Yes, I believe it will.

2 Q. When we look at the unit boundary on  
3 Exhibit No. 2, how was that identified for us?

4 A. You mean on the plat itself?

5 Q. Yes, sir.

6 A. It's a heavy dashed line that surrounds  
7 the area indicated by the green highlighted wells  
8 and the blue highlighted wells.

9 Q. Let me show you a copy of Exhibit No.  
10 14, Mr. Gill, in which there is attached return  
11 receipt cards. Would you look at that list for  
12 me and tell me what those names indicate in terms  
13 of their interests or how they might be affected  
14 by your project?

15 A. Okay. These are the offset operators  
16 and the surface owners surrounding and including  
17 the unit area.

18 Q. The surface owners are for those owners  
19 at the specific injection well locations?

20 A. Yes.

21 Q. And the offset operators are those  
22 operators within a half-mile radius of each  
23 injection well?

24 A. That is correct.

25 Q. Are these the same parties that you

1 notified when you sought approval of your  
2 original waterflood project?

3 A. They are with the exception of a couple  
4 of cases where one company has been bought out by  
5 another.

6 Q. So you've updated your notice list?

7 A. That is correct.

8 Q. Based upon that notification have you  
9 received any objection from any of those parties  
10 to increasing your pressure limitation to the  
11 1500 pounds?

12 A. No, sir.

13 Q. Let's turn to Exhibit No. 3. Would you  
14 identify that?

15 A. Exhibit 3 is a production curve for the  
16 Red Lake Unit. The red highlighted portion of  
17 the curve is the oil production since the  
18 inception of injection, which was in June of  
19 1991.

20 And I would point out that the  
21 production increase in August of 1991 was due to  
22 some reworking of producing wells, which we did  
23 at that time right after we commenced injection,  
24 and is not due to water injection and that we  
25 have at this time seen no response to water

1 injection.

2 On the top of the curve I've shown  
3 highlighted in blue the daily water injection,  
4 daily average water injection. I would point out  
5 that, as we discussed earlier, we started out  
6 with the 2/10 of a PSI limitation, which was  
7 about 350 pounds.

8 In September of 91 was when we  
9 conducted our step-rate tests and received  
10 approval to increase our pressure to 900 pounds,  
11 at which point our daily water injection volume  
12 increased to approximately 2100 barrels per day.  
13 And since that time has declined each month due  
14 to the partial repressurization of the formation  
15 to a current rate of about 1,000 barrels of water  
16 per day, on average approximately 77 barrels of  
17 water per day per injection well.

18 And I would point out that our original  
19 projection and our original economics for this  
20 project were predicated on being able to inject  
21 an adequate amount of water into the formation,  
22 which at that time we estimated at 200 barrels of  
23 water per day. We're considerably less than half  
24 of that at this point.

25 The project will fail under the current



1 conditions because the injection volumes are  
2 insufficient to repressure the formation and  
3 effectively flood in a sufficient time period in  
4 order to economically recover the oil.

5 And again projected reserves for this  
6 project are 550,000 barrels.

7 Q. Identify for me Exhibit No. 4.

8 A. Exhibit 4 is just tabular production  
9 and injection information that's shown on the  
10 decline curve. And I would point out from this  
11 exhibit we have a cumulative injection of close  
12 to 500,000 barrels.

13 The voidage of the reservoir prior to  
14 the beginning of injection was approximately 1.2  
15 million barrels. And in order to be able to  
16 effectively flood the formation, we have to  
17 replace that voidage and then from that point on  
18 inject an amount equal to withdrawals in order to  
19 effectively recover the oil that remains in the  
20 reservoir. And we're less than halfway there and  
21 declining each month due to the pressure  
22 limitation.

23 Q. Let's turn to a description of the  
24 geology and to some of the characteristics you've  
25 discovered about the reservoir. To begin that

1 discussion let me have you identify for us  
2 Exhibit No. 5.

3 A. Exhibit 5 is just a type log on Red  
4 Lake Unit Well No. 23, which was highlighted in  
5 red on Exhibit 2. It's a density neutron log.  
6 The purpose was simply to show the Queen Interval  
7 and the Penrose Sand, which is within the Queen,  
8 is highlighted on yellow on this type log.

9 The section above the Penrose consists  
10 of approximately 240 feet of layers of dense  
11 anhydritic dolomites and shales. The section  
12 below the Penrose consists of approximately 430  
13 feet of the same anhydritic dolomites and shales  
14 and a few thin tight sands.

15 Q. When we look at this type log, is it  
16 characteristic of the reservoir conditions  
17 geologically for the other wells in the flood  
18 project?

19 A. Yes.

20 Q. Do you see a substantial change in  
21 either the thickness -- well, let's start off  
22 with the thickness of the Queen --

23 A. No.

24 Q. -- as we move within the project area?

25 A. No. Very little change.

1           Q.       The Queen is one of the members  
2 included within the East Red Lake-Queen-Grayburg  
3 Pool?

4           A.       That's correct.

5           Q.       Within the Queen Interval itself, are  
6 there any other contributing hydrocarbon zones  
7 other than this Penrose Sand?

8           A.       No, there are not.

9           Q.       Let me have you turn to the  
10 cross-sections. Let's turn to 6, which is the  
11 north-south cross-section and have you show us  
12 the distribution of the Penrose Sand as we move  
13 north and south through the unit.

14          A.       Well, basically these cross-sections  
15 are intended just to show the continuity of the  
16 Penrose Sand throughout the unit and the  
17 continuity of the zones above and below the Queen  
18 section, which I mentioned on the type log  
19 throughout the unit.

20          Q.       Do you continue to conclude that you  
21 have adequate quality and sufficient uniformity  
22 of the Penrose member to make this a successful  
23 floodable formation provided you can have a  
24 sufficient surface pressure limitation?

25          A.       Yes, sir.

1           Q.       And for the record then refer to  
2 Exhibit No. 7 and describe the east-west geology  
3 as it's displayed there.

4           A.       Again Exhibit 7 is intended to show the  
5 continuity of the Penrose in the sections above  
6 and below it throughout the unit area.

7           Q.       Having come to the conclusion that 900  
8 pounds is insufficient to allow you to continue  
9 the project, what then did you do?

10          A.       We conducted some reevaluation of the  
11 reservoir engineering in the unit. At that time  
12 I studied the withdrawals and the amount of  
13 injection that we were putting into it.

14                 And it was at that time that I reached  
15 the conclusion that at the current rates of  
16 injection we were not going to have a project  
17 that was economically feasible to continue. We  
18 are currently operating at below economic  
19 break-even point. The operations exceed the  
20 revenue from the oil at this point.

21                 So based on those studies I convinced  
22 the investors and the owners of the company that  
23 we needed to conduct a study and employ a  
24 consultant and come back and try to get an  
25 increase in our pressure restriction in order to

1 recover on an economic basis the secondary  
2 reserves in this area.

3 Q. Let me ask you how you went about  
4 selecting a consulting firm.

5 A. I visited with several people about who  
6 would be best qualified to do a study in regards  
7 to fracture propagation and what exactly would  
8 happen in this formation in the event we did put  
9 a certain pressure on it because obviously if we  
10 inject at a pressure that's high enough that  
11 we're going to inject out of zone or go somewhere  
12 besides the Penrose Interval, which we're trying  
13 to flood, that would also cause the project to  
14 fail.

15 Q. What engineering consulting firm did  
16 you select?

17 A. S. A. Holditch & Associates is a firm  
18 out of College Station, which Brad is with, that  
19 I was told were the experts in the field of  
20 fracture design. And they literally wrote the  
21 book on fracturing and design of fracture  
22 software for treating companies and that sort of  
23 thing. And they've extensively done research in  
24 the area of fracture design and exactly what  
25 happens when you fracture a well.

1 Q. What did you ask them to do for you?

2 A. To conduct a study in the Red Lake Unit  
3 to determine what pressure we could safely inject  
4 at and which would be above our parting pressure  
5 and still stay contained within the Penrose  
6 Interval.

7 Q. Did you specifically request the  
8 consulting firm to examine the feasibility of  
9 utilizing 1500 pounds as a surface pressure  
10 limitation and under that limitation see what  
11 happens to the propagation of fractures?

12 A. Yes, I did. And that was based on the  
13 information from the offset units which had used  
14 similar pressures.

15 Q. What data and information did you  
16 supply Mr. Robinson so that he could undertake  
17 his study?

18 A. Okay. We, referring back to Exhibit 2,  
19 conducted several tests and also supplied the  
20 Holditch firm with initial treatment information,  
21 pressure data from initial treatments of wells in  
22 this area and outside this area, well data,  
23 completion data on the wells.

24 We conducted several tests including  
25 the full-wave sonic log and the pressure fall-off

1 tests, which were primarily used for their  
2 studies.

3 Q. Did you work in connection with Mr.  
4 Robinson to determine that you were providing him  
5 with a sufficient database of information from  
6 which then he could make his study and derive his  
7 engineering conclusions?

8 A. Yes, I did.

9 Q. Did you subsequently obtain from the  
10 Division approval to run additional injectivity  
11 tests within the waterflood project at rates in  
12 excess of the 900 pounds surface limitation?

13 A. That is correct. I visited with the  
14 Artesia OCD office concerning this. And they  
15 advised that I needed to submit a written request  
16 to do that, which I did. And Johnny Robinson, I  
17 believe, corresponded with David concerning that  
18 written request and David called me. And after  
19 we discussed it, David gave us permission to  
20 conduct a week-long test at 1500 pounds in order  
21 to determine the necessary data for this study.

22 Q. And you did in fact conduct that test  
23 and submit that data to Mr. Robinson for his  
24 analysis?

25 A. That is correct.

1           Q.       Let me have you turn, sir, to what is  
2 marked as Exhibits 8, 9, 10, and 11 and have you  
3 identify those exhibits for us.

4           A.       Okay. Exhibits 8 through 11 are  
5 injectivity profiles which are indicated on  
6 Exhibit 2 highlighted by the green hexagons. The  
7 purpose of these was to actually pump into these  
8 injection wells at 1500 pounds with a logging  
9 tool in the hole and inject some radioactive  
10 material above the pay zone and basically follow  
11 it down the wellbore and see where it went out.

12                   And if you'll turn to -- I'm just going  
13 to highlight one of these for you, or we can look  
14 at all of them if you'd like, but let's look at  
15 Exhibit 9. If you'll turn to the portion of it  
16 fairly close to the top where the presentation is  
17 shown, the perforated interval in this particular  
18 well, which is Red Lake Unit No. 10, is shown by  
19 the little arrows beginning at 1609 and going  
20 down to 1634.

21                   And the presentation simply shows by  
22 the crosshatching next to the perforated interval  
23 where the injection interval was at 1500 pounds.  
24 And there is no indication on this particular  
25 well or any of the other three wells that the



1     injected fluid went up or down. In fact, it went  
2     into the perforations and went away into the  
3     perforated interval.

4             And obviously if adding injecting at  
5     this pressure was going to cause a problem in  
6     terms of the cement bonding or the actual  
7     operational condition of the well, there's a  
8     possibility that we might have seen some  
9     channeling or some indication of a problem in  
10    regards to that pressure, which we did not in  
11    these four wells.

12            And I feel that these are  
13    representative of all the injection wells in the  
14    unit and that there will be no problems  
15    associated with injecting at 1500 pounds.

16            Q.     What do you mean by no problems  
17    associated with injection at 1500 pounds surface  
18    pressure limitation?

19            A.     Well, specifically breakdown of the  
20    cement sheath around the casing which could cause  
21    channeling of fluid up the hole into other zones  
22    which we're not trying to flood, that type of  
23    problem.

24            Q.     Where is the deepest occurrence of any  
25    known freshwater sources in this area?

1           A.       I believe it's around 80 feet.

2           Q.       In terms of executing your operations  
3 within the waterflood project, are you satisfied  
4 that increasing the pressure limitation to 1500  
5 pounds is not going to place at risk any  
6 shallower freshwater sources?

7           A.       Yes, absolutely.

8           Q.       In addition, are you satisfied from  
9 what you know and from the studies of all the  
10 data available to you that increasing the surface  
11 pressure limitation will cause the injected  
12 fluids to remain contained within the vertical  
13 limits of the Queen Formation?

14          A.       Yes. And, of course, Brad will comment  
15 at length on that. But that was the purpose of  
16 our study, was to be certain that at 1500 pounds  
17 we would remain contained within the Penrose  
18 Formation.

19          Q.       And as we've already seen, the Penrose  
20 Formation is the only productive formation or  
21 zone we have within the Queen Formation?

22          A.       That's correct.

23                 MR. KELLAHIN: That concludes my  
24 examination of Mr. Gill. We move the  
25 introduction of Exhibits 1 through 11.

1 EXAMINER CATANACH: Exhibits 1 through  
2 9 will be admitted as evidence.

3 MR. KELLAHIN: I'm sorry. It should be  
4 1 through 11, Mr. Examiner.

5 EXAMINER CATANACH: 1 through 11 will  
6 be admitted as evidence.

7 EXAMINATION

8 BY EXAMINER CATANACH:

9 Q. Mr. Gill, was the engineering study  
10 that was performed, was that based solely on the  
11 profile logs?

12 A. No, sir.

13 Q. It was based on some other data?

14 A. Yes. Considerable other data including  
15 the pressure fall-off tests and some pressure  
16 pump-in tests, which are indicated by the yellow  
17 circles on the Exhibit 2, and also some  
18 historical information such as treatment  
19 information from initial treatments on the  
20 wells. And Brad will refer to that at length in  
21 his presentation.

22 We also ran the full-wave sonic log in  
23 well No. 23 which was for the purpose of  
24 gathering rock properties of the formations above  
25 and below the Penrose.

1           Q.       What is your understanding to be the  
2 radius of investigation on when you run one of  
3 these profile logs?

4           A.       Somewhere in the neighborhood of 18  
5 inches beyond the wellbore. So basically this is  
6 just telling us that it's leaving in the right  
7 place and that it's not channeling up the  
8 borehole -- up or down the borehole.

9           Q.       You believe the cement integrity in  
10 your other injection wells is adequate to contain  
11 the fluid?

12          A.       Yes, sir, I do.

13          Q.       The four profile logs that were run,  
14 they all indicated the same thing?

15          A.       Yes, sir. No indication of any  
16 channeling up or down. Always the fluid was all  
17 leaving in the Penrose perforations.

18          Q.       Mr. Gill, what would you estimate to be  
19 a reasonable time period to see a response to  
20 waterflood operations?

21          A.       The original projection called for  
22 approximately a year. So as of now we should  
23 have been seeing a significant response by a  
24 year. The original projection was based on an  
25 estimated average rate of 200 barrels of water

1 per day per injection well, which was predicated  
2 on the historical performance of the Red Lake  
3 Unit which offsets us to the south.

4 Q. Is there a specific volume that you  
5 hope to accomplish to inject into each of these  
6 wells?

7 A. My target rate is 300 barrels per day  
8 per well.

9 Q. With regards to the other projects you  
10 showed on Exhibit No. 1, are these projects now  
11 in their twilight?

12 A. That's correct, yes.

13 Q. And these were probably approved quite  
14 a while back when there was no pressure  
15 limitation?

16 A. That's also correct. In fact, I think  
17 injection has ceased on all of these projects at  
18 this point.

19 Q. You said you consulted with the Artesia  
20 District Office. Did they indicate to you that  
21 there had been any type of problem in any of  
22 these projects in terms of water out of zone or  
23 water flows of any kind?

24 A. None whatsoever.

25 Q. So, as far as you know, the water

1     injected at these pressures was confined to the  
2     Penrose?

3           A.     Yes.   And I think the success of those  
4     projects would also be evidence to that fact  
5     because, if they were in fact injecting water out  
6     of zone, they would not have recovered the  
7     secondary oil.

8           EXAMINER CATANACH:   I believe that's  
9     all I have of the witness.   He may be excused.

10          MR. STOVALL:   You're assuming I didn't  
11     have any questions?

12          EXAMINER CATANACH:   Well, I turned to  
13     you and you didn't say anything.   You weren't  
14     here for it anyway.

15          MR. KELLAHIN:   Mr. Examiner, at this  
16     time I'd like to call Mr. Brad Robinson.

17                   BRADLEY M. ROBINSON

18     Having been duly sworn upon his oath, was  
19     examined and testified as follows:

20                           EXAMINATION

21     BY MR. KELLAHIN:

22           Q.     Mr. Robinson, for the record would you,  
23     please, state your name and occupation?

24           A.     Bradley M. Robinson.   I'm vice  
25     president at S. A. Holditch & Associates.

1 Q. What is it that you do, Mr. Robinson?

2 A. I'm a petroleum engineer. Our firm  
3 consults on petroleum engineering projects, all  
4 types, but primarily involving low permeability  
5 formations and the hydraulic fracturing of those  
6 formations. We design the fracture treatment.  
7 We'll analyze the data. And we also provide  
8 field supervision of all types of hydraulic  
9 fracture treatments.

10 Q. What were you specifically retained to  
11 do by Beach Exploration?

12 A. They asked me to conduct a study to  
13 determine if injection into this waterflood at a  
14 surface pressure of 1500 PSI would create or  
15 cause hydraulic fractures to propagate out of  
16 zone and pose any potential problems involving  
17 the injection of water out of zone.

18 Q. Is that a request for which you're  
19 qualified to undertake a study and reach  
20 conclusions?

21 A. Yes.

22 Q. What is your educational background,  
23 Mr. Robinson?

24 A. I graduated with a bachelor's degree in  
25 petroleum engineering from Texas A & M in 1977.

1 I went to work for Marathon Oil Company in  
2 Midland in their production office. Worked about  
3 two years as a production engineer for Marathon  
4 and was transferred over to the reservoir  
5 engineering department where I worked for about  
6 another eight months.

7 I left Marathon and went to work for S.  
8 A. Holditch & Associates in October of 79. I've  
9 been working at Holditch ever since. While I was  
10 at the firm in College Station, I was able to go  
11 back to Texas A & M and earn my master's degree  
12 in petroleum engineering.

13 Q. In what year, sir?

14 A. 1985.

15 Q. Is the request that Beach made of you  
16 to provide an engineering study on this  
17 particular pressure issue one in which you have  
18 performed before for others?

19 A. This is probably a little bit  
20 different. We do perform waterflood studies  
21 quite often, more from the reservoir engineering  
22 aspects. We've modeled waterfloods. We've  
23 determined optimum injection rates, waterflood  
24 injector patterns, producing patterns, and so  
25 forth.



1           So actually I've never been asked to  
2 look at it in this light, but it's exactly the  
3 same principle as we are involved in every day as  
4 far as the propagation of fractures due to fluid  
5 injection. So there's really no difference other  
6 than it's for flooding an oil reservoir as  
7 opposed to trying to pump sand in, which is the  
8 normal fracturing procedure, in an effort to  
9 stimulate the reservoir.

10          Q.       Were you able to obtain data which you  
11 considered to be sufficient in order to undertake  
12 this study?

13          A.       Yes. Yes, Beach had quite a bit of  
14 data available to conduct a study. And we made  
15 several recommendations as far as additional  
16 tests that they should conduct to help us  
17 quantify and determine for sure that the higher  
18 injection pressure would be safe.

19          Q.       Based upon that information, you've  
20 completed your study and now have conclusions  
21 with regards to this issue?

22          A.       Yes.

23               MR. KELLAHIN: Do you need a minute?

24               MR. STOVALL: No. Go ahead.

25               MR. KELLAHIN: We tender Mr. Robinson

1 as an expert petroleum engineer with special  
2 expertise in fractured reservoirs.

3 EXAMINER CATANACH: Mr. Robinson is so  
4 qualified.

5 Q. (BY MR. KELLAHIN) Mr. Robinson, before  
6 we go to your specific study, let me have you  
7 identify for the record what we've marked as  
8 Beach Exhibit No. 12.

9 A. Okay. That's commonly referred to as a  
10 frac-height log or fractural height log. This  
11 particular log was run by Halliburton Logging  
12 Services. This log was run on the Red Lake Unit  
13 No. 23.

14 Q. Is that part of the data that you've  
15 examined in your study?

16 A. Yes. As a matter of fact, this log was  
17 run specifically at our request by Beach.

18 Q. Before we talk about the study  
19 specifically, tell us generally how you select a  
20 methodology or a way to satisfy yourself as an  
21 expert that you're approaching a solution in the  
22 correct way that's going to get you a reliable  
23 conclusion that you can state with engineering  
24 confidence is going to be a safe pressure  
25 limitation for the project.

1           A.       Well, with any type of study, there are  
2 just certain types of data that you need to be  
3 able to come to conclusions that you're looking  
4 for. And over the years -- our firm has been in  
5 business about, oh, 15 years, I guess. I've  
6 worked for them 13 of those 15 years. For  
7 certain projects you just develop an experience  
8 level at the types of data that you need to  
9 answer the questions that you're trying to  
10 answer.

11                   And when it comes to hydraulic  
12 fracturing, there are certain formation  
13 properties that you need to know. And you can  
14 obtain those data either from cores or logs.  
15 There is pressure information that involves the  
16 injection of water or jell or whatever you're  
17 trying to inject, the pressure that occurs while  
18 you're performing that operation.

19                   And so you just basically develop a  
20 shopping list of the types of information you  
21 need before -- or in order to conduct your  
22 study. And so when I first visited with Hal, I  
23 listed the types of information I thought we were  
24 going to need to be able to determine what types  
25 of fracture propagation they may see with a 1500

1     PSI surface pressure.

2           Q.     Were you satisfied then that you  
3 ultimately received sufficient data so that you  
4 could properly execute the purposes of the study?

5           A.     Yes.

6           Q.     Let me have you identify for us what is  
7 marked as Exhibit No. 13.

8           A.     This is basically the results including  
9 diagrams and data of our study. I've prepared it  
10 in the form of a series of exhibits. Normally in  
11 a study of this type we'll have similar type  
12 diagrams and figures, but we'll have a lot of  
13 text, discussion to go along with it. We haven't  
14 prepared that for Beach yet. But this is all the  
15 pertinent results, figures, and information  
16 that's formed the basis for my conclusions.

17          Q.     All right. Present your report to us.

18          A.     Okay. On page 1 we always like to  
19 identify the purpose of the study whenever we're  
20 doing it. And the general purpose was to  
21 determine if increasing the maximum allowable  
22 surface injection pressure to 1500 PSI would  
23 cause the hydraulic fractures in the injection  
24 wells to grow out of zone.

25          Q.     Let's define "grow out of zone" while

1 we're at that point.

2 A. Grow out of the Queen interval and  
3 propagate into some other undesirable  
4 formations.

5 To approach the problem or to try and  
6 solve the problem, we analyze the existing  
7 fracture treatment data and step-rate injection  
8 data on these wells. We then recommended to  
9 Beach that they conduct injection fall-off tests  
10 and then we analyzed those tests.

11 We determined the vertical stress  
12 profile for zones above and below the Penrose.  
13 And that is probably one of the most critical  
14 pieces of information that you can have when  
15 you're trying to study the growth or fractures  
16 out of zone.

17 And then we used our fracture simulator  
18 to predict the fracture dimensions with the  
19 increased water injection pressure, sort of a  
20 "what if" case.

21 Q. Based upon that study, would you  
22 summarize for us the results?

23 A. Yes. The results are summarized on  
24 page 2. The data analysis supports the presence  
25 of horizontal fractures in the Red Lake Unit.

1     These fractures -- I'll show you an illustration  
2     in a minute -- grow horizontally as opposed to  
3     vertically.

4             And given that condition there will be  
5     no problem at all of high growth out of the  
6     Penrose, which is the second point there on the  
7     results. Height growth would not be a problem  
8     with horizontal fractures.

9             There is some evidence to suggest that  
10    vertical fractures may be present. It's weak,  
11    but it's there and I'm not going to try and hide  
12    it. If they are present, we found that  
13    sufficient stress contrast exists to contain the  
14    fracture height growth in our opinion.

15            Q.     Before we leave that point, let me have  
16    you amplify it. Based upon limited information,  
17    there is a possible suggestion of vertical  
18    fracture growth?

19            A.     Right.

20            Q.     The stress contrasts are representative  
21    in formation barriers above and below the  
22    Penrose?

23            A.     That's true.

24            Q.     And contained within the Queen  
25    Formation?

1           A.       That's right. The barriers are still  
2 within the Queen.

3           Q.       So you have concluded that if there is  
4 any potential for vertical fracture growth, those  
5 vertical fractures are not going to propagate  
6 outside of the principal flood zone, which is the  
7 Penrose?

8           A.       Exactly.

9           Q.       What's the last point?

10          A.       The last point is that in either case,  
11 either for horizontal or vertical fractures, you  
12 will create an equilibrium condition while you're  
13 injecting water where the amount of water that  
14 you inject equals the amount of water that's  
15 leaking off. That is your primary flood, of  
16 course, the leak-off of the water into the zone.

17                   And when that occurs, the fracture is  
18 going to stop growing. That's called an  
19 equilibrium growth condition. There may be some  
20 propagation of the fracture initially at this  
21 higher rate. That's not unexpected, but it will  
22 eventually stop growing when this equilibrium  
23 condition exists.

24          Q.       Within your particular expertise in  
25 analyzing reservoir fracturing, you have a

1     vocabulary that uses terminology that either I,  
2     as a layman, or other engineers might define  
3     differently. And so that we're all using your  
4     definitions and clearly understand that  
5     vocabulary, I've asked you to compile a series of  
6     displays and have you go through with us then to  
7     make sure we understand the terms that you're  
8     going to use when we discuss the actual data used  
9     for the project. Would you start that for me --

10        A.     Sure.

11        Q.     -- with page 3?

12        A.     Yes. On page 3, starting there, I've  
13     drawn up several illustrations to show the  
14     different types of fractures that we're going to  
15     be talking about today and to illustrate some of  
16     the terminology that I'll be using.

17               One of the types of fractures obviously  
18     that we'll be talking about are vertical  
19     fractures. I've drawn a side view of a fracture  
20     there. If you were sitting out away from the  
21     wellbore looking at it, you would see two wings  
22     extending from both sides within the sand.

23               If you were at the surface and able to  
24     look down at the top of the fracture, you would  
25     see a view much like is shown there on the bottom



1 of the page. We would see the width of the  
2 fracture. I've got a couple of arrows on that  
3 figure with the Greek symbol "theta" sub-H.

4 Fractures propagate against the minimum  
5 stress in the rock. They open against the least  
6 stress. I mean, that's just the mechanics of  
7 nature. That stress for vertical fractures is in  
8 a horizontal direction, or lateral direction in  
9 the rock, so that the fracture can open up, the  
10 width against that minimum stress. And that's  
11 shown on that top view down at the bottom of the  
12 page.

13 We'll also be talking about horizontal  
14 fractures. And those are just the opposite of  
15 vertical fractures in that they propagate out  
16 laterally into the formation. The side view that  
17 you would be looking at there at the top of the  
18 page shows the width of the fracture.

19 And the top view, down at the bottom of  
20 the page, shows the extent or radius of the  
21 fracture. Looks like a big pancake growing out  
22 into the formation.

23 Referring back up to the side view at  
24 the top, again the stress, "theta" sub-V, that  
25 the fracture opens against is the overburden of

1 the earth. The vertical overburden stress is  
2 what we call that. And that's usually about 1  
3 PSI per foot, sometimes as high as 1.1 PSI per  
4 foot. But that's the stress of the earth due to  
5 the density of the rock layers that are sitting  
6 on top of the earth.

7 Q. Having defined for us the horizontal  
8 and vertical fracture terminology, you have also  
9 told me about fracture containment.

10 A. Right.

11 Q. When you use fracture containment, what  
12 does that mean?

13 A. Well, that's illustrated on the next  
14 page. When you have vertical fractures, what  
15 you're concerned about is how tall those  
16 fractures grow. Again they are propagating up  
17 and down.

18 This illustration shows a sand with a  
19 fracture created in it. Above and below it are  
20 what we call barrier rocks. Now, the little  
21 block diagram towards the left that's labeled  
22 "stress," that's increasing to the right, that  
23 shows the relationship of the sand to the barrier  
24 rocks in terms of the stress.

25 The stress in the sand itself when it

1 is much, much less than the stress in the  
2 barriers represented by the symbol "theta" sub-B,  
3 then you have fracture containment. And that's  
4 noted there at the bottom of the page. That  
5 containment exists when the stress in the sand is  
6 much, much less than the stress in the barriers.

7 Q. As part of the study then, you  
8 developed data that will give you values so that  
9 you can determine the stress in the barrier as  
10 well as in the sand?

11 A. Right. We get that information from  
12 the frac-height logs. And this is a very  
13 simplified case, a simple three-letter case.  
14 You've got a sand sitting in between two barrier  
15 rocks. And of course in real life situations,  
16 you have multiple layers of rock, and each one of  
17 them have different properties. And I'll show  
18 you the actual data from the frac-height log  
19 later.

20 But this serves to illustrate that a  
21 certain value of stress in the sand, if it's  
22 sufficiently lower than the barriers above and  
23 below you, then that fracture will stay  
24 contained.

25 Q. Let's turn to have you define for us

1     what you mean when you talk about fracturing  
2     pressures.

3             A.       This just illustrates when I refer to  
4     injection pressures or something like that, all  
5     of those pressures mean something underneath the  
6     ground.

7                     Starting at the tip of the fracture,  
8     where I've got the symbol  $P_{ext}$ , that stands for  
9     the extension pressure. That's the pressure out  
10    at the crack tip. That's what driving the  
11    fracture and causing it to grow. That is either  
12    greater than or equal to the stress in the sand.  
13    It has to be at least that much if not more to be  
14    able to drive the fracture through the rock.

15                    Down the fracture is a friction term.  
16    You can think of it in terms of trying to pump  
17    water down a pipeline. There will be friction  
18    built up in that pipeline. And it's a function  
19    of the length. Same thing happens in hydraulic  
20    fractures. You build up friction in them as  
21    you're trying to pump fluid down.

22                    Then you also have a perforation term.  
23    You have pressure drop through the perforations  
24    that you have to take into account. And all  
25    those things added up equal to the wellbore

1 pressure, which that's the only thing we can  
2 measure. We can't go out in the fracture and  
3 measure the pressure out there at the tip or  
4 halfway down. We can only measure the pressure  
5 in the wellbore.

6 So that's why it's important to  
7 understand all these terms. And we have ways to  
8 estimate what they are.

9 Q. Mr. Catanach asked Mr. Gill a question  
10 a while ago about the radius of investigation  
11 under the injectivity profile, and I think Mr.  
12 Gill said it's about 18 inches or give or take a  
13 few?

14 A. Right.

15 Q. Do you have a way to analyze the  
16 effects beyond the near wellbore condition so  
17 that we can determine with a reasonable  
18 engineering probability the lateral and  
19 horizontal distance of these fractures?

20 A. Yeah. We've built a fracture simulator  
21 that takes into account all of the properties of  
22 the layers, specifically and most importantly the  
23 stress in each one of these layers. And it  
24 calculates all of these pressures.

25 And if the pressure in that fracture

1 exceeds the stress of the layer above, then the  
2 simulator will predict that it busts through it  
3 essentially. And so it keeps track of all the  
4 pressures and where they are in the fracture, and  
5 then it will predict if the fracture grows  
6 through the various layers based on their rock  
7 properties and stress values.

8 Q. To cut to the conclusion, what did your  
9 modeling results show you for this project?

10 A. Well, it showed that it would stay  
11 contained to the Penrose interval because of the  
12 stress barriers above and below.

13 Q. That was only one of the ways that you  
14 reached the conclusion that the fractures would  
15 stay confined to the Penrose. You had other ways  
16 to reach that conclusion?

17 A. Yes, we did. There's a lot of  
18 supporting data. I mean, you really don't even  
19 have to do the modeling to know when you look at  
20 the fracturing data, the step-rate test data, the  
21 frac-height log, there's just some common sense  
22 information there that we can look at and study  
23 and determine. Like I said, in our opinion the  
24 fractures are horizontal. I mean, that data to  
25 me is fairly clear.

1           So when we're talking about vertical  
2 fractures and growth out of zone, that's only for  
3 that small case where it might exist. And that's  
4 why -- that's the critical case. The vertical  
5 height growth, that's the important one. That's  
6 why we spent most of our time and effort trying  
7 to look at that issue.

8           Again I strongly believe there are  
9 horizontal fractures here. And if that's the  
10 case, there's not even an issue related to that.

11          Q.     Before we get into the specifics of the  
12 study, the last display is found on page 7. What  
13 does this represent?

14          A.     Well, it's the same type of picture we  
15 had on the previous page except this is for a  
16 horizontal fracture case. It just shows that the  
17 same terms are exactly -- exactly apply to the  
18 horizontal fracture case.

19                 The only difference is the extension  
20 pressure out at the tip is greater than or equal  
21 to that overburden stress,  $\theta$  sub-V, which is  
22 basically the stress due to the thickness of the  
23 layers of rock on top of the zone.

24          Q.     Let's turn to the next chapter. On  
25 page 8 we talk about the step-rate injection

1 fracturing data?

2 A. Uh-huh.

3 Q. This is the data supplied to you by the  
4 operator from the post-order step-rate tests that  
5 Mr. Gill conducted in order to obtain from the  
6 Division the current 900 pound surface pressure  
7 limitation?

8 A. Right.

9 Q. Have you taken that study or that data  
10 and re-analyzed each of those step-rate tests?

11 A. Yes, we did. And the previous results  
12 are summarized on the first table.

13 Q. Let's look at that.

14 A. These --

15 Q. Page 9?

16 A. Page 9. These aren't our results.  
17 These are the previous results which are  
18 summarized with the five graphs shown behind  
19 there. All I've done is just taken all that  
20 information and summarized it on a single table.

21 Q. Having taken that data, re-analyzed it,  
22 and examined it, do you reach the same  
23 conclusions as shown on page 9?

24 A. No, I don't. I really feel like on  
25 several of the wells that they really never got



1 to the parting pressure and specifically Wells 5,  
2 9, and 25. The reason I say that, and I'll show  
3 you in a minute, but look at the column labeled  
4 "fracture gradient" --

5 Q. On page 9 still?

6 A. On page 9, yes. -- labeled for Wells  
7 5, 9, and 25. Fracture gradients for those three  
8 wells are all about 0.85 to 0.88 PSI per foot.  
9 The other two wells, No. 14 and 22, are over 1  
10 PSI per foot.

11 The fracture gradient for a horizontal  
12 fracture that I would expect is in excess of 1  
13 PSI per foot. And those two wells certainly have  
14 it. The other two are less than 1 PSI per foot.  
15 So that makes me think that they never really  
16 opened the fracture while they were conducting  
17 the step-rate test; that they shut down the test  
18 too soon so they never saw the parting pressure.

19 So I would disagree with those values,  
20 and I'll show you why here in a minute.

21 Q. What effect does that have ultimately  
22 on the appropriate pressure to apply to have an  
23 effective response in the waterflood project?

24 A. Well, if they never exceeded the  
25 parting pressure, then the pressure resulting

1 from these tests would be too low. The 900 PSI  
2 was well below the parting pressure of these  
3 reservoirs.

4 Q. Let's have you go to the point in the  
5 study and show us how you've re-analyzed the  
6 step-rate tests.

7 A. Okay. Starting on page 15 are our  
8 data. We've regenerated the plots and plotted  
9 them up on the same scale, and we've reviewed the  
10 test. Honestly I really don't think that the  
11 data on pages 15, 16, and 19 indicate that a  
12 fracture was opened.

13 I mean, we've looked at dozens of  
14 step-rate tests and hundreds of what we call  
15 micro-frac tests, which are designed to measure  
16 this exact very thing, the fracture opening  
17 pressure. A little different procedure, but the  
18 purpose of the test is exactly the same.

19 And there are certain characteristics  
20 that you just learn to look for in the character  
21 of these pressure curves that tell you the  
22 fracture is open. And I just didn't see it on  
23 those three wells that I mentioned earlier where  
24 the fracture gradient was less than 1.

25 Q. Let me have you turn to page 20, and

1 let's use that display to have you help us  
2 understand as an expert at what point in that  
3 curve you finally conclude that you've reached a  
4 parting pressure.

5 A. Okay. We've taken all the tests and  
6 plotted them on the exact same graph. The top  
7 two curves labeled RLU No. 14 and RLU No. 22 are  
8 those two tests that I feel like a parting  
9 pressure was measured.

10 As you can see, those are substantially  
11 higher than the other three wells. And also they  
12 exhibit to me a change in the pressure increase.  
13 What we look for is a deflection point along the  
14 curve.

15 That indicated to me that the fracture  
16 was opened at some point along the top of the  
17 curve. That's where we look for the pressure to  
18 really bend over sharply.

19 Q. In analyzing this do you look for the  
20 first point in which the slope of the curve  
21 changes?

22 A. No. You really look for where it  
23 flattens over because that's where the fracture  
24 is open and has started to grow again, completely  
25 open. You can start getting some leak-off. And

1     what we call a transition zone is that things are  
2     rolling over. But sometimes you look for it  
3     where it's completely flat.

4             A typical technique and one we used to  
5     re-analyze these tests is to take two straight  
6     lines and draw them through the data and pick an  
7     inflection point. That gives you a more  
8     conservative answer and the reason why we chose  
9     it.

10            But actually there's -- some people  
11     believe that it's the point at which it actually  
12     goes flat, the pressure curve.

13            Q. Summarize for us your conclusions about  
14     the step-rate test as you've shown them on page  
15     21.

16            A. Number one, first of all, we feel very  
17     strongly that horizontal fractures exist in the  
18     Red Lake Unit. And it's based on the measured  
19     parting pressures that exceed 1 PSI per foot.  
20     And we feel like that fractures were just not  
21     reopened on Wells 5, 9, and 25; that the  
22     character of the step-rate tests was such that it  
23     just never got there. The pressures were  
24     increasing and never really showed that character  
25     that we look for.

1           Or we have another conclusion there,  
2   which we again feel like horizontal fractures  
3   exist on 14 and 22. Now, there's a possibility  
4   that if a fracture was open, that it would  
5   probably be a vertical fracture on Wells 5, 9,  
6   and 25.

7           And the original values for fracture  
8   gradient, the .85 PSI per foot, the .88 PSI per  
9   foot, those original values are typical of  
10   vertical fractures. I don't agree with them, but  
11   because somebody else came up with those answers,  
12   it's a possibility.

13          Q.     Turn to page 22.

14          A.     This is a summary of all the injection  
15   and fracture treatment data that we reviewed in  
16   our study. It lists all the wells in the first  
17   column there. They reference Kelly Bushing  
18   depth, the perforated interval, and the depth  
19   from the from the surface. And we've also  
20   calculated the perforation level with reference  
21   to the sea level.

22                We've listed the values for parting  
23   pressure measured from the step-rate tests.  
24   Prior to many of the fracture treatments, Beach  
25   Exploration performed acid breakdown treatments

1 on their wells, and we also reviewed those data.  
2 As you can see, in most cases those fracture  
3 gradients from the acid treatments were on the  
4 order of 1 PSI per foot.

5 Q. Does this information support your  
6 conclusion?

7 A. Yes.

8 Q. How?

9 A. Well, again the gradients of around 1  
10 PSI per foot indicate to me that the fractures  
11 are trying to lift up the earth, the overburden,  
12 as opposed to push apart a rock. And so when you  
13 see gradients on the order of 1 to 1.1 PSI per  
14 foot, that's typical of horizontal fractures.

15 Q. What would be the range of gradients  
16 that you would see if they were vertical  
17 fractures?

18 A. I would expect the fracture gradients  
19 to be on the order of .7 PSI per foot up to .9  
20 PSI per foot. That's pretty high and you  
21 generally only see gradients as high as .9 in  
22 geopressured reservoirs, which I don't believe  
23 this is. Well, I know it's not.

24 The last column I think tells the real  
25 story. We analyzed the fracture treatments

1 performed on almost every well listed on this  
2 page. And in every case the estimated gradient  
3 based on those treatments was in excess of 1 PSI  
4 per foot.

5 Q. Let me ask you if you have any comments  
6 or opinions about the beginning benchmark the  
7 Division used. You know, you saw in this  
8 sequence that they start the waterflood  
9 limitation pressure at .2 PSI per foot of depth  
10 from the surface to the top perforation.

11 Do you have any comments or opinions  
12 about that being the initial standard by which to  
13 apply a pressure limitation to waterflood  
14 projects?

15 A. Well, that's a surface pressure. So if  
16 I think in terms of downhole, I have to add the  
17 hydrostatic head of water, which is .44 PSI per  
18 foot. So that gives me a downhole gradient of  
19 about .64 PSI per foot.

20 As I stated, for vertical fractures the  
21 expected range of gradients is on the order of .7  
22 to .9. So the limitation used by the Commission  
23 of a .64 seems very reasonable in that it's just  
24 slightly less than typical values for vertical  
25 fractures.

1           Q.       So that remains a good initial starting  
2 point when you're just trying to apply a  
3 limitation to these projects without going  
4 through the intense study that you have for a  
5 specific project?

6           A.       Right. I think, given typical fracture  
7 gradients for vertical fractures, that's a very  
8 good rule of thumb to use.

9           Q.       Let's go to the next step. The next  
10 step then is using the step-rate methodology or  
11 data to increase that surface pressure limitation  
12 up to the point where you have a break-over on  
13 the step-rate.

14          A.       Okay. If you had say, for instance, a  
15 gradient of .9 or in this case even exceeding 1  
16 PSI per foot, the step-rate tests tell you at  
17 what point your fracture does open up. So, you  
18 know, it gives you a downhole parting pressure or  
19 gradient if you divide it by depth. And then you  
20 can see how that compares to the original rule of  
21 thumb to see if you could inject at a higher  
22 pressure and still be below parting pressure.

23          Q.       For the second level of regulatory  
24 control, if you will, being this step-rate  
25 process, are you comfortable as an expert in this



1 area that that represents a good regulatory way  
2 to increase pressures in projects above the .2 to  
3 the next level of injection pressure?

4 A. Yes. I mean, that is the way to do it  
5 as far as I'm concerned.

6 Q. After that to get to the point where we  
7 are at this hearing, for you as an expert what  
8 comfort level do you need, what kind of data  
9 makes you satisfied that you then can support the  
10 kind of conclusions and work you've made for this  
11 study?

12 A. Well, of course, we try to obtain  
13 step-rate tests. In this case there were already  
14 tests performed on five wells. We also like to  
15 look at injectivity tests to measure the pressure  
16 and the rate at the limit that you're trying to  
17 -- that you're requesting. We want to see how  
18 the pressure behaves while you're injecting at  
19 that value.

20 There are certain characteristics that  
21 we look for to tell us whether the fracture is  
22 growing out of zone or whether it's staying in  
23 zone. And we recommended these tests to Beach.  
24 And that's the tests, the injectivity tests they  
25 ran about a week ago, I believe, where they

1 contacted the Commission and requested the higher  
2 pressure.

3 But we look at those, those pressure  
4 profiles. And we -- I mean, there's just certain  
5 qualitative things you can tell just by looking  
6 from experience. And then we can also take our  
7 simulators if we want to and try to history match  
8 those pressure profiles, very similar to what  
9 reservoir modelers do when they're matching  
10 production or pressure history. So there's a lot  
11 of ways we can use that data.

12 Q. You've undertaken that then for this  
13 project, and what have you presented for us to  
14 support those conclusions?

15 A. Yes, I have. And I've got that shown  
16 on the next few sections. I'd like to make one  
17 more point regarding the .2. I think it's very  
18 adequate and certainly is a very reasonable value  
19 to use for vertical fractures.

20 For horizontal fractures when we have  
21 sufficient data to justify that horizontal  
22 fractures exist, .2 would be a lot lower than you  
23 would actually need, again because the fracture  
24 gradients associated with horizontal fractures  
25 are almost always -- well, they are always in

1 excess of 1 PSI per foot.

2 Q. I understand your explanation. Your  
3 original answer was within the context of my  
4 question, which is when you don't have that  
5 information, you're just starting your project  
6 and you don't have the subsequent information  
7 that Beach has developed, then an initial  
8 generic, if you will, starting point for a  
9 pressure limitation is .2?

10 A. It's a great place to start.

11 Q. Show us where we finish now.

12 A. Okay. We asked Beach to run some  
13 injection fall-off tests for us. The primary  
14 purpose of these tests were to determine the  
15 permeability of the reservoir, which is very  
16 important when you're trying to analyze hydraulic  
17 fractures. It would also be very important for  
18 Beach to have this information for the reservoir  
19 part of their study.

20 But they ran two fall-off tests: One  
21 was on well No. 21, a second test on well No.  
22 10. The results from our analysis are shown in a  
23 graphical presentation on pages 24 and 25. These  
24 are type curves. The nice thing about hydraulic  
25 fracturing work is it's very similar to reservoir

1     engineering work in terms of how you analyze  
2     pressure behavior.

3             And these injection fall-off tests we  
4     can analyze with type curves that have been  
5     developed for reservoir engineering  
6     applications. And these particular type curves  
7     were generated for horizontal fractures. And, as  
8     you can see, I was able to successfully match the  
9     pressure fall-off data to these type curves for  
10    horizontal fractures.

11            Q.     For my information, the type curve is  
12    the straight line; the data points on pressure  
13    are the little dots?

14            A.     That's exactly right.

15            Q.     And this satisfies you that you've got  
16    a good match?

17            A.     These are excellent matches. I'll  
18    mention -- and I have the data with with me -- I  
19    was able to get a match of the fall-off data with  
20    vertical fracture type curves also, but it wasn't  
21    as good. I got the best match with the  
22    horizontal fracture type curves of the fall-off  
23    data.

24                    So from this we concluded that the  
25    permeability is between 1 and 4 millidarcies for

1     these injection wells. The fracture lengths that  
2     we calculated were between 130 to 330 feet in  
3     length.

4             And the last point there is that the  
5     pressure fall-off data matched both the  
6     horizontal and fracture solutions, horizontal and  
7     vertical fracture solutions. But our best match  
8     was with the horizontal fractured case.

9             Q.     In order to reconfirm your conclusions  
10    about the horizontal fracturings existing in the  
11    Penrose, as opposed to the vertical fracturing,  
12    did you undertake to use the simulation, the  
13    fracture simulation to predict fractures for the  
14    project?

15            A.     Yes. Yes, that's shown in the next  
16    section on page 27. We ran both cases. Again  
17    the horizontal fracture case we're not concerned  
18    at all with growth out of zone. But if a  
19    vertical fracture existed, we would be interested  
20    in seeing how much, if any, that it does  
21    propagate out of zone.

22            Q.     You ran two cases. Describe them for  
23    us.

24            A.     We ran two cases. One was the current  
25    conditions where we considered -- and when we're

1 looking at fractures, we usually think in terms  
2 of barrels per minute. So these cases were run  
3 at .25 barrels per minute, which is equivalent to  
4 about 360 barrels a day.

5 We used a stress profile and properties  
6 that were calculated from the Halliburton  
7 fracture height log that was run on the RLU No.  
8 23. And we looked at a surface pressure of  
9 around 1100 to 1200 PSI. That was based on the  
10 injection test data that we were able to obtain  
11 where they did measure 1100 to 1200 PSI surface  
12 pressure. That's current conditions.

13 Reservoir pressure is very low. The  
14 wells were taking water very well at a 1100 to  
15 1200 PSI range. But as you start to repressurize  
16 the reservoir, that stress in the rock is going  
17 to go up.

18 And so we looked at another case,  
19 assuming down the road six months or a year down  
20 the road when they've repressurized the rock,  
21 higher stresses will exist, and therefore the  
22 injection pressure will need to be probably  
23 around 1500 PSI to maintain that same level of  
24 injection. And that's Case 2.

25 We assumed the higher stress that would

1     exist in the Penrose would be 1950 PSI due to  
2     repressurization. That's equivalent to a surface  
3     pressure of 1500 PSI.

4             Q.     When we turn to page 29, describe for  
5     us what this shows.

6             A.     What we did is we took the Halliburton  
7     presentation and tried to put it in a graph or  
8     illustration that was very similar to what we  
9     looked at back here on page 5. This is the  
10    stress profile. The depth is shown in the  
11    vertical track. The stress of each layer within  
12    the Queen section is shown across the top, and it  
13    increases from left to right. We've shown the  
14    perforated interval in the No. 23 well.

15            And so we see that in the Penrose  
16    interval the stress is about 1600 PSI. And above  
17    that interval are several layers of rock that  
18    have stresses as high as 2500 to 2600 PSI. And  
19    so as long as we keep the injection pressure less  
20    than those values, the fracture will stay in that  
21    Penrose interval. That's the real key.

22            You don't have to have a model or do  
23    any sophisticated fracture simulation. Again it  
24    goes down to the basic mechanical principles that  
25    the fracture will not grow through zones of

1 higher stress unless you pressurize that fracture  
2 to a value that exceeds the stress in those rock  
3 layers.

4 Q. We talked earlier on about the Queen  
5 Formation having these barriers, stress barriers,  
6 if you will, above and below the Penrose flood  
7 zone. When you look at the stress barriers above  
8 and below the Penrose, what is that stress value?

9 A. Well, it's about 2500 PSI or 2600 PSI  
10 in one thin layer. And then there's another  
11 thicker layer with 2500 PSI. Was that your  
12 question?

13 Q. Yes, sir. And if we're using 1500  
14 pounds as the surface pressure limitation, what  
15 stress are you applying to the Penrose in terms  
16 of the pressure?

17 A. Only about 2200 pounds of bottom-hole  
18 pressure.

19 Q. So you have a safety factor, if you  
20 will, in terms of pressure of 3- or 400 pounds?

21 A. Yes. The pressure they're asking for  
22 is less than the stress in the boundary or  
23 barriers by about 3- or 400 PSI. So there's a  
24 margin of safety factor there that they're  
25 requesting.



1           Q.     In addition when you look at the  
2     location of the Penrose member within the entire  
3     Queen interval, there is some vertical distance  
4     between the top and the bottom of the Queen that  
5     would provide an additional safety factor, would  
6     it not?

7           A.     Right. The Penrose is sitting fairly  
8     well in the middle of a 4- or 500-thick  
9     interval. And the whole interval is just dense  
10    limestones and anhydrite, which our experience  
11    has been that those generally make good barriers  
12    just because of the hardness and denseness of the  
13    rock.

14                You can't always generalize like that  
15    because you do need to know the stress in those  
16    layers, which you can get normally from logs or  
17    actual measurements. But our experience has been  
18    that you can generally expect good containment  
19    when you have those dense types or rocks above  
20    and below you.

21           Q.     Let me have you then go through rather  
22    quickly, if you will, the results of the study  
23    and give the Examiner a quick reference to each  
24    of the following pages, and then let's move to  
25    your final conclusion.

1           A.       Okay. Just real quickly, page 30 is a  
2 side view of the fracture that our model  
3 predicted and how it would look in the Queen or  
4 in the Penrose sand after a full year of  
5 injection at 360 barrels per day.

6                   We show, using all the input data from  
7 the frac-height log and the other data provided  
8 by Beach, that the fracture would be essentially  
9 contained to the Penrose interval at the small  
10 injection rates. That's case 1 that we'll refer  
11 to current conditions.

12           Q.       Page 31.

13           A.       Page 31 shows the model-predicted  
14 pressures that result from that fracture  
15 propagation. And the reason I put that in there  
16 is, if you go back to the next two pages -- or go  
17 over to the next two pages, 32 and 33, you see  
18 the actual measured bottom-hole pressures that  
19 were obtained from those injection tests. And  
20 they are essentially the same as our model  
21 predicts. So we feel very good that the model  
22 prediction of pressure is essentially the same as  
23 the actual measured value in the field.

24                   Page 34 shows what the model would  
25 predict the fractures look like if you increase

1 the injection pressure to 1500 pounds of surface  
2 or about 2200 PSI of bottom-hole pressure. Again  
3 there's a little bit more height growth, which  
4 we'd expect with a higher pressure, but basically  
5 the model predicts the fracture would stay in  
6 zone.

7 Q. Give us a quick summary on 36 of this  
8 equilibrium on the fracture growth.

9 A. I added these last two figures just to  
10 illustrate that when you're injecting into a  
11 fracture the fluid you inject causes the fracture  
12 to grow and it continues to extend until such  
13 time that the fluid that leaks off is equal to  
14 the amount of fluid that you inject. When that  
15 occurs, the fracture simply quits growing.

16 And so I just wanted to illustrate that  
17 we normally see and fully expect that equilibrium  
18 growth situation will occur at some point in the  
19 future. You know, without undertaking a  
20 reservoir modeling study, it would be hard to  
21 determine when that would occur, but it does  
22 occur and we fully expect it to occur. And  
23 that's based on just some simple reservoir  
24 engineering principles that I've illustrated  
25 there on page 37.

1           Anytime you inject into a well at a  
2     pressure, and currently in the Red Lake Unit it's  
3     900 PSI surface or 1600 PSI bottom-hole, you  
4     establish a pressure gradient from the injectors  
5     over to the producers. And because most of these  
6     wells, all of them as far as I know are on pump,  
7     the bottom-hole pressure of the producer wells is  
8     probably 100 PSI or less until you establish a  
9     pressure gradient and an equilibrium condition  
10    between those two wells.

11           If we were to increase the surface  
12    pressure to 1500 PSI or 2200 PSI bottom-hole, we  
13    would again obtain that pressure equilibrium; it  
14    would just be at a higher level. And these  
15    curves, they could be straight lines; they could  
16    be curves of some sort depending upon the  
17    reservoir properties. But this gradient will  
18    establish itself and remain fairly constant  
19    throughout the well life.

20        Q.     The Examiner is charged with the  
21    responsibility to limit waterflood projects so  
22    that injection fluids do not cause propagation of  
23    fractures so that those fluids would put at risk  
24    shallower freshwater zones or cause flooding out  
25    of the formation or pools authorized for that

1 flooding.

2 If that is his charge, does he satisfy  
3 it if he grants a surface pressure limitation of  
4 1500 pounds for this project?

5 A. Yes. Based on our study, which again  
6 the results are summarized on the last page, our  
7 analysis supports the presence of horizontal  
8 fractures in the Penrose sand. So there should  
9 not be any problem at all with injection out of  
10 zone because all of the fluid will be within the  
11 Penrose interval.

12 Q. Do you see any reason to restrict the  
13 project to less than 1500 pounds?

14 A. Actually you could even go a little  
15 higher than that because of the fracture  
16 gradients that we see. But we were only asked to  
17 look at 1500 PSI, so that's all we studied. But  
18 you could actually go up to -- well, there's just  
19 no limitation because there will be no growth out  
20 of zone.

21 You could inject at as high a pressure  
22 as your pipe would stand basically. And that's  
23 the data that Hal presented. The primary purpose  
24 of those injection surveys was to look at the  
25 mechanical integrity of the wells at 1500 PSI.

1 And he's satisfied that the wells mechanically  
2 can handle that higher pressure. So really  
3 you're only limited to the mechanical integrity  
4 of the well.

5 Q. And then finally on the last page, you  
6 have given us a written summary of your major  
7 conclusions?

8 A. Right. Again that's the same page that  
9 we presented earlier in the report. Again we see  
10 evidence that supports the presence of horizontal  
11 fractures in this unit. And given that scenario,  
12 fracture growth out of zone should not be a  
13 problem.

14 Even if vertical fractures do exist,  
15 though, the data that was provided to us and the  
16 modeling work that we've done shows that the  
17 fracture will stay contained to the primary  
18 interval.

19 And the last point there, regardless of  
20 whether it's horizontal or vertical fracture, an  
21 equilibrium condition will exist eventually where  
22 the amount of water injected equals to the amount  
23 of water that's leaked off. And at that point  
24 the fracture will simply just quit growing.

25 MR. KELLAHIN: That concludes our

1 presentation, Mr. Examiner. We would move the  
2 introduction of Exhibits 12, 13, and 14.

3 EXAMINER CATANACH: Exhibits 12, 13,  
4 and 14 will be admitted as evidence.

5 EXAMINATION

6 BY EXAMINER CATANACH:

7 Q. Mr. Robinson, you've indicated that you  
8 believe there are horizontal fractures in the  
9 Penrose?

10 A. Yes.

11 Q. At 1100, 1200, 1500 PSI, what in effect  
12 are we doing when we inject pressure at that  
13 rate? What are we actually doing in the  
14 formation?

15 A. Well, the first thing you do, you fill  
16 up the existing fracture that's down there. And  
17 all of these wells were hydraulically fractured  
18 and propped open with sand on their initial  
19 completion. So you fill that fracture up. At  
20 that point, the water leaks off in both a  
21 vertical direction within the Penrose and out in  
22 a lateral direction in the Penrose.

23 So if the fracture is contained in this  
24 pancake shape within the Penrose, that's where  
25 all the water goes and then leaks off from there

1 regardless of the pressure. Once you exceed 1  
2 PSI per foot, then you will start opening that  
3 fracture up. But again the water leaks off only  
4 into the Penrose.

5 Q. At that high a pressure, are we  
6 extending horizontally these fractures?

7 A. Yes, most likely. And you will until  
8 that equilibrium condition again exists.

9 Q. Are you able to calculate what that  
10 equilibrium point is?

11 A. We could, yes.

12 Q. I believe you had an opinion on the  
13 vertical or the horizontal extent of the  
14 fractures?

15 A. Right.

16 Q. That was what number?

17 A. They ranged for the two wells that we  
18 looked at between 130 and 330 feet. That's a  
19 radius from the wellbore. That circle that we  
20 looked at, that pancake on that one illustration,  
21 that's the radius of that.

22 Q. Those are the existing --

23 A. Yes.

24 Q. -- Fractures?

25 A. Yes.



1           Q.       So in fact we may extend those an  
2 additional distance?

3           A.       That's true.

4           Q.       Do you have an opinion as to whether  
5 injecting at these pressures causes you to lose  
6 some efficiency from your waterflood project?

7           A.       No.  Honestly I don't have an opinion  
8 for this particular case because we haven't  
9 looked at it from the reservoir engineering  
10 aspects.  I've simply looked at it from the  
11 hydraulic fracturing and mechanical aspects.  I  
12 haven't looked at it at all from a reservoir  
13 engineering point of view.

14                   MR. GILL:  I've got a opinion if you'd  
15 like to know mine.

16                   EXAMINER CATANACH:  I know yours.

17                   THE WITNESS:  But I will say from what  
18 I know if you have a formation with a horizontal  
19 fracture in it, the more you can inject, the  
20 better off you are because you get poorer sweep  
21 efficiency with a horizontal fracture.

22                   That may be why they haven't seen as  
23 good a reservoir response as they would like to  
24 see.  You have to really put the water in these  
25 formations because you're fighting the vertical

1 permeability, which is always many, many times  
2 lower than the permeability you see in the  
3 lateral direction in the reservoir.

4           If you can inject water in the wellbore  
5 and let it extend out laterally, you always have  
6 better efficiency than if you're injecting in a  
7 horizontal fracture and the water has got to go  
8 up this way to get to the oil. Your efficiency  
9 is always much, much less. And so you really  
10 have to put the water to it to get a good sweep  
11 efficiency.

12       Q.     On pages 34 and 35, those exhibits just  
13 demonstrate -- I'm sorry. Just page 34, that  
14 demonstrates the actual height that you'll  
15 achieve injecting at 1500 pounds?

16       A.     Yes. That's what our model predicts  
17 the height would be.

18       Q.     What is the zero point there? What  
19 does that represent?

20       A.     That's the center of the perforations.  
21 And so the first two dashed lines are the  
22 Penrose, and then the other dashed lines  
23 represent the various layers that we put into our  
24 model based on the stress profile that was  
25 provided back in on page 29.

1           We try to break the layers of rock into  
2 as much detail as possible so we can see how the  
3 fracture grows through each one of those layers.

4           Q.       Okay. I'm sorry. Again the first  
5 dashed line represents the extent of the Penrose?

6           A.       The top of the Penrose, right.

7           Q.       The top and the bottom?

8           A.       The top, yeah. And it goes over there  
9 to a value of about 20, halfway between 15 and  
10 25. And then down below, at a value of minus 15  
11 to minus 25, there's another dashed line. That's  
12 the bottom of the Penrose.

13           MR. GILL: The pay portion of the  
14 Penrose.

15           Q.       Okay. So does this indicate that you  
16 will actually have a portion of the fracture out  
17 of the Penrose?

18           A.       Yes. There will be 10 to 15 feet of  
19 growth above and below the Penrose.

20           Q.       But well within the Queen boundary?

21           A.       Oh, yes. The top of the Queen is  
22 several hundred feet from this interval.

23           Q.       Okay. The in situ stress profile on  
24 page 29, what does that stress number actually  
25 represent? Is that the stress in any one

1 direction, or is that the average, or what is  
2 that?

3 A. That's the minimum principal stress, is  
4 what's commonly referred to. That's the pressure  
5 that's required for a fracture to grow through  
6 that particular interval, fracture that cannot  
7 grow through that interval unless the pressure  
8 inside the fracture gets above that stress.

9 Q. In what direction? Does it matter?

10 A. Well, if you're looking at, you know,  
11 up or down, then it's in that direction.

12 Q. Okay.

13 A. It's that pressure extension, or the  
14 extension pressure that was on a previous  
15 diagram, that's the pressure that's driving the  
16 fracture. It's out at the crack tip, and it's  
17 driving the fracture either deeper into the  
18 Penrose or up into other anhydrite sections or  
19 down into other zones. It's that pressure at  
20 that crack tip that's driving that fracture.

21 When that pressure exceeds the stress  
22 that's shown on this log, then the fracture can  
23 grow through that particular layer and will.

24 Q. So this exhibit basically demonstrates  
25 that that stress pressure is 2500 pounds above

1 the Penrose?

2 A. That's true.

3 Q. Is that a different type of rock above  
4 the Penrose?

5 A. It's -- yes. It's anhydrite and  
6 limestone layers. The Penrose, as I understand,  
7 is a sand. So generally those are denser, harder  
8 rocks and sands.

9 Q. These stresses were calculated directly  
10 from the Halliburton log?

11 A. Yes.

12 Q. Was that done by you or Halliburton?

13 A. Halliburton.

14 Q. You stated earlier that the range or  
15 gradient of vertical fractures was .7 to .9?

16 A. If I had to pick an after range that we  
17 see, it's within that range, yes.

18 Q. Is that for -- what type of rock is  
19 that for?

20 A. Really all types of lithology.

21 Q. All types?

22 A. We deal primarily with sands when we're  
23 talking about hydraulic fracturing because most  
24 people don't hydraulically fracture carbonate  
25 reservoirs. But those are still typical fracture

1       gradients in carbonate reservoirs also.

2           Q.       Injecting at the proposed 1500 pounds,  
3       what's your best guess on what would happen in  
4       the wells that do have the vertical fractures  
5       present?

6           A.       Well, the fracture is going to grow up  
7       a little bit, as shown on the diagram on page  
8       34. That's our prediction at the 1500 pounds of  
9       surface pressure. It's going to grow up 20 or 30  
10      feet maybe and down another 10 or 15 feet into  
11      some of the other nonproductive intervals of the  
12      Queen. But it should be contained primarily to  
13      the Penrose interval.

14          Q.       Looking at the step-rate tests on the  
15      No. 5 and 9 and 25, it's your opinion that we do  
16      not see a break on these tests or a fracture or  
17      an extension of a fracture?

18          A.       Right.

19          Q.       We do see something at least on these  
20      tests. What in your opinion is that?

21          A.       Well, somebody took that data, the  
22      bottom hole data, and just drew some straight  
23      lines on it and picked an intersection point and  
24      called that the parting pressure. As I look at  
25      it -- and I re-plotted it because I think there's

1 a few points that may not be plotted exactly  
2 right, but I re-plotted it.

3 Say, for example, No. 5 well, it's  
4 shown, two straight lines are drawn on the graph  
5 with an intersecting point at 1505 PSI. If I  
6 look at that data, which we've re-plotted based  
7 on -- over on age 15, I just see a continuous  
8 curve in the data without any real breaks to  
9 speak of. And the pressures are still increasing  
10 at a much faster rate than I would expect if the  
11 fracture was open. And that's the basis for my  
12 conclusion.

13 I've illustrated how these different  
14 curves compare over on page 20. The pressure  
15 curves for 5, 9, and 25 are still increasing at a  
16 fairly rapid rate when compared to No. 14 and No.  
17 22. Those wells, the pressure curves have  
18 flattened out for all practical purposes.

19 And so I really didn't see what we  
20 looked for in the pressure curves that indicate  
21 to me that the fracture had opened, and that is  
22 this break-over point. It's still just slowly  
23 increasing. And it appears to me that all  
24 they're doing is just repressurizing the  
25 formation.

1           And at some point the fracture is going  
2 to open and the pressure is going to break over.  
3 I just don't see it in the data for those other  
4 three wells.

5           Now, it could be. Now, this is a very  
6 interpretive test. No doubt about it. That  
7 could be the opening pressure. But if it is,  
8 that means that vertical fractures do exist in  
9 these wells.

10           It's interesting that those three wells  
11 are deeper than the other two wells. I don't  
12 know if that means anything, but that would mean  
13 that at some point when you go from about 1600  
14 feet down to around 18- to 1900 feet, that the  
15 fractures go from being horizontal to vertical.  
16 They change orientation within just a few hundred  
17 foot of surface depth.

18           I mean, it's possible. Anything is  
19 possible under the ground, but I just would find  
20 that very hard to believe.

21       Q.     Mr. Robinson, is there any type of log  
22 or test available that you know of that might  
23 tell you after a period of time what might be  
24 happening down in the formation if you injected a  
25 high pressure? Can you tell later on if there's



1 anything that you might not want to be happening?

2 A. Yes. Well, for example, if you  
3 possibly had some mechanical problems with the  
4 wells, there are these injectivity surveys which  
5 are a convenient way to look at channeling behind  
6 pipe and that sort of thing.

7 There's some new technology available,  
8 a technology that we've been a very big part of  
9 in terms of having the opportunity to work with  
10 companies that have developed the technology.  
11 And it involves the use of tilt meters and  
12 geophones to measure seismic activity and earth  
13 movement. And that describes whether you have  
14 vertical fractures and the heights of those  
15 fractures or horizontal fractures and the radius  
16 of those fractures.

17 It's technology that's been developed  
18 over the last five to ten years, and it's just  
19 now becoming commercially available. The reason  
20 it's taken so long and still not applied very  
21 widespread is because it's very expensive.  
22 Surveys in the \$30-, \$40-, \$50,000 range.

23 But the technology is there that can  
24 tell you through seismology and earth motion  
25 whether or not you have fractures propagating in

1 a vertical direction or a horizontal direction  
2 and exactly what's going on underneath the  
3 ground.

4 EXAMINER CATANACH: I believe that's  
5 all I have, Mr. Kellahin.

6 MR. KELLAHIN: Just a follow-up  
7 question with Mr. Robinson.

8 FURTHER EXAMINATION

9 BY MR. KELLAHIN:

10 Q. Define the term leak-off.

11 A. Leak-off is just -- that's the  
12 waterflood. That's the fluid leaking from the  
13 fracture into the rock into the porous pay  
14 section that's flooding the oil hopefully over  
15 toward the producing wells.

16 Q. Without that you have no opportunity to  
17 recover the secondary oil?

18 A. That's right. I mean that's your  
19 waterflood. It's just fluid flow from the  
20 fracture into the porous permeable sand.

21 MR. KELLAHIN: Thank you. I have no  
22 further questions.

23 EXAMINER CATANACH: Anything further in  
24 this case?

25 MR. KELLAHIN: Only a point of inquiry,

1 Mr. Examiner. Mr. Gill has represented to you  
2 and the data demonstrates that the project must  
3 be abandoned at this point without a pressure  
4 limitation increase. It puts at risk the  
5 opportunity to recover more than half a million  
6 barrels of oil.

7 You asked during Mr. Robinson's  
8 presentation if he had made an engineering study  
9 of sweep efficiencies. I must tell you we  
10 haven't done that. I had presumed that that  
11 would be an operator's decision to determine at  
12 what volume he would introduce water into the  
13 waterflood so that he could maximize his  
14 recoveries.

15 And what we focused on was the issues  
16 of concern to you as a regulator to keep the  
17 fluids confined so that they're not putting at  
18 risk anyone else's hydrocarbons or putting  
19 freshwater in jeopardy. And so it will be my  
20 error if you desire some kind of reservoir sweep  
21 efficiency study because we simply have not done  
22 that. We have focused on the other aspects.

23 EXAMINER CATANACH: Mr. Kellahin, that  
24 was just for my information. I assure you that  
25 it won't be considered in my decision.

1 MR. KELLAHIN: Thank you, Mr.  
2 Examiner.

3 EXAMINER CATANACH: There being nothing  
4 further, Case 10495 will be taken under  
5 advisement.

6 [And the proceedings were concluded.]  
7  
8  
9  
10  
11  
12  
13  
14

15 I do hereby certify that the foregoing is  
16 a complete record of the proceedings in  
17 the Examiner hearing of Case No. 10495,  
18 heard by me on June 25 1992.  
19 David R. Catanach, Examiner  
20 Oil Conservation Division  
21  
22  
23  
24  
25


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
COUNTY OF SANTA FE ) ss.

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL JULY 6, 1992.

  
DEBBIE VESTAL, RPR  
NEW MEXICO CSR NO. 3