

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

8 August 1984

EXAMINER HEARING

IN THE MATTER OF:

Application of Apollo Energy Inc.	CASE
for salt water disposal, Lea County,	8293
New Mexico.	

BEFORE: Richard L. Stamets, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation Division:	W. Perry Pearce Attorney at Law Oil Conservation Commission State Land Office Bldg. Santa Fe, New Mexico 87501
For the Applicant:	W. Thomas Kellahin Attorney at Law KELLAHIN & KELLAHIN P. O. Box 2265 Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

M. Y. MERCHANT

Direct Examination by Mr. Kellahin 3

Cross Examination by Mr. Stamets 12

E X H I B I T S

Apollo Exhibit One, C-108 4
and attachments

1
2
3 MR. STAMETS: We'll call next
4 Case 8293.

5 MR. PEARCE: That case is on
6 the application of Apollo Energy, Inc. for salt water dis-
7 posal, Lea County, New Mexico.

8 MR. KELLAHIN: If the Examiner
9 please, I'm Tom Kellahin of Kellahin and Kellahin, Santa Fe,
10 New Mexico, appearing on behalf of Apollo Energy, Inc., and
11 I have one witness to be sworn.

12 MR. PEARCE: Are there other
13 appearances in this matter?

14 (Witness sworn.)

15 M. Y. MERCHANT,
16 being called as a witness and being duly sworn upon his
17 oath, testified as follows, to-wit:

18
19 DIRECT EXAMINATION

20 BY MR. KELLAHIN:

21 Q Mr. Merchant, would you please state your
22 name and occupation, please, sir?

23 A My name is Mohammed Yamen Merchant. I'm
24 with Apollo Energy, Incorporated of Hobbs, New Mexico.

25 I'm a petroleum engineer by degree.

Q Mr. Merchant, have you previously testi-

1
2 fied before the Oil Conservation Division as a petroleum en-
3 gineer?

4 A Yes, I have.

5 Q And have you prepared for purposes of
6 your testimony today certain exhibits and the completed Com-
mission Form C-108?

7 A Yes, I have.

8 MR. KELLAHIN: We tender Mr.
9 Merchant as an expert petroleum engineer.

10 MR. STAMETS: He is considered
11 qualified.

12 Q Mr. Merchant, I have marked as Apollo's
13 Exhibit Number One Commission Form C-108, which includes all
14 the attachments. For purposes of your testimony I will di-
rect my questions to you based upon the Form C-108.

15 Did you prepare the C-108 and all the at-
16 tachments?

17 A Yes, I have.

18 Q Would you identify for the Examiner what
19 you propose to accomplish with this application?

20 A In Section 13, Township 9, Range 35,
21 which is shown in Exhibit Two, the land map, in Unit letter
C we have well in the Bough C formation.

22 We intend to convert that particular well
23 for salt water disposal to be used strictly for produced
24 water produced from the producing wells in the same section.

25 Q All right, looking in Section 13, then,

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

would you identify for us the producing wells that will contribute water for this disposal well?

A Yes. The producing wells located in the same section, Section 13, Unit letter E, which is Well No. 2, and Unit letter K, which is Well No. 4-A, are the two wells which will be contributing to the -- water produced off them will be disposed in the injection well we're asking for.

Q Do you have plans to drill additional producing wells that will contribute water for this disposal well?

A No, we don't have any plans to drill additional wells. We do have plans to return Well No. 4-A to production. The well was making 50 barrels a day, 50 barrels of oil a day, before it was temporarily abandoned because of lack of facilities to dispose water.

Q Would you describe for us what has been some of the history of the well that you propose to convert for salt water disposal?

A I'd like to turn over to exhibit -- page two, Exhibit One, showing the well data on disposal well.

The well was drilled back in the fifties as a Bough C completion. It was currently -- it was producing as late as two months ago but it's currently temporarily abandoned. It was producing from the open hole 9597 to 9615. It's a marginal producer at the present time.

Q What is the anticipated average volume in

1
2 barrels of water per day that you propose to dispose of in
3 the well?

4 A We're looking at approximately 2000 bar-
5 rels of water per day.

6 Q All right, sir, and what is the maximum
7 disposal rate that you're requesting?

8 A No more than 3000.

9 Q Are you familiar with the Division guide-
10 line on the surface limitation pressure on disposal in in-
11 jection wells?

12 A Yes, I am.

13 Q And will this well, do you anticipate
14 that this well will exceed the 0.2 psi per foot of depth
15 limitation?

16 A No, I don't believe this well will for
17 more than one reason.

18 There's an offsetting well in Section 12
19 in Unit letter B, which was approved for salt water dis-
20 posal. It's being used currently for commercial disposal
21 operations and they are disposing approximately 3000 barrels
22 a day and do not have any pressure, or hardly any pressure.

23 Q All right, sir. will you go to the page
24 in the C-108 and describe for us what wells have been in-
25 cluded in the tabulation of wellbore information in that
portion of the exhibit?

A Okay. Exhibit Three shows all the wells
which are within the 1/2 mile radius of the proposed dis-

posals well located in Section 13.

Some of these wells are plugged and some of them are still producing.

Q All right, so the tabulation not only has the producing wells but also has the plugged and abandoned wells that either produce from this formation or had wellbores that penetrated this formation.

A That's correct.

Q All right. In reviewing the information that went into this tabulation, Mr. Merchant, do you find any of the currently producing wells that have not been adequately cemented across the disposal interval?

A I've reviewed it and we do not find any wells which are currently in that shape. They all have proper cement jobs --

Q All right.

A -- across the proposed injection zone.

Q With regards to plugged and abandoned wells within the area of review, do you find any plugged and abandoned wells that do not have adequate cement plugs immediately above and immediately below the disposal interval?

A No, sir, we don't.

Q In your opinion are all these wells, the producing and plugged and abandoned wells, completed or plugged in such a fashion that water disposed of in the Bough C would not use those adjacent wellbores as a way to migrate those fluids into some other formation?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Using the data we have available to us, there is no such possibility.

Q Have you also reviewed the geology in the area, Mr. Merchant?

A Yes, we have.

Q Let's turn to your Exhibit Number Six, which is the attachment to the C-108, and have you describe for us the proposed disposal interval in terms of thickness, the depth, and the injection interval.

A Yes. As shown on Exhibit Six, and the information is basically the thickness is averaged thickness within the offset wells, as well as the well we're going to use for injection.

Q In studying the geology, Mr. Merchant, do you find any evidence of faulting or hydrologic connections between the Bough C disposal formation and any sources of fresh water in the area?

A No, sir, I don't.

Q Are there any sources of fresh water in this area?

A Not in the immediate area, to my knowledge.

Q All right, sir, if we go now to Exhibit Number Eight, those are the water analyses. Would you describe the water analyses that you've attached to the exhibit?

A These water analyses came from the Devon-

1
2 ian, Devonian formation. That's the water we will be using
3 to dispose into the Bough Penn formation in the disposal
4 well.

5 One was done back in '71 by Halliburton;
6 the other one was done by Martin Water Lab, and they're bas-
7 ically the same thing.

8 The third one is the water analysis from
9 the Bough Penn formation.

10 Q That's Exhibit Ten?

11 A That's Exhibit Ten, I'm sorry, getting
12 ahead of myself.

13 Q Are there any incompatibilities in the
14 produced water that will be disposed of in the Bough C?

15 A No, sir, we haven't found any.

16 Q Who is the surface owner at the location
17 where the disposal well is?

18 A Mr. Milton, I believe, Milton Bonds.

19 Q All right. Have you notified Mr. Bonds
20 of the application in this case?

21 A Yes, we have notified him by certified
22 mail and we have also visited him personally.

23 Q All right, sir, and have you also noti-
24 fied the other offset operators within a half mile radius?

25 A Yes, sir, we have.

26 Q And those are Layton Enterprises and MNG
27 Oil, Inc.?

28 A Yes, sir.

1
2 Q And those have also been notified by cer-
3 tified mail, return receipt?

4 A Yes, sir, they have been.

5 Q All right, let's turn now to Exhibit Num-
6 ber Thirteen and have you discuss for us the wellbore sche-
7 matic of the disposal well.

8 A What we propose to do is, currently the
9 well have just regular 2-7/8ths tubing, which is not plastic
10 coated. We're going to pull it, inspect it, run it through
11 plastic coating, run a plastic coated Lokset packer and of
12 course inhibit, run inhibited fluid on the back side to pre-
13 vent the tubing as well as the casing, and inject in the
14 open hole, as shown in the Exhibit Eight -- Exhibit Thir-
15 teen, rather.

16 Q Will you have some device on the surface
17 to measure the pressure on the casing-tubing annular space?

18 A On the tubing we will have a pressure
19 gauge and if necessary we'll put one on the casing, also, so
20 we'll have a constant monitoring.

21 Q All right, sir, and then the following
22 schematics are what, Mr. Merchant?

23 A These are schematics of the plugged and
24 abandoned wells within the half mile radius showing the cas-
25 ing left in the hole, cement plugs, where they're set,
bridge plugs, and what not, which --

26 Q This is a schematic representation of the
27 information that's on the tabulation exhibit you discussed

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

earlier?

A Yes, sir.

Q All right. And you prepared those schematics?

A Yes, I prepared them or they were prepared under my supervision.

Q And in reviewing that data you don't see any problems with any of the wells that are plugged and abandoned.

A That's correct.

Q All right, sir.

A I would like to add, initially, when this application was submitted we did not have information on the plugged well in Unit letter A of this Section 13, which was drilled back in 1951 by Magnolia.

Q That's the Magnolia Matthew Federal No. 2 Well?

A Yes, sir.

Q Okay.

A We did receive the information by telephone through the BLM yesterday, day before yesterday, and then yesterday did receive the information on paper by Federal Express and we confirmed that that well has been plugged properly.

Q All right, have you attached any of the exhibits, the additional information that you received from the BLM?

1
2 A Not from the B -- not directly, but I
3 used their information to come up with Exhibit 19, which is
4 the last page of the package.

5 Q All right.

6 A Showing where the casing was cut and pul-
7 led and where the plugs are set.

8 Q All right, sir. Subject to that addi-
9 tional comment, Mr. Merchant, is there anything else that
10 you'd like to add to your application?

11 A I do have a copy of the information re-
12 ceived from the BLM and if the Commission desires, we'd be
13 glad to submit that as separate piece of information.

14 MR. KELLAHIN: That concludes
15 my examination of Mr. Merchant, Mr. Stamets.

16 We move the introduction of our
17 Exhibit Number One, which is Commission Form C-108 and the
18 attachments thereto.

19 MR. STAMETS: The exhibit will
20 be admitted.

21 CROSS EXAMINATION

22 BY MR. STAMETS:

23 Q Mr. Merchant, on Exhibit Number Five I've
24 got a couple of questions.

25 A Yes, sir.

Q The top well, the Federal "A" No. 5, it
shows 5-1/2 inch casing set at 12,018 feet and the top of

1 cement at 9100 feet.

2
3 Then down below it has on November 28th,
4 '83, "ran pipe recovery log. Top of cement, 11,340."

5 Are those two figures in conflict with
6 one another?

7 A They are -- glad you brought that up.
8 Those are -- those are conflict. The top of the cement,
9 9100 feet, that was calculated. These were previously Amoco
10 Production Company's wells and that information came to my
11 attention yesterday that they had ran pipe recovery log,
12 which wasn't in our files, and the pipe recovery log showed
13 that the top of cement was 11,340, based on what Amoco sub-
14 mitted to the -- to the USGS, and pursuant to that they had
15 gone back in and done a squeeze job using 1200 sacks of ce-
16 ment and circulated between the 9-5/8ths and 5-1/2.

17 Q It looks as though that the perforated
18 interval was at 4960 and does that mean that the annular
19 space between the depth of 4960 and 11,340 doesn't have any
20 cement behind it?

21 A It would be hard to -- I would -- I don't
22 know how I would answer that question whether it's empty or
23 is cemented, or what.

24 I don't know why they perforated at 4960
25 and then brought the cement up from there on up.

26 Q Okay, let's move down the page to the
27 Federal "A" No. 7.

28 There we see the 5-1/2 set at 11,966 with

1
2 300 sacks and top of cement at 9000 feet. Is that calcu-
3 lated top again?

4 A Yes, sir, that is calculated top.

5 Q Based on the amount of fill that was
6 achieved, apparently, with 250 sacks on the Federal "A" No.
7 5, do you think that that 9000 feet is a reasonable top?

8 A If you put it that way, that may not be
9 reasonable top, but one may have to monitor the pressures on
10 the back side on both -- both those wells, especially No. 7,
11 if the permission is granted to dispose water in the dis-
posal well.

12 MR. STAMETS: Are there other
13 questions of this witness? He may be excused.

14 Anything further in this case?

15 The case will be taken under
16 advisement.

17 (Hearing concluded.)
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY
that the foregoing Transcript of Hearing before the Oil Con-
servation Division was reported by me; that the said tran-
script is a full, true, and correct record of the hearing,
prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete and correct record of the proceedings in
the Examiner hearing of Case No. 8293
heard by me on 8-8-84 19 84
Richard N. Ham, Examiner
Oil Conservation Division