

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

7 August 1986

COMMISSION HEARING

IN THE MATTER OF:

Application of Northwest Pipeline Corporation for Hardship Gas Well Classification, Rio Arriba County, New Mexico. CASE 8890

BEFORE: Richard L. Stamets, Chairman
Ed Kelley, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Commission: Jeff Taylor
Legal Counsel for the Division
Oil Conservation Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For Northwest Pipeline: Paul A. Cooter
Attorney at Law
RODEY LAW FIRM
P. O. Box 1357
Santa Fe, New Mexico 87504

I N D E X

STATEMENT BY MR. COOTER

5

PAUL C. THOMPSON

Direct Examination by Mr. Cooter

5

Cross Examination by Mr. Stamets

32

Questions by Mr. Lyon

33

E X H I B I T S

NWP Exhibit A-1, Plat

7

NWP Exhibit A-2, Well History

8

NWP Exhibit A-3, Data

11

NWP Exhibit A-4, Graph

12

NWP Exhibit A-5, Schematic

14

NWP Exhibit A-6, Graph

16

NWP Exhibit A-7, Economics

18

NWP Exhibit A-8, Data

20

NWP Exhibit A-9, Graph

23

NWP Exhibit A-10, Graph

23

NWP Exhibit A-11, Graph

23

1

2

E X H I B I T S CONT'D

3

4

NWP Exhibit A-12, Graph

25

5

NWP Exhibit A-13, Graph

27

6

NWP Exhibit A-14, Graph

27

7

NWP Exhibit A-15, Data

28

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STAMETS: Call Case 8890.

MR. TAYLOR: Application of
Northwest Pipeline Corporation for Hardship Gas Well
Classification, Rio Arriba County, New Mexico.

MR. STAMETS: Call for
appearances.

MR. COOTER: Paul Cooter with
the Rodel Law Firm in Santa Fe, appearing on behalf of
Northwest Pipeline Corporation.

We have one witness.

MR. STAMETS: Any other
appearances?

I'd like to have the witness
stand and be --

MR. COOTER: We have one other
appearance.

MR. WILSON: Richard Wilson,
Bureau of Land Management.

MR. STAMETS: Thank you. I'd
like to have anybody who's going to be a witness in this
case stand and be sworn at this time, please.

(Witness sworn.)

1 MR. COOTER: Just a primary
2 statement, Mr. Stamets. I'm handing you a packet of fifteen
3 exhibits, some of which, one or two of which are the same
4 as were offered at the Examiner's Hearing. Others are
5 similar but have been updated and some are new exhibits, and
6 rather than create confusion by going back and looking and
7 all, we just prepared a packet of all the exhibits that will
8 be offered today, and for convenience sake, as you'll note
9 on the first page, while we do start with No. 1, I've
10 designated it A-1.

11 MR. STAMETS: Thank you, Mr.
12 Cooter.

13
14 PAUL C. THOMPSON,
15 being called as a witness and being duly sworn upon his
16 oath, testified as follows, to-wit:

17
18 DIRECT EXAMINATION

19 BY MR. COOTER:

20 Q State your name for the record, please,
21 sir.

22 A My name is Paul Thompson.

23 Q And by whom are you employed, Mr. Thomp-
24 son?

25 A By Northwest Pipeline Corporation in Far-

1 mington.

2 Q And what is your position with the com-
3 pany?

4 A I'm the Manager of Production and Drill-
5 ing.

6 Q Relate briefly, if you would for the Com-
7 mission, your education and professional experience.

8 A I graduated from New Mexico State
9 University with a Bachelor's in chemical engineering in
10 1976.

11 I worked for Philips Petroleum Company
12 for three years in Bartlesville, Oklahoma before I started
13 work for Northwest as a drilling engineer in 1979.

14 I was promoted to Manager of Drilling and
15 Production in 1984.

16 Q And have continued in that position to
17 this date?

18 A Yeah, that's correct.

19 Q You have in front of you a packet of some
20 fifteen exhibits. Let me ask you to turn to that -- well,
21 before you do, what does Northwest Pipeline seek by its ap-
22 plication in this case?

23 A Well, we're requesting that a hardship
24 classification be granted for our San Juan 29-5 Unit No. 91.

25 Q What leads you to believe that under-

1 ground waste would occur if the well is shut-in or produc-
2 tion be curtailed?

3 A This well was shut in for overproduction
4 for three months in 1984 and after this extended shut-in
5 period the well required swabbing to return it to produc-
6 tion.

7 After the production was re-established
8 the well's delivery potential showed a marked decrease. Our
9 studies also indicate that irreversible formation damage has
10 occurred resulting in the loss of recoverable reserves.

11 We believe that this formation damage is
12 caused by an increase in the water saturation around the
13 wellbore which permanently lowers the formation's relative
14 permeability to gas.

15 Q Mr. Thompson, without this hardship clas-
16 sification do you have a reason to believe that a similar
17 result or results would occur with other shut-ins of exten-
18 ded periods, say three months or more?

19 A Yes, I don't think three months would be
20 required to log the well off.

21 Q All right. Now let's go to those exhi-
22 bits, if you would, and first identify the well in question
23 on Exhibit One.

24 A Exhibit One is just a map of the area.
25 The San Juan 29-5 No. 91 is located in the northeast quarter

1 of Section 35. The east half of this section is dedicated
2 to this well.

3 Q What is the well's significance?

4 A I'm sorry?

5 Q We're referring to the 91 Well that is
6 the subject matter of this application but does it have some
7 significance with the offsetting wells?

8 A Yes. I'll be referring to the No. 90
9 Well, located in the southwest quarter of this same section,
10 as well as the two wells in Section 34, the 88 and 89, and
11 also the San Juan 29-5 No. 70, which is located in the
12 northeast quarter section of Section 28.

13 Q All right. Let's go to Exhibit Number
14 Two in that packet of exhibits and discuss the well's his-
15 tory briefly, if you would.

16 A This well was drilled and completed in
17 July of 1980. Late in 1980 a water test was performed on the
18 well that indicated the well was producing around 19-22 bar-
19 rels of water per day.

20 A water analysis taken at this time indi-
21 cated that the water was Dakota formation water.

22 We installed a stopcock in May of 1981 to
23 control this water production. It took us several settings
24 to settle on two hours on and ten hours on as being the --
25 we found that to maximize gas production while limiting

1 water production to less than 5 barrels of water per day.

2 During our application for administrative
3 approval Mr. Chavez from the Aztec Office questioned as to
4 why no water had been reported from this well, so I asked
5 the Salt Lake office who filled our our Form C-115 and they
6 said that they had talked to a Mr. Eppie Martinez several
7 years ago and he said that our filings with the BLM on our
8 NTL-2B exemptions were sufficient for the state; however,
9 after we inquired, Mr. Harold Garcia requested that we start
10 supplying the water information on Form C-115, and it's my
11 understanding that data has been supplied retroactive to
12 January, 1985.

13 This well produced at the two off/ten on
14 setting until it was shut-in for overproduction on September
15 19th, 1984.

16 When the well ws scheduled to return to
17 production in December of '84, we found the well was logged.
18 We made several attempts during the next year to unload the
19 well by blowing it, soaping the tubing, equalizing the tub-
20 ing/casing pressures. All these were unsuccessful.

21 We started our swabbing operations on Oc-
22 tober 16th, 1985, and swabbed the well from the 16th through
23 the 29th. Since we had encountered scale problems in this
24 area before, we performed a nitrofiied acid job on this well
25 and the three offsets, 88, 89, and 90 Wells in an attempt to

1 remove any carbonate deposits on the tubing, the perfora-
2 tions, and the area immediately adjacent to the wellbore.

3 Q Let me interrupt you right there, and
4 have you -- those other wells to which you referred to the
5 west, 88, 89, and 90, had those wells been shut-in and were
6 they logged?

7 A Yes, yes, they both were. They were all
8 shut-in for different reasons and they were all logged.

9 We were trying to -- our original plan
10 was to swab in all four of these wells at one time and to
11 apply for a hardship application on all four wells. Well,
12 what we were trying to do was to re-establish production,
13 run the logoff test, and then have enough data to apply for
14 the hardship application.

15 After we had spent about \$15,000 on each
16 well only the 91, the well in question here, could sustain
17 production. We even had attempted plungers in two of the
18 wells, the 88 and 89, and even tried to swab those with the
19 plungers in place and that was unsuccessful.

20 So I felt like since Northwest does not
21 have any wells under hardship, we'd be better off to tempor-
22 arily abandon our attempts on the other three offsets and
23 try to see if we could get a hardship on the 91.

24 But while we were swabbing the 91 we were
25 continually moving the rig back and forth between all four

1 of these wells

2 So the well was swabbed again from
3 October 31st to November the 2nd and we finally got it to
4 produce to the atmosphere continually.

5 We attempted to put the well back on line
6 with a stopcock setting of five hours off and one hour on on
7 November 11th, 1985. We found the well had logged off the
8 next day.

9 The well was swabbed again on November
10 20th and returned to the production to the pipeline with a
11 stopcock setting of seven hours off, one hour on, and at
12 this setting the well had a longer period of time for the
13 gas to recharge around the wellbore and then to lift liquids
14 when it was scheduled to come on. That's why I think we
15 were more successful with the seven off and one on setting
16 than we were at the five off/one on setting.

17 The total swabbing costs are estimated at
18 around \$13,700.

19 Q Are those itemized on Exhibit Number
20 Three?

21 A That's correct. Exhibit Three just
22 outlines the rig time, our technician's time and mileage
23 charges, and miscellaneous and engineering costs.

24 Q All right, let's turn to Exhibit Number
25 Four, if you would, and explain that.

1 A Well, if I could back up just a second.

2 Q Okay.

3 A We had notified the office in Aztec of
4 our intention to try to apply for a hardship application and
5 they instructed us how to take the logoff test

6 We started a logoff test December 16th
7 and completed it the 20th; however, the results from this
8 logoff test were inconclusive, so we tried it again starting
9 on January 7th through the 17th. It was determined that a
10 stopcock setting of 11-3/4 hours off, 1/4 hour on, was not
11 sufficient to unload the wellbore liquids.

12 We reconfirmed this by a third logoff
13 test run between January 22nd and the 25th, and after exper-
14 imenting with several stopcock settings the well appears to
15 produce best with a stopcock setting of seven hours off and
16 one hour on, at an average rate of 140 Mcf per day and 4-1/2
17 barrels of water per day.

18 Q So that is in excess of the amount you
19 seek in your application.

20 A That's correct. The -- part of the log-
21 off test we had the stopcock set at 11-1/2 hours off and 1/2
22 hour on, so that during a 24 hour period we'd get one hour
23 of production, and at that stopcock setting the well pro-
24 duced 28 Mcf per day; however, with the longer flow period
25 you're going to get more gas after the initial (unclear) is

1 over, so that's why 140 divided by 3 is more than the 28.

2 But if the pipeline were to ask us to
3 minimize our production, we could still produce at this 11-
4 1/2 hours off and 1/2 hour on to keep the well from logging
5 off.

6 Q Now, are you ready to go to Exhibit Four?

7 A Yes, fine.

8 Q Okay.

9 A The procedure for running a logoff test
10 on a well without a stopcock is just to choke the well back
11 to the point where there's not a sufficient volume of gas to
12 lift liquids. On a well with a stopcock you decrease the
13 flow time to the point where the well cannot lift liquids.

14 Exhibit Four shows a graph of the casing
15 pressure versus time. The No. 91 is being produced without
16 a packer so that there should be free communication between
17 the casing annulus and the tubing. What we'd expect to see
18 is that every time you produce gas up the tubing you see a
19 drop in the casing pressure, and if there was free communi-
20 cation between the casing and the tubing, you'd get the same
21 casing pressure drop for every flow period.

22 If for some reason the well starts log-
23 ging up, you start to lose this communication between the
24 casing annulus and the tubing and you get smaller and smal-
25 ler casing pressure drops as you flow the well up the tub-

1 ing, until at some point when you open the tubing you won't
2 see any casing pressure drop at all. All you will do is
3 produce the gas up the tubing and then the well will be log-
4 ged; won't flow at all.

5 You can see from this graph that for
6 every fifteen minute period that the well was on, the casing
7 pressure drops were getting progressively smaller so that
8 the well was logging off at this flow rate.

9 We didn't allow the log to completely log
10 off so we opened it up to the atmosphere there at the end of
11 the chart.

12 And as I mentioned before, we had run
13 this same type of test with the stopcock set at 11-1/2 hours
14 off and 1/2 hour on and the well did not log off. It showed
15 equal casing pressure drop for each flow period.

16 Q Turn next to Exhibit Six, if you would --
17 Five, pardon me, the wellbore diagram.

18 A Exhibit Five just shows the mechanical
19 configuration of the well. This is the standard format for
20 the procedure we've used on several hundred Dakota wells in
21 the San Juan Basin. We set 9-5/8th surface casing and
22 cement that to surface.

23 We drill with mud and set a 7-inch inter-
24 mediate string into the Lewis Shale and cement that above
25 the Ojo Alamo top.

1 We then drill from the bottom of the 7-
2 inch to TD with gas and set a 4-1/2 inch long string. We
3 cement the production casing, bring the top of cement up in-
4 to the 7-inch pipe.

5 This well was then perforated and fraced
6 with 50,000 pounds of 40/60 sand and slick water. The well
7 produces up 2-3/8ths tubing.

8 What I should point out at this point is
9 that only one, the top zone of the Dakota is open in this
10 well so that the water that is being produced is coming from
11 the same formation, the same zone as the gas, so that elimi-
12 nates any possibility of setting a cement retainer downhole
13 and squeezing off some of the water zones.

14 The water zone and the gas zone are the
15 same.

16 Q Explain, if you would, what Northwest
17 Pipeline has done to rectify the wells problems.

18 A Well, first let me say that the well has
19 a problem in that it logs off after it's shut in.

20 The well does not have a problem logging
21 off while it's being produced.

22 Therefore the possible solutions are in-
23 volved with preventing or removing the head of water which
24 accumulates during the shut-in period either by swabbing or
25 by pumping the water off.

1 The solution is not to help remove li-
2 quids while the well is producing, like with stopcocks or
3 plunger lift systems or small ID tubing.

4 The obvious thing to do would be to pre-
5 vent the water from coming into the wellbore but as I men-
6 tioned previously, that's impossible, since to shut off the
7 water you'd also shut off the gas.

8 On Exhibit Number Six is listed some of
9 the possible alternatives under optimum lift systems. This
10 graph was taken from a petroleum production course taught at
11 the Colorado School of Mines by Dr. John Wright.

12 This exhibit takes the initial installa-
13 tion cost, the operating costs, and the performance of the
14 equipment into account when recommending the optimum system
15 for different liquid production rates and well depth.

16 As can be seen from the graph, really on-
17 ly rod pumping systems would be practical to run on the 91,
18 which is approximately 9000 feet deep and initially will
19 produce anywhere from 50 to 100 barrels of water.

20 Gas lift systems work best at shallower
21 depths and in higher volumes of gas than what we have
22 available.

23 Also based on our experience with scale
24 problems in the area we would anticipate a lot of problems
25 getting the gas lift valves to open and close properly.

1 Electric submersible pumps are better
2 suited, as can be seen on the graph, to extremely high flow
3 rates.

4 Another drawback of electric submersible
5 pumps is that if they should pull the well dry, which is not
6 out of the realm of possibility at the speed that they pump,
7 they -- they transmit their heat into the produced fluid and
8 if there's no fluid there the pump would burn itself up in a
9 short matter.

10 Surface hydraulic pumps, their efficiency
11 dropped to almost zero at the typical gas to liquid ratio
12 that we have in the 91 of approximately 10,000 cubic feet to
13 one barrel.

14 We considered a compressor; however most
15 field compressors have a typical suction pressure of around
16 50 pounds and the well, if the well can't produce to the at-
17 mosphere, a compressor is not really going to do them any
18 good here, either.

19 That leaves us, then, with rod pumping
20 systems. They also don't work very well with high GOR wells
21 so they would require a downhole separator to separate the
22 liquids from the gas, so it would only pump what was essen-
23 tially gas free liquid and with the scale problems we would
24 anticipate several workovers caused by the scale.

25 However, assuming that the rod pumping

1 system would work, I've compared the economics of producing
2 the well continually, as we've requested in this applica-
3 tion, with swabbing and with rod pumping systems in Exhibit
4 Number A-7.

5 What I've tried to show here are the
6 break even costs with each of these types of production
7 scenarios.

8 What I've assumed is that the well will
9 be sold at current market out gas price effective August 1st
10 of '86; that our normal production costs will remain the
11 same.

12 If the well is allowed to produce contin-
13 ually the break even production required is 11 Mcf per day,
14 and using the normal exponential decline analysis, the
15 reserves that would be left in the ground at this abandon-
16 ment rate are only 14.6-million cubic feet.

17 If the well required swabbing and the
18 well required five days of swabbing each time it's shut in,
19 assuming it's shut in three times per year if the production
20 is curtailed 50 percent due to pipeline demand, the break
21 even production requirements are 98 Mcf per day, the
22 reserves which are to be lost at this abandonment rate are
23 127.8-million cubic feet.

24 If a rod pumping system is installed, as-
25 suming that the well has an average 7-1/2- year remaining,

1 the break even production cost -- break even production re-
2 quired is 84 Mcf per day and the reserves which would be
3 lost at this abandonment rate are 109.5-million cubic feet.

4 As I've mentioned before, probably swab-
5 bing would be chosen over a pumping system due to the high
6 capital expense of the rod pumping system and some of the
7 mechanical constraints that we have talked about earlier.

8 Q Before you leave that, Mr. Thompson, when
9 you're talking about swabbing costs and swabbing the well
10 after prolonged periods of shut in, at that point there
11 would be reserves lost or left in the ground of 127.8-
12 million.

13 A That's correct.

14 Q You are assuming that your swabbing
15 efforts would always be successful.

16 A That's correct.

17 Q And there is certainly some possibility
18 if not a stronger possibility or probability that somewhere
19 along the line that those swabbing costs would not -- or
20 swabbing efforts would not be successful.

21 A Well, that's correct. Based on the three
22 offset wells where we gave them, again, about three or four
23 opportunities for five days apiece to return to the
24 production and we were unsuccessful in all three of those
25 wells, again I guess I'd say the probability is pretty high.

1 Q And if those swabbing efforts were not
2 successful, then the reserves left in the ground and forever
3 lost would be an amount in excess of that 127.8-million.

4 A That is correct.

5 Q Okay, continue, if you would.

6 A Okay. Some of the other things that
7 should be considered at this time are stopcock, plunger
8 lifting, and small bore tubing. They're all methods for
9 lifting liquids while the well is producing. If the well is
10 allowed to log off, none of these systems will help the well
11 regain production.

12 Small bore tubing actually -- it will be
13 easier to log the well off if small bore tubing was
14 installed and the well allowed to shut in. If you'll look
15 at Exhibit Number A-8, please, these refer to small bore
16 tubing effects. What I've shown here is the condition of
17 the well as we found it 10-16-85 and this is in its logged
18 off position; with the 2-3/8ths tubing 22.2 barrels of water
19 were required to give the hydrostatic head sufficient to
20 equal the formation pressure and log the well off.

21 If we had inch and a half tubind
22 installed in this well, only 14.4 barrels of water would be
23 required to log the well off.

24 And if inch and a quarter tubing was
25 installed, only 10.6 barrels of water would be required to
log the well off.

1 Some of the other drawbacks of small bore
2 tubing, that you can't run a plunger lift system in tubing
3 smaller than 2-3/8ths and it is a lot more difficult to swab
4 and a lot less effective to swab in smaller ID tubing.

5 If the hardship classification was
6 approved for this well, we would consider running small bore
7 tubing in this well because the velocity of the tubing then
8 would be greater.

9 Another way of saying that, I guess, is
10 that as the well declines and you have a smaller volume of
11 gas, you'd get a higher velocity and still be able to lift
12 liquids in smaller ID tubing.

13 This would have to be weighed against the
14 possibility of increased scale problems in smaller diameter
15 tubing, but without the hardship it's really not very pru-
16 dent to set smaller ID tubing at this point.

17 We did install plunger lift systems on
18 two of the offset wells. Unfortunately, on these wells
19 there did not appear to be enough gas to run the pistons and
20 the well would log off during the shut-in period of the
21 stopcocks.

22 We swabbed these wells several times with
23 the plungers in place but we were never able to sustain
24 production for longer than two or three cycles.

25 A plunger was not needed on the No. 91

1 because the well was adequately removing the wellbore li-
2 quids with only a stopcock at a setting of 7 hours off and 1
3 hour on.

4 Stopcocks are very effective ways to pro-
5 duce low permeability gas wells and we operate several hun-
6 dred wells in the San Juan Basin through the use of stop-
7 cocks.

8 In tight gas sands wells with low perme-
9 ability, it takes a while for the gas to flow from the outer
10 reaches of the reservoir to the wellbore and by using a
11 stopcock the well is shut in after a predetermined flow
12 period, gives the well a chance to kind of recharge around
13 the wellbore and it does take different amounts of time for
14 different wells, so the stopcock settings are usually deter-
15 mined through a trial and error method.

16 Now the 91 was originally fitted with a
17 stopcock to control water production, less than 5 barrels of
18 water per day required by NTL-2B; however, we've found now
19 that the stopcock is required to retain production.

20 We feel, after examining all the
21 possibilities, that the most efficient way to produce this
22 well would be to prevent the well from logging off in the
23 first place, and to do that we would require at least twice
24 a day to blow the well for fifteen minutes each after we --
25 or for thirty minutes each, and that's what we've requested

1 in this hardship classification.

2 All the other alternatives, in our
3 opinion, would cause formation damage and result in prema-
4 ture abandonment.

5 Q Let me direct your attention next to Ex-
6 hibits 9, 10, and 11. Explain those exhibits, if you would.

7 A Okay. Exhibit 9 is the production graph
8 for the San Juan 29-5 No. 91. The units are in Mcf per
9 month and the years. I need to point out that we installed
10 the stopcock late -- or actually in May of '81, but settled
11 on the stopcock setting of 2 hours off and 10 hours on late
12 in the year, late '81 or the first part of 1982, and you can
13 see that the production increased during 1982 due to that
14 stopcock setting.

15 The well was shut in for overproduction
16 in September of 1984 at approximately 7500 Mcf per month

17 After swabbing and acidizing the well we
18 re-established production at approximately 4500 Mcf per
19 month in 1986.

20 What we would have expected if the well
21 had not been damaged was that the production immediately
22 following the shut-in period should have been significantly
23 higher than it was when we shut it in, due to this flush
24 production. The fact that the gas had built up around the
25 wellbore and then was unloaded, and obviously that's not oc-

1 curring in the No. 91. Because of the small amount of pro-
2 duction data, I'd like to refer you to Exhibit Number A-10,
3 which is the production from the offset well, the 29-5 No.
4 90.

5 This well was shut in in the middle of
6 1982 for about a year and it's obvious from this production
7 graph that the well's deliverability potential never a-
8 chieved what it was before the well was shut in. After sev-
9 eral attempts at swabbing this well late in '85 and the
10 first part of this year we've been unable to regain produc-
11 tion on this well.

12 As an example of what we'd expect from a
13 well that does not show signs of damage, I'd like you to re-
14 fer to Exhibit A-11, which is the production graph of the
15 29-5 Unit Com No. 70 Well.

16 This well was shut in in mid-1982 for
17 several months. You'll notice that right after it came back
18 on production the production was significantly higher than
19 it was when it was shut in, indicating this flush produc-
20 tion.

21 The well then declined to approximately
22 the same level as it was before the shut in period and then
23 followed approximately the same decline rate.

24 Q What does -- does Northwest Pipeline have
25 any other information that indicates that damage has occur-

1 red to the formation in the No. 91 Well?

2 A Yes. We took -- the initial gas to li-
3 quid ratio run in November of 1980 indicated that the ratio
4 was approximately 39,700 cubic feet of gas per barrel of
5 water. The current ratio is now only -- is down to only
6 7700 cubic feet per barrel, which indicates that the area
7 around the wellbore is increasing in water saturation and
8 reducing the relative permeability to gas.

9 Another way to demonstrate the damage
10 that this well suffered is by examining the plots of cumula-
11 tive production versus the square root of time, as indicated
12 on Exhibit Number A-12.

13 This data is the same information collec-
14 ted from the normal production charts, which is flow, cumu-
15 lative flow versus time. It's just presented in a little
16 different manner. This technique is becoming increasingly
17 popular in the gas industry for low permeability gas wells
18 because it clearly shows the effects of damage and/or flush
19 production on the wells.

20 It's been observed for an undamaged well
21 that the slope of this cumulative production versus time is
22 a linear function and should remain on the same slope until
23 the well becomes depleted, at which time, then, the slope
24 goes horizontal or to zero very rapidly.

25 If the slope should decrease, that's an

1 indication that the well's been damaged.

2 I need to point out the beneficial ef-
3 fects of the stopcock as we set it there about the time, the
4 square root of time equals around 23. You can see a little
5 bit of increased rate there, and then the increased slope
6 between slope one and slope two shows the beneficial effects
7 of the stopcock.

8 Even after a relatively short shut in
9 time, around the square root of time equal to 28 and 35, you
10 can see that it had a detrimental effect on the slope, as in
11 slopes 3 and 4, and then obviously, after a prolonged shutin
12 period, slope 5 is significantly lower than it had been
13 before the shutin period.

14 What I should note also is that there
15 seems to be no negative effect, and actually a positive
16 effect, on the slope after the stopcock was originally
17 installed, which indicates that the stopcock had no adverse
18 affect on the well's deliverability potential, so our
19 attempts to curtail the water production really helped the
20 well's gas delivery; didn't hinder it at all.

21 So this well's production problems are
22 not related to the stopcock installation.

23 Again, a well that was undamaged, you'd
24 expect to see some increased slope immediately after a
25 shutin period due to flush production. That's not obvious

1 as for any of these shutin periods on the 91.

2 To confirm this, the same data plotted
3 for the No. 90, given on Exhibit A-13, this well originally
4 stabilized at a slope of 15.7. We feel that the lower slope
5 initially in the well is probably due to formation damage
6 caused during the fract job. It just took that long for the
7 well to clean itself up and then stabilize at this rate.

8 You'll notice after a prolonged shut-in
9 period the slope has decreased now to 8.8 but it is the
10 linear function, so this is not just a one time deal. It's
11 obvious that the well stabilized at this rate and that this
12 is a true indication of the well's production capacity.

13 From -- for an example of what we would
14 have expected from an undamaged well, I'd like you to refer
15 to Exhibit A-14, which is the same data, cumulative produc-
16 tion versus the square root of time, for the 29-5 No. 70.

17 In this well you'll note the flush pro-
18 duction after the shutin period of approximately the square
19 root of time equals around 44. So you'll see that the slope
20 of the line comes a little bit above the normal trend line
21 there, indicating that there is some flush production being
22 produced at this point, and that the slope of the line be-
23 fore and after the shutin periods are almost the same, indi-
24 cating that there is no difference in the well.

25 We see this on a lot of wells after a

1 well's being shut in for awhile. They get some increased
2 production which would have occurred if the well had been
3 flowing. Then the well settles right back down to the same
4 slope as it had been producing before.

5 Q Has Northwest Pipeline calculated the gas
6 reserves that have been lost, and may be lost in the future
7 if this hardship application be not approved?

8 A Yes. The reserve calculations are listed
9 on Exhibit A-15.

10 For this exhibit we assumed an exponen-
11 tial or constanct rate of decline. This type of analysis
12 tends to give conservative figures for low permeability gas
13 wells. It's normally observed, and back on the data of the
14 70, that the decline tends to stabilize at some -- tends to
15 flatten out during the life of the well, but because the ex-
16 ponential decline gives conservative figures, we used it for
17 this analysis.

18 Northwest Pipeline actually uses the log
19 of the cumulative production versus the log of time to esti-
20 mate reserves. We don't use bottom hole pressure versus cum
21 production.

22 However, this well experiences a 28 per-
23 cent decline from its initial production until it was shut
24 in. Using this 28 percent decline analysis we estimated
25 that there were 319-million cubic feet of reserves left at

1 the time that the well was shut in in September of 1984.

2 After we re-established production for
3 the pipeline at only 146 Mcf per day, using the same decline
4 analysis, we estimate that the remaining reserves are now
5 only 190-million cubic feet, so that we assume that the
6 other 129-million cubic feet have been permanently lost due
7 to formation damage.

8 We would anticipate that with each subse-
9 quent shutin that additional reserves would be lost.

10 We also estimated that at the current
11 market out gas price of \$1.35 per Mcf, that the well would
12 be uneconomical to swab if the production rate averages less
13 than 49 Mcf per day.

14 Using this production rate and the same
15 28 percent decline analysis, it's estimated that the reser-
16 ves which would be left in the ground at abandonment would
17 be 64-million cubic feet.

18 Q Why does Northwest Pipeline seek this
19 hardship classification for this well?

20 A Northwest is asking for a hardship clas-
21 sification as the operator of this well because we've been
22 given the charge to economically maximize production while
23 protecting the working interest owners' investment.

24 We believe that we've considered every
25 possible alternative to try and solve this well's problems

1 mechanically and that the circumstances of this case dictate
2 that a prudent operator would petition for a hardship gas
3 well classification.

4 Northwest Pipeline, by the way, does not
5 have any working interest in the Dakota formation in this
6 unit so that we do not stand to gain financially if a hard-
7 ship application is granted.

8 El Paso is the purchaser of this gas and
9 their subsidiary Meridian owns approximately 40 percent of
10 the Dakota participating area of this unit.

11 The state and federal governments will
12 benefit from keeping this well on since they, too, receive
13 royalties from this unit.

14 The gas from this well is currently being
15 sold on the spot market at a very low price, which indicates
16 that the working interest owners of this well are willing to
17 work with the purchaser to minimize any hardship that they
18 should incur by having to keep this well on.

19 Q Would approval of the application
20 encourage further expenditures for the Wells 88, 89, and 90?

21 A Yes, it would. As I mentioned before, it
22 was our original plan to bring all four wells on production
23 and apply for a hardship classification. If we were
24 confident that the wells could be produced uninterrupted,
25 we'd be more willing to risk spending the extra money to try

1 to get the wells back on production.

2 If this application is unsuccessful, then
3 I would imagine that these wells would remain in a temporar-
4 ily abandoned status until they are permanently plugged.

5 Q Mr. Thompson, were Exhibits Numbers 1
6 through 15, with the exception of Exhibit A-6, prepared by
7 you or under your direction and supervision?

8 Exhibit 6 is the diagram from Dr. Wright.

9 A Yes, they were.

10 Q And is Exhibit Number 6 that diagram that
11 you testified was prepared by Dr. Wright a true and correct
12 copy of that document?

13 A Yes, it is.

14 MR. COOTER: We would offer Ex-
15 hibits A-1 through A-15 at this time and that concludes my
16 direct testimony.

17 MR. STAMETS: The exhibits will
18 be admitted.

19 Are there questions of the wit-
20 ness?

21 MR. LYON: Do you have a set of
22 exhibits I could see?

23 MR. COOTER: Sure.

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CROSS EXAMINATION

BY MR. STAMETS:

Q While Mr. Lyon is taking a look at those,
let me ask you about Exhibit Number Nine.

A Okay.

Q The production decline that we see from
1982 running through 1984, was that indicative of the well's
ability to produce?

A It seems to have stabilized based on
those cumulative production versus square root of time plots
at about that 28 percent decline.

Q So if I draw a line through that decline
rate or along the top of that, it seems as though that line
passes through the -- some of the rates that we see, then,
in 1986.

A That's what you would expect if the well
had been producing all the time from the end of '84 through
the end of '85; however, that well wasn't producing at that
point, so that volume of gas that should have been produced,
you know, during that decline slope, the area under that
line that you've drawn should have been produced and never
was.

Q That gas is gone and you're never going
to get it.

1 A That's correct. If you were to slide
2 that production in '86 up against the production there in
3 September of '84, then you'd see a marked decrease in pro-
4 duction.

5 Q Okay.

6 MR. STAMETS: Any other ques-
7 tions of the witness?

8

9 QUESTIONS BY MR. LYON:

10 Q Mr. Thompson, I'm Vic Lyon, Chief Petro-
11 leum Engineer.

12 You have had an emergency hardship class-
13 ification, haven't you, for some time granted by the Dis-
14 trict Office?

15 A That's correct. When we first applied for
16 this case administratively we received a temporary.

17 Q And how long have you been operating un-
18 der that emergency classification?

19 A I don't remember. Seems like it was
20 since March, or I can't remember exactly when we first ap-
21 plied for that. It originally went through July, I know,
22 and then was extended until this hearing.

23 Q Have you noticed any change in the per-
24 formance of the well during the period that you've had that
25 classification?

1 A Well, we've -- we experimented with
2 several stopcock settings and finally settled on 7 hours off
3 and 1 hours on. They told me just a couple days ago that it
4 appears that the well's starting to even log up at this
5 rate. They've had to blow the well once to, you know, un-
6 load the liquids to the atmosphere before they put it back
7 on line, but it seems like it's fairly stable at that stop-
8 cock setting.

9 Q The reason I was inquiring, oftentimes
10 when a well is produced and the water saturation around a
11 wellbore is reduced, the flow characteristics will improve.
12 I think Mr. Chavez alluded to that in his letter granting
13 you the emergency classification.

14 I was just inquiring to see whether or
15 not that might have been experienced in your case.

16 A We haven't seen it yet and based on the
17 offset production data I gave on the No. 90, where it pro-
18 duced for almost two years, it's obvious that it did never
19 come back to where it was.

20 Q Now, let's see, which exhibit was it that
21 you -- is it your Exhibit 12 and 13 where you plotted the
22 cumulative produciton against the square root of time?

23 A Yes.

24 Q I'm having trouble identifying these
25 exhibits.

1 A They are numbered down in the lower
2 righthand corner.

3 Q Your time is in calendar days.

4 A That's correct, that's why it shows the
5 shut-in period as being a horizontal line.

6 Q What kind of impact does curtailment of
7 the pipeline, reduced takes, and that sort of thing have on
8 your well?

9 A On a well such as this it would be very
10 detrimental. We've shown any kind of a shut-in period could
11 potentially log the well off and with subsequent loss of re-
12 serve.

13 Q Well, it appears to me it would be diffi-
14 cult to draw conclusions from a curve like this if you went
15 from a period of unrestricted production to a period of cur-
16 tailment.

17 A I'm not sure I understand. The wells --
18 the wells when they're on, are on as much as they can pro-
19 duce. The wells are never choked back. The curtailment is
20 controlled by the master valve; either it's on or it's off.

21 Q Yeah, but if the well produces 100 per-
22 cent of the time for a period of several years and then goes
23 into a period where it's produced only 25 percent of the
24 time (unclear to the reporter.)

25 A Actually it should not. When the well

1 comes on you'll show -- the slope of the line won't change.
2 When it's on it should have the same slope as it had before
3 and what you'll see is a bunch of little stairsteps. When
4 the well's on it should have the same slope before the shut-
5 in period, then a horizontal line when the well is shut in.

6 Actually, you should see a little in-
7 crease in slope if the shut-in periods are small and you get
8 some flush production advances.

9 The data on the No. 90, Exhibit 13, you
10 know, like from the square root of time from 33 to 43, or
11 from 33 to, say, 40, they're showing that there's no --
12 there were no shut-ins during that period and that well was
13 producing its maximum rate all the time.

14 You look at the data on the 91, you see
15 those little horizontal blips as the well was shut in for a
16 month here and a month there.

17 Q Well, I see that this Exhibit 13 that
18 goes from three days, on your horizontal scale, it goes from
19 three days to 48 days, isn't that right?

20 A Yes, that's right. That's the square
21 root of days.

22 Q So this -- you're not talking about the
23 cumulative production from the inception of the well's pro-
24 duction.

25 A Yes, sir.

1 Q You mean that well has only produced 48
2 days?

3 A That's 48 squared.

4 Q 48 squared.

5 A The wells were all drilled and completed
6 in, like, 1980, 1979.

7 So, like, 3 squared is 9 days after it
8 originally was produced.

9 MR. LYON: I think that's all
10 the questions I have.

11 MR. STAMETS: Are there any
12 other questions of this witness?

13 He may be excused.

14 Mr. Wilson, are you going to
15 testify in support of this application?

16 MR. WILSON: Yes, I am.

17 MR. STAMETS: Just sit there a
18 minute.

19 MR. WILSON: All right.

20 MR. STAMETS: The application
21 is for 28 Mcf a day?

22 MR. COOTER: Yes, sir. That's
23 correct.

24 MR. STAMETS: Although Mr. Wil-
25 son is certainly always welcome in these chambers, the Com-

1 mission sees no need for him to testify since we are convin-
2 ced by the evidence which has already been presented, and we
3 will grant the application for hardship classification and
4 would ask Mr. Cooter to supply us with a draft order to that
5 effect, which we will sign as soon thereafter as we can.

6 With that, Case 8890 is con-
7 cluded.

8 MR. COOTER: Thank you.

9
10 (Hearing concluded.)
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of this portion of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR