

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BLDG.  
5 SANTA FE, NEW MEXICO

6 23 September 1987

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Basin Disposal, Inc., CASE  
10 for salt water disposal, San Juan 9220  
11 County, New Mexico.

12 BEFORE: David R. Catanach, Examiner  
13

14 TRANSCRIPT OF HEARING  
15

16 A P P E A R A N C E S  
17

18  
19 For the Division: Jeff Taylor  
20 Attorney at Law  
21 Legal Counsel to the Division  
22 State Land Office Bldg.  
23 Santa Fe, New Mexico 87501  
24  
25 For Basin Disposal: W. Perry Pearce  
Attorney at Law  
MONTGOMERY & ANDREWS  
Post Office Box 2307  
Santa Fe, New Mexico 87504  
For Meridian Oil: W. Thomas Kellahin  
Attorney at Law  
KELLAHIN, KELLAHIN & AUBREY  
P. O. Box 2265  
Santa Fe, New Mexico 87504

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

For the Payne Plaintiffs: Joseph Goldberg  
Attorney at Law  
CARPENTER AND GOLDBERG  
1600 University NE  
Albuquerque, New Mexico 87102

I N D E X

EWELL N. WALSH

Direct Examination by Mr. Pearce	4
Cross Examination by Mr. Goldberg	18
Cross Examination by Mr. Kellahin	45
Redirect Examination by Mr. Pearce	49
Recross Examination by Mr. Goldberg	51
Cross Examination by Mr. Catanach	53

E X H I B I T S

Basin Exhibit One, Application	5
Basin Exhibit Two, Letter	17

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. CATANACH: All right, we'll call this hearing back to order and I think we'll call Case 9220 at this time.

MR. TAYLOR: The application of Basin Disposal, Incorporated, for salt water disposal, San Juan County, New Mexico.

MR. PEARCE: May it please the Examiner, I am W. Perry Pearce of the Santa Fe law firm of Montgomery and Andrews, appearing in this matter on behalf of Basin.

I have one witness who needs to be sworn.

MR. CATANACH: Are there other appearances?

MR. GOLDBERG: Mr. Examiner, my name is Joseph Goldberg from the law firm in Albuquerque of Carpenter and Goldberg, and I represent a number of local residents outside of Axtec, New Mexico, which I have entitled the Payne Plaintiffs.

MR. TAYLOR: Do you have any witnesses, Joe?

MR. GOLDBERG: No witnesses.

MR. CATANACH: Are there other appearances?

1 MR. KELLAHIN: Mr. Examiner,  
2 I'm Tom Kellahin of Santa Fe, New Mexico, law firm, Kella-  
3 hin, Kellahin & Aubrey.

4 I'm appearing in this case on  
5 behalf of Meridian Oil, Inc.

6 MR. TAYLOR: Anybody else?

7 MR. CATANACH: Okay, Tom, do  
8 you have any witnesses?

9  
10 (Witnesses sworn.)

11  
12 EWELL N. WALSH,  
13 being called as a witness and being duly sworn upon his  
14 oath, testified as follows, to-wit:

15  
16 DIRECT EXAMINATION

17 BY MR. PEARCE:

18 Q For the record, would you please state  
19 your name and business address?

20 A My name is Ewell N. Walsh, President of  
21 Walsh Engineering and Production Corporation, Farmington,  
22 New Mexico.

23 Q And you say you're President of Walsh  
24 Engineering. Are you petroleum engineering consultant?

25 A Yes, I am a consultant and my firm

1 performs consulting services.

2 Q And are you familiar with the subject  
3 matter of Case 9220, which is presently being heard by the  
4 Division?

5 A Yes, I am.

6 Q Have you appeared before the Division or  
7 one of its examiners previously and had your credentials as  
8 a petroleum engineering expert made a matter of record?

9 A Yes, I have.

10 MR. PEARCE: Mr. Examiner, at  
11 this time I would tender Mr. Walsh as an expert in petroleum  
12 engineering.

13 MR. CATANACH: Any objections?  
14 The witness is so qualified.

15 Q Mr. Walsh, I would ask you at this time  
16 to refer to what we have marked as Basin Exhibit Number One  
17 to this case and briefly tell us what this exhibit is.

18 A The exhibit in total is the application  
19 I made on behalf of Basin Disposal to the Oil Conservation  
20 Division for a salt water disposal well.

21 Q And this application was prepared by you  
22 or under your direction and supervision, is that correct?

23 A That is correct.

24 Q All right, sir. Briefly tell us what  
25 Basin seeks in this case, please?

1           A           Basin seeks to drill a salt water dispo-  
2 sal well on their property adjacent to their present  
3 facilities, to utilize, be utilized as a primary source of  
4 disposing of water by injecting it into an underground  
5 formation.

6           Q           And what formation do you seek authoriza-  
7 tion to inject the produced water in?

8           A           We are seeking authorization to inject  
9 into the Mesaverde formation.

10          Q           All right. Is there a specific member of  
11 the Mesaverde group that you propose for disposal?

12          A           We, in our application we had proposed  
13 the Point Lookout formation, this being it is the lowermost  
14 member of the Mesaverde, and gives the ability to come up  
15 the hole to the other members if necessary; however, we have  
16 been informed through the Commission that they have received  
17 correspondence from Meridian stating that they would prefer  
18 that we use the Cliff House or topmost member of the Mesa-  
19 verde formation for the injection, of which we have no prob-  
20 lem with it.

21          Q           You have reviewed the information rela-  
22 tive to the Cliff House and you believe that that is a suit-  
23 able Mesaverde member for disposal?

24          A           Yes, I have.

25          Q           And at this time we are restricting this

1 application to only the Cliff House member of the Mesaverde,  
2 is that correct?

3 A That is correct.

4 Q All right, sir. I notice that the second  
5 page of Exhibit Number One is a copy of Oil Conservation Di-  
6 vision Form C-108, and the materials following are attach-  
7 ments to that.

8 I would ask you at this time, sir, to be-  
9 gin referring to that application and the pages attached to  
10 it, and go through this more fully, please.

11 A The Form C-109 is the standard form for  
12 making application for a disposal well or other type facili-  
13 ties, there are several.

14 In my application I have referred to cer-  
15 tain attachments. I refer to these attachments as Attach-  
16 ment 1, which relates to Item 3, Well Data, on your Form C-  
17 108.

18 On Attachment 1 it sets forth our pro-  
19 posed drilling and -- program for the well, indicating the  
20 surface, the casing strings and tubing strings. We did  
21 amend the original application by letter dated September 21,  
22 1987, to change our what we call production casing from 4-  
23 1/2 inch casing to 5-1/2 inch, and our 2-3/8ths tubing from  
24 -- to 2-7/8ths tubing.

25 Q All right, sir, let's look, please, at

1 Attachment -- what's marked as Attachment No. 2. I notice  
2 that refers to Exhibit Number One. That is Exhibit Number  
3 One to the C-108.

4 A That is correct. Exhibit Number One is  
5 the map that was included in the application.

6 Q And I notice, Mr. Walsh, some of the  
7 copies of the exhibit has -- have a reduced copy of that  
8 map. It is the same map, is that correct?

9 A It is the same map as the original map.

10 Q All right, sir, I notice on Exhibit  
11 Number One to the C-108 there is a circle drawn. What's  
12 that circle represent?

13 A This is to indicate, as required by Com-  
14 mission, the -- a radius of one-half mile that -- excuse me,  
15 one mile, one mile to -- when you're making your  
16 investigation and you're proposing your salt water disposal  
17 well, you are to include information concerning the wells  
18 that penetrate the proposed zone within that one mile. The  
19 circle is to give a visual indication of that area.

20 Q All right, sir. For clarification I be-  
21 lieve the radius of that circle is a half mile and the dia-  
22 meter is mile, is that correct?

23 A That's correct, that's one-half mile.

24 Q All right, sir. Let's look at Attachment  
25 No. 3 to the C-108. Could you describe the information on

1 that attachment, please, sir.

2           A           Attachment No. 3 relates to Item 6 of the  
3 application. This is the information within the area of in-  
4 vestigation, as indicated on the previous -- on Exhibit One,  
5 the map, of the wells that fall within the half mile radius  
6 of the proposed disposal well.

7           The two wells are operated currently by  
8 Beta Development Corporation. The furtherest northwest well  
9 indicated on the map is the one in the square with the gas  
10 symbol in it, is the Martin 3 No. 1, located in the  
11 northwest quarter of Section 3, Township 29 North, Range 11  
12 West.

13           This is a Dakota well only, completed in  
14 the Dakota formation. It is a producing gas well.

15           It was drilled in 1959 to a total depth  
16 of 6783 feet with perforations 6457 to 5584 overall from the  
17 Dakota.

18           Indicated is there surface casing is 9-  
19 5/8ths set at 256 feet; production casing, 5-1/2 set at 6783  
20 feet, with two stage cementing, with the DV tool at 2190, or  
21 just below the Pictured Cliff formation.

22           Q           All right, sir, let me break in. Let's  
23 back up to Attachment No. 1. What is the proposed  
24 perforated zone in the disposal well as you expect to  
25 encounter the Cliff House member?

1           A           It will be approximately in the interval  
2 3690 to 3750.

3           Q           All right, sir. Now let's, if you would  
4 please, address the second well reflected on Attachment No.  
5 3, the Martin A No. 1.

6           A           It is the well to the southeast,  
7 indicated on the map as 1, the same symbol, the Martin A-1  
8 in the southeast quarter of Section 3, Township 29 North,  
9 Range 11 West.

10                    It is also a Dakota well, a producing gas  
11 well. This well was drilled in January, 1964, to a total  
12 depth of 6608 feet. It is perforated in the Dakota  
13 formation from 6400 to 6532 feet. Again as indicated, their  
14 surface casing is 8-5/8ths at 314 feet, 4-1/2 at 6508 with  
15 two stage cementing, with their DV tool at 2091 feet, which  
16 would be just below the Pictured Cliff formation.

17           Q           All right, sir, let's look at Attachment  
18 No. 4 to the C-108, please.

19           A           Attachment No. 4 relates to Item 7 of the  
20 Form C-108.

21                    This refers to the injectivity into the  
22 -- our proposed zone. Of course, we have not drilled the  
23 well but we will run these injectivity tests after  
24 completion of the well, and the rates which we will be able  
25 to inject will be determined by the injectivity tests.

1 We're estimating at this time, hopefully, to inject about  
2 2000 barrels a day.

3 The system will be an open system. In  
4 other words, we will -- the fluids will be exposed to the  
5 atmosphere and oxygen.

6 The source of the fluid comes from var-  
7 ious sources, various wells, not only including produced  
8 water but in some cases unused gel water, which is not used  
9 in stimulation or frac jobs, or recovered frac water that is  
10 produced from the well during clean-up.

11 So these waters such as that are more the  
12 fresh, too, because you use fresh water; however, the var-  
13 iety of produced waters we get, we'll be injecting, will be  
14 from both Mesa Verde wells and probably Dakota wells, as far  
15 as the type well it will come.

16 Attached to Attachment 4 is a water ana-  
17 lysis submitted at that time, dated July 17th, 1987, and we  
18 have subsequently submitted an additional water analysis,  
19 which was obtained on August 17th, 1987, to update the an-  
20 alysis of the water that we will be disposing of.

21 There is not a Mesaverde well, producing  
22 well either in Cliff House, Menefee, or Point Lookout, which  
23 is one mile of the proposed injection well.

24 Q All right, sir, for clarification, at  
25 this time you are seeking an order which allows the standard

1 quest permission to increase that injection pressure admin-  
2 istratively with the District Supervisor subsequent to your  
3 injectivity test after the well is drilled, is that correct?

4 A That is correct.

5 Q All right, sir. The next item in my pac-  
6 ket appears to be the second water analysis?

7 A Yes, I've referred to that already.

8 Q All right, sir. Let's now look at At-  
9 tachment No. 5.

10 A Attachment 5 relates to Item 8 of Form C-  
11 108, concerning drinking water wells in the area.

12 I have investigated the State Engineer's  
13 records and have determined that there are no underground  
14 sources at this current time of drinking water within 3  
15 miles of the proposed well.

16 Q All right, sir, I would ask you to look  
17 now at Attachment Number 6 to the C-108.

18 A Attachment 6 relates to Item 9 of the  
19 Form C-108. In all probability, knowing the history of  
20 other injection wells in the area, we will probably have to  
21 stimulate the formation, just as they were to provide proper  
22 pressures and rates for disposing; however, this will be  
23 determined after we have drilled a well and reviewed the  
24 logs, perforated, and see how it will inject in. Then we  
25 will establish a stimulation program if we deem necessary.

1           Q           I assume it's fair to say you won't spend  
2 money stimulating the well if you don't have to.

3           A           That's correct.

4           Q           Let's look at Attachment Number 7 to the  
5 C-108, please, sir.

6           A           Attachment 7 refers to Item 10 of the  
7 Form C-108. This concerns the logging and test data on the  
8 well.

9                       This will be submitted to the Commission  
10 after drilling and completing the proposed injection well.

11          Q           All right, sir, Attachment Number 8 to  
12 the form, please, sir?

13          A           Attachment 8 refers to Item 11 on Form C-  
14 108. The -- it requests a chemical analysis of fresh water  
15 from two or more fresh water wells, if available, within one  
16 mile of the proposed well.

17                       We have no fresh water wells within one  
18 mile of the proposed injection well.

19          Q           All right, sir, relating that information  
20 to Attachment Number 9 to the C-108, could you read the cer-  
21 tification contained on Attachment Number 9, please?

22          A           Attachment 9, which refers to Item 12 on  
23 Form C-108, the certification: I do hereby certify -- I do  
24 hereby certify that I have examined available geological and  
25 engineering data and can find no evidence of connection be-

1       tween disposal zone and underground drinking water sources.

2               Q               All right, sir, you testified earlier  
3 that you had not found underground sources of drinking water  
4 in this area.

5               A               That is correct.

6               Q               If you had found such underground sources  
7 of drinking water, do you have any information which leads  
8 you to believe that there would be geological connection be-  
9 tween the disposal zone and any expected underground drin-  
10 king water sources?

11              A               I know of no evidence where there would  
12 be such connection.

13              Q               All right, sir. Looking at Attachment  
14 Number 10 to the Form C-108, could you tell us please to  
15 whom you provided notice of this case?

16              A               Proof of notice of publication in news-  
17 papers of the application was provided to the Commission for  
18 their files.

19                               In addition, when it was our understand-  
20 ding that the Commission was going to not accept this as for  
21 administrative approval and we would have an Examiner's  
22 hearing, notice was given to Meridian Oil Company advising  
23 them that the application was being set for a hearing.  
24 This was sent with return registered, return receipt, and  
25 this information has also been provided to the Commission.

1 Q All right, sir, as I understand it, Basin  
2 Disposal controls the surface at this location, is that cor-  
3 rect?

4 A They are the surface owners.

5 Q And Meridian owns the mineral rights un-  
6 derneath this location --

7 A They are the leasehold operator.

8 Q All right, sir. All right. Looking  
9 back, attached to the Exhibit Number One to the Form C-108,  
10 I find a series of data sheets. Could you describe for us,  
11 please, what's contained on those sheets?

12 A These data sheets are information concer-  
13 ning wells within the boundaries of the map. It gives a  
14 well number; the location of the well; for 19 -- this is for  
15 1985; the oil production that year; water production; gas  
16 production; cumulative oil production through December 1985;  
17 cumulative water and cumulative gas production. In addition  
18 it indicates the type well it is; what formation it's com-  
19 pleted in or pool; the operator and well and lease name, and  
20 as -- if it is a flowing well also.

21 Q All right, Mr. Walsh, the final page of  
22 my Exhibit Number One to this proceeding appears to be parts  
23 of two logs of wells, the two Beta wells that we discussed  
24 earlier. Could you discuss the information reflected on  
25 that, please, sir.

1           A           Yes.    This what we call a cross section  
2 of the Mesaverde interval within the area of the proposed  
3 water, salt water disposal well to be drilled.

4                        In the upper lefthand corner you will see  
5 a little map indicating that the Beta Development Company  
6 Martin 3 No. 1 is indicated as "A". The Beta Development  
7 Company Martin A No. 1 is indicated as "A'".

8                        In between the two log sections indicates  
9 approximately where the salt water disposal well would be  
10 drilled.

11                      This is to present -- give the Commission  
12 information, and ourselves, as to the type formation in the  
13 Mesaverde, depths to drill with.

14           Q           All right, sir, earlier in the examina-  
15 tion I asked you for what you expected to be the perforated  
16 zone in the disposal well. Is this the exhibit you looked  
17 at to determine that?

18           A           Yes, along with a larger scale copy of  
19 the log.

20           Q           And you -- you propose to perforate  
21 what's shown as the zone between the top of the Cliff House  
22 and the top of the Menefee, is that correct, basically?

23           A           Yes.

24           Q           And the Cliff House, Menefee, and the  
25 Point Lookout towards the bottom of that exhibit are the

1 Mesaverde group in this area, is that correct?

2 A That's true, all Cliff House, Menefee,  
3 and Point Lookout are a Mesaverde group.

4 Q All right, sir. At this time I would re-  
5 fer you to what we've marked as Exhibit Number Two to this  
6 proceeding. Could you describe what that is for us, please?

7 A Exhibit Number Two is a letter received  
8 from Beta Development Company. This letter states that --  
9 that as owners or operators of the two Dakota wells, which  
10 I've referred to before, that they have no objection for us  
11 disposing of water in the Mesaverde formation.

12 Q All right, sir. At this time, Mr. Walsh,  
13 for clarification, let me ask you, you've indicated that the  
14 Form C-108 was prepared by you or under your direction and  
15 supervision. Were you responsible for securing copies of  
16 the two pages of Exhibit Number Two, the letter from you to  
17 the Division and a copy of the letter from Beta Development  
18 to Basin Disposal, were you responsible for securing copies  
19 of those?

20 A Yes, I was.

21 MR. PEARCE: Mr. Examiner, at  
22 this time I have nothing further of the witness.

23 I would move the admission of  
24 Exhibits One and Two to this proceeding.

25 MR. CATANACH: Exhibits One and

1 Two will be admitted into evidence.

2 MR. PEARCE: As I say, I have  
3 nothing further of this witness. I will tender him for  
4 cross examination.

5 MR. CATANACH: Mr. Goldberg?  
6

7 CROSS EXAMINATION

8 BY MR. GOLDBERG:

9 Q You'll excuse me, Mr. Walsh, I'm sort of  
10 a city boy, (not clearly understood) maybe you can help me  
11 out.

12 You prepared or someone under your direc-  
13 tion prepared the actual application for the permission to  
14 inject, is that correct?

15 A That is correct.

16 Q Along with all of the amendments to that  
17 application that you've referred to in your testimony.

18 A Yes.

19 Q Turning your attention to Attachment  
20 Number 4, I don't know whether you have those documents in  
21 front of you.

22 A Yes.

23 Q Do you have that in front of you?

24 A Yes, I do.

25 Q The data contained in Attachment Number 4

1 are the proposals with respect to the actual operation of  
2 the well, am I correct in understanding? That is to say how  
3 -- (interrupted).

4 A Yes, this refers to how the well is to be  
5 operated and also referenced additionally information  
6 requested by the Oil Conservation Division.

7 Q It is your estimation that you plan on  
8 injecting approximately 2000 barrels a day into that well.  
9 Is that correct?

10 A At the present time, yes.

11 Q And how did you reach that figure?

12 A We're hoping at times there will be that  
13 much water available. In checking injectivity of similar  
14 other wells, their injectivity rates are -- have been  
15 higher, even, higher than that, as high as 5000 barrels a  
16 day. I mean what you can inject (unclear.)

17 Q Again, I'm a city boy. By injectivity  
18 you mean the capacity of the actual pipe to take produced  
19 water and fluids down it.

20 A The capacity of the formation to accept  
21 it.

22 Q Okay, the pipe and the formation to ac-  
23 cept the certain amounts.

24 A Yes.

25 Q So you're confident, first of all, that

1 the formation has the capacity to accept approximately 2000  
2 barrels a day?

3 A Yes, I am.

4 Q And --

5 A That is correct.

6 Q And the size of the pipe you're using,  
7 does that bear in -- in determining how much you would --  
8 the injectivity, if you will, I'm learning, the injectivity  
9 --

10 A Yes, your size pipe --

11 Q -- in the well?

12 A -- can be a limiting factor if you would  
13 get into high volumes, higher than this.

14 Q Are there other limiting factors, Mr.  
15 Walsh, and pardon -- pardon me for having you educate me,  
16 but are there other limiting factors besides the actual  
17 formation and the size of the pipe?

18 A The other would -- the only other one I  
19 can think of right now would be what we call fracture  
20 pressure of the formation, which would be determined during  
21 the injectivity test. In other words, we would pump at  
22 certain rates under -- at a certain pressure, keep  
23 increasing rates and pressure till we determine we had a  
24 fracture of the formation and then that would determine the  
25 absolute maximum.

1 Q You maximum amount that you could --  
2 A At that --  
3 Q -- put in there --  
4 A At that time that you could inject maxi-  
5 mum rate and maximum pressure.  
6 Q Educate me some more, after you drill  
7 down to the place where you want to inject, you have to get  
8 the fluid out of the pipe and into the formation. Is that  
9 not correct?  
10 A You mean after we have cemented our cas-  
11 ing?  
12 Q Yes. After -- after you've completed you  
13 see, you've got your pipe in, you've got your casing in, you  
14 have to get the fluid out of the pipe into the formation, is  
15 that not correct?  
16 A In all probability we may not. We may  
17 swab it out.  
18 Q Okay.  
19 A But remove it, we may --  
20 Q I'm talking about the fluid you're injec-  
21 ting.  
22 A I'm talking about the fluid, I assume  
23 you're talking about the fluid that's in the casing after we  
24 cement the casing and have cleaned out the casing and like  
25 that, that's what you're --

1 Q No, pardon me, I'm not making myself  
2 clear and --

3 A Oh, I'm sorry.

4 Q -- I'm going to try.

5 A Sorry.

6 Q You're -- you're planning on -- on injecting  
7 approximately 2000 barrels a day. It's going to go  
8 down the pipe --

9 A Yes.

10 Q -- it's going to reach a certain level  
11 below ground and it's going to go into the formation.

12 A That's correct.

13 Q How does it go from the pipe into the  
14 formation?

15 A Oh, now I'm with you. Sorry. You'll  
16 have to bear with me. We will perform an operation that we  
17 call perforating.

18 Q Yeah.

19 A We will actually shoot holes through the  
20 steel casing or pipe, through the cement around it, into the  
21 formation we're going to inject.

22 Q So there will be a series of holes out  
23 there.

24 A Yes, just like you'd have holes in a col-  
25 ander.

1 Q Sure, exactly, I understand. I under-  
2 stand.

3 A So fluid can go through.

4 Q Is there -- what is the potential for  
5 those holes clogging up?

6 A There's always potential due to scale or  
7 something else, but this is part of what happens with injec-  
8 ting fluids in that you may have to treat them, the fluids  
9 going in, or possibly you'll have to acidize your well to  
10 clean up scale periodically, to cleanup these perforations  
11 so they can take it.

12 Q Would I be correct in saying that that  
13 would also be, potential for that would also be a limiting  
14 factor, at least occasionally, with respect to how much  
15 fluid would be injected through the well into the formation?

16 A Yes. Yes.

17 Q So there may be times when, while this  
18 well may have a capacity for 2000 barrels a day, it may have  
19 a capacity for substantially less than that because of the  
20 clogging up of those perforations.

21 A And at that time we would attempt to re-  
22 pair the well, work on the well, to bring the capacity back  
23 up.

24 Q Yes. I'm sure this causes happiness for  
25 the people who have to repair the well. How long does it

1 take and what is the process for doing it, and again you'll  
2 have to, excuse me, for educating me.

3 A You mean to work on the well?

4 Q Yeah, to do that.

5 A There are so many things that can happen,  
6 Mr. Goldberg. I have mentioned one, scale, carbonate scale.

7 There's such a thing as iron sulfate that  
8 may get on the perforations.

9 There's bacteria; there's silt, it may  
10 not have been filtered out. Many numerous things.

11 In any case, I'd say the well would be  
12 out of operation maybe three days.

13 Q Could you give me some parameters? Could  
14 it be longer than that in unusual circumstances?

15 A In unusual --

16 Q Yeah.

17 A -- circumstances? Yeah, in any business  
18 do you have that possibility, so I'd have to answer yes.

19 Q Could it be six months?

20 A No.

21 Q Certainly not.

22 A I don't anticipate that.

23 Q You certainly don't anticipate six  
24 months.

25 A No.

1           Q           But would you in making your reasonable  
2 anticipation, would you anticipate that possibly the well  
3 could be down for several weeks while you're making --

4           A           I would not think in this case several  
5 weeks because what we -- what I am talking about comes from  
6 past experience and knowledge of this type operation, and  
7 using this experience and knowledge, I can say the well  
8 would probably be down maybe three days while you're  
9 performing this operation but not weeks.

10          Q           Not weeks.

11          A           No.

12          Q           Now, how -- do you anticipate -- do you  
13 anticipate deterioration as we've been discussing?

14          A           Deterioration?

15          Q           Yeah, what I'm calling deterioration;  
16 that is, the perforations plugging up that require some type  
17 of adjustment periodically?

18          A           To the point that we would check the  
19 water going into the well and treat the water, if necessary,  
20 to prevent it, yes.

21          Q           So you anticipate that in planning this  
22 project out, that there will be occasions when you're going  
23 to have --

24          A           There may. There may be. Now I'm not  
25 saying there will.

1 Q Nothing is certain.

2 A We will -- that's true. I'm saying that  
3 it could possibly and we will try to avert that as (unclear)  
4 as possible.

5 Q And in your experience with these types  
6 of injection wells have you found that regularly they do  
7 clog up with respect to the perforations?

8 A Not regularly, no, sir.

9 Q Going back to the approximately 2000 bar-  
10 rels a day, Basin Disposal does have some experience with  
11 respect to the disposal of produced water on this site pre-  
12 sently, is that correct?

13 A Insofar that -- mainly in the holding  
14 pond, disposal pond, yes.

15 Q The presently operating open air dispo-  
16 sal, lined and -- lined disposal pond.

17 A An approved disposal pond approved by the  
18 OCD.

19 Q Surely, approved by the OCD, but they're  
20 presently operating it.

21 A Yes.

22 Q Do you have the information with respect  
23 ot how much is being presently disposed of per day in that  
24 lined pond?

25 A I don't have the information with me. I

1 have no information concerning it.

2 Q Why not?

3 A Because this case was concerning the in-  
4 jection well. I do have knowledge, yes.

5 Q I understand that this is only concerning  
6 the injection well.

7 A I do have knowledge, yes, of the influx  
8 over various periods of time.

9 Q Would you elaborate? Could you give us  
10 that?

11 A That can vary on a daily, daily basis,  
12 from no water --

13 Q To?

14 A -- to possibly, oh, if you had 20 truck-  
15 loads, that would be around 1700 barrels.

16 Q And how -- and how long has Basin been  
17 accepting water for disposal in the approved pits?

18 A I believe since October, 1985.

19 Q And do you have an estimate as to what  
20 the average influx a day would be?

21 A Approximately 8-to-10 truckloads, so  
22 you're talking around 8, say, 700 to 1000 barrels day.

23 Q Somewhere between 700 and 1000. Is that  
24 -- and is the fluid that they are presently accepting at the  
25 site the same type of fluid that you are proposing to inject

1 down the well?

2 A Yes.

3 Q All right, so if the well is approved, do  
4 I understand correctly that the fluid will be trucked in  
5 and then put into the present pit as a holding and then from  
6 the pit go down into the injection well?

7 A The present installation will be what we  
8 call a secondary to the primary, the injection well.

9 Q The injection well is primary.

10 A The injection well is primary; however,  
11 you have to realize that these incoming fluids have to be,  
12 or a simple use of the term, cleaned up before we can inject  
13 them; therefore, rather than -- we're going to use the pres-  
14 ent facilities to -- for this clean-up type operation.

15 Q By present facilities do you mean the  
16 existing approved pit?

17 A The existing approved layout, insofar as  
18 utilizing the skimmer tanks and the pond.

19 Q And the pond. By the pond you mean the  
20 lined pond?

21 A The lined pond.

22 Q And there are presently, what, twelve un-  
23 lined pits there, also?

24 A Yes.

25 Q Is it proposed that they will be used at

1 all?

2 A If at any such time the -- we can receive  
3 approval to use that area either as unlined or simple lining  
4 for disposal of drilling mud, and approved the OCD,  
5 we will.

6 Q But presently you're not using them, is  
7 that correct?

8 A That is correct, we aren't.

9 Q And presently they are not lined at all,  
10 is that correct?

11 A They never have been lined.

12 Q And in --

13 A Nor were they required to be lined.

14 Q I understand. Let me, Mr. Walsh, there  
15 may be dispute between my clients and Basin Disposal with  
16 respect to the existing operation, but I assure you, I'm  
17 trying to keep my attention to the injection well. I'm  
18 trying to understand how it operates and I take it, for the  
19 record, that your present operation has been and continues  
20 to be approved by OCD.

21 I want to understand, though, how this is  
22 -- how you are anticipating this is going to operate.

23 You anticipate a volume, is that not cor-  
24 rect?

25 A Up to that volume.

1 Q Yeah, you anticipate a volume and the  
2 volume that you anticipate is approximately 2000 barrels a  
3 day and that 2000 barrels a day, you don't anticipate that  
4 it's going to be injected directly from the trucks into the  
5 injection well. Do I understand that correctly?

6 A No, that is correct.

7 Q Okay, so you're going to have to place  
8 that in the existing open air pits, is that correct?

9 A It will initially go there.

10 Q For holding and --

11 A Now the holding part, that is, probably  
12 only a short time to allow for settling of your fine silts  
13 and solids out of there because we will be pulling directly  
14 from that pit, and pulling that water out, and going to our  
15 injection well.

16 Also, it provides a means, one, in case  
17 we do have to repair a well or some other mechanical time  
18 that the well is not operating, it allows a storage area for  
19 the water incoming from these produced water areas, to be  
20 held until it will be injected.

21 Q Right. For purposes of further  
22 discussion, we can call that back-up, or do you call it  
23 something else? I --

24 A Well, it's either use the present  
25 facilities or set a bunch of tanks and we'd rather not set a

1 bunch of tanks when we've got a present facility.

2 Q No, I understand that, but the latter,  
3 the latter use of the present facility you described is for  
4 back-up purposes in case the well is down.

5 A I believe you could use that (not clearly  
6 understood.)

7 Q All right, now, tell me if I understand  
8 correctly because I'm still trying to understand this, that  
9 if you inject fluids into this well at the capacity that you  
10 are anticipating, at approximately 2000 barrels a day, this  
11 will require holding, accepting and holding at the existing  
12 site approximately twice as much water as the average influx  
13 over the history of this facility. Is that not correct?  
14 You said that your estimate is on the average you'd be tak-  
15 ing in what, 8 to 10 truckloads, or 6 to 8 truckloads, at  
16 about 1000 barrels a day, and you would be taking about 2000  
17 barrels a day under this application. Is that not correct?

18 A I'm sorry, but you can also inject at  
19 lower rates. We can inject at 100 barrels a day.

20 Q Okay.

21 A In other words, we can maintain, we'll  
22 have the capacity, if we only have 300 barrels coming in, we  
23 can -- we will have the capacity to inject 300 barrels, but  
24 we also will hope we will have the capacity in case of a  
25 great influx to be able to handle up to that.

1 Q You're seeking approval for capacity of  
2 approximately 2000 barrels a day. Is that not correct?

3 A You got to start somewhere.

4 Q How -- that's fine. I'm -- I'm not -- at  
5 this point I'm not contesting it, I'm trying to understand  
6 it. You're seeking approval for a capacity of approximately  
7 --

8 A I'm estimating --

9 Q -- 200 barrels a day.

10 A Let me agree, estimated at this time  
11 average daily injection rate to be approximately 2000 bar-  
12 rels a day; however, we may get approval and inject higher  
13 than that after injectivity tests, and we -- if we get the  
14 influx, we may go higher.

15 Q Well, let's deal just with 2000 barrels a  
16 day and not -- and on 2000 barrels a day, if this is ap-  
17 proved, and if you are operating up to your anticipated ap-  
18 proximate capacity, am I correct that you will be putting  
19 into the existing pits 2000 barrels of fluid a day?

20 A In all probability, yes.

21 Q And that is approximately double the  
22 average influx of fluids, as you've testified, over the his-  
23 tory of the existing site.

24 A On an average basis, yes; however --

25 Q And would --

1 A However --

2 Q Go ahead, explain.

3 A We can have greater influx on certain  
4 days.

5 Q Is there a compacity for, in your estima-  
6 tion, the existing lined pit?

7 A I'm sorry, I don't understand your ques-  
8 tion.

9 Q How much fluid can that hold?

10 A The present -- up to the approved level,  
11 approved by the OCD, we can hold approximately 105,000 to  
12 110,000 barrels, somewhere in there.

13 Q 105 to 110,000, so the existing lined pit  
14 would be sufficient in size, you believe, to hold an influx  
15 of 2000 barrels a day, holding it for purposes of injecting  
16 it into the well.

17 A Definitely.

18 Q Am I -- over the last half a dozen  
19 months, or so, there have been problems with respect to the  
20 emissions of hydrogen sulfide from the existing facility.  
21 Is that not correct?

22 A Yes.

23 Q Have you or your organization done any  
24 analyses or tests or models to determine what the impact on  
25 the existing lined pit will be of putting 2000 barrels of

1 fluid in there a day and doing what you will be doing to  
2 that and then taking it out and injecting it into the well?  
3 Have you done any analysis to determine how that will affect  
4 the level of emission of hydrogen sulfide?

5 A I'm sorry, I'm not following your ques-  
6 tion.

7 Q Have you looked --

8 A I'm sorry.

9 Q Well, I'm sure it's the unartful way that  
10 I'm posing the question.

11 Have you looked at the question of  
12 whether what you are proposing here, which is to build an  
13 injection well, change the existing facility from a primary  
14 source of disposal of produced water to a -- what you call a  
15 secondary source of disposal, increasing the amount of fluid  
16 that's going to go in there, taking fluid out of there, and  
17 whatever else that you're planning on doing with that fluid  
18 while it is above ground, have you addressed the question of  
19 whether that's going to have in impact on the level of emis-  
20 sions of hydrogen sulfide?

21 A All right. We --

22 Q Again --

23 A No, no, let me start from the beginning  
24 of how you stated that.

25 Let's go to the part that we are taking

1 in less barrels per day than the 2000, correct? You said  
2 that.

3 Q On the average.

4 A On the average.

5 Q I base that on your testimony.

6 A Fine. Therefore, that gives us complete  
7 capability of maintaining the lowest operational fluid level  
8 in the holding pond, since we aren't even going to exceed  
9 2000 barrels a day.

10 Q Let me stop you for a minute. The first  
11 question I just asked is did you address the question of  
12 what the effect of this application would be on the level of  
13 hydrogen sulfide emissions from the existing holding pond.  
14 Did you address that question in your analyses or not?

15 A That was your -- that was the first time  
16 and then you came back with utilizing our influx and dispos-  
17 ing rate, and that's what I'm trying -- I'm leading -- I'm  
18 coming up to that just like you did the second time.

19 Q Well, let me -- let me then restate the  
20 question.

21 A Go ahead.

22 Q I'm not trying to stop you from explain-  
23 ing your answer. I want to start first with the answer and  
24 let you give the explanation.

25 Did you in your preparing this applica-

1 tion or doing whatever analyses you did, did you address the  
2 question of whether this application, if it were approved,  
3 would have an affect, an impact on the level of emissions of  
4 hydrogen sulfide from the existing facility? Just yes or --

5 A To answer that question, in my opinion,  
6 the less fluid we have in the holding pond the lower level  
7 which we can maintain by having the injection well, will  
8 provide a storage medium that will make a lesser chance of  
9 any generation of hydrogen sulfide.

10 Q So it's your opinion that this applica-  
11 tion will predict, you would predict lower emissions. Do I  
12 understand you correctly?

13 A I would go so far as to say that we can  
14 eliminate the emissions.

15 Q That's -- that would be terrific, if it  
16 occurs, but as we all agreed before, life is unpredictable.

17 That's your prediction. Do you -- did  
18 you do any tests or analyses to come up with your conclu-  
19 sion?

20 A Actual tests or analyses?

21 Q Yeah.

22 A No.

23 Q None.

24 A No.

25 Q Did you in reaching your conclusion --

1           A           Wait a minute, no, that -- may I refer  
2 back to that?

3           Q           Sure, please, and I certainly don't want  
4 you to leave an inaccurate or incomplete answer in the re-  
5 cord.

6           A           It came to mind it wasn't what you'd call  
7 formal testing, as such, but through checking the water in  
8 the ponds, and so forth, that if you have a, say, a shallow  
9 depth, like we put it in a gallon jar, consider that a  
10 shallow depth at the present time, leaving the top off,  
11 exposing it to the atmosphere, that due to aeration what we  
12 call aeration, or introduction of oxygen from the air into  
13 the water, the H2S situation you mentioned becomes less and  
14 less prevalent.

15                       Now, I'm going to use that possibly as a  
16 test under your question.

17           Q           You're saying that you understand that  
18 aeration of fluids in the pit would have the tendency to  
19 reduce the emissions of H2S.

20           A           What I'm saying is with a shallow water  
21 depth, that normal aeration, natural, by the atmosphere  
22 above it, will have a tendency to lessen this H2S emission.

23           Q           Now, turning your attention again to your  
24 Attachment Number 4, Item 3, average and maximum injection  
25 pressure to be determined after injectivity tests.

1           A           That is correct.

2           Q           Would you explain that to me?

3           A           This goes back in part to what we was  
4 talking about before when I said that the -- we would have  
5 to run an injectivity test under the supervision of the OCD  
6 to determine where we had parting or fracturing of the  
7 formation. Remember me stating that?

8           Q           No, no, I understand.

9           A           This is what -- when you conduct this  
10 type of test, increasing rate and pressure, until you have  
11 an indication of parting, that's the injectivity test I'm  
12 speaking of.

13          Q           Now, again, you need to educate me. Does  
14 this well necessarily have to be pressurized in order to  
15 get, when it's ultimately done, to get the fluids down there  
16 and into the formation? I mean pressure --

17          A           No. The Mesaverde formation within the  
18 San Juan Basin area is well known to be an underpressured  
19 reservoir and to the point that it won't even hold a  
20 hydrostatic head of pure water to the surface. In other  
21 words, if you fill up your casing through your perforations,  
22 from your perforations up, that water won't stay there. In  
23 other words, quote, water will go out into the formation --

24          Q           Because the pressure --

25          A           -- because of simple hydrostatic pres-

1 sure, no additional pressure on top of it.

2 Q I'm just -- tell me if I understand this  
3 right. That's because the pressure in the formation is  
4 lower than the pressure at the top of the well.

5 A Is lower than the hydrostatic pressure of  
6 the water or fluid.

7 Q Okay, I'm sorry, all right, lower than  
8 the -- so if -- are you anticipating that this well will be  
9 pressurized or not?

10 A We anticipate in order to, say, maybe up  
11 to 2000 barrels a day, yes, we are anticipating of having to  
12 put surface equipment on to put the water away under pres-  
13 sure.

14 Q Under pressure, and did I understand in  
15 your response to the questions from Mr. Pearce that you're  
16 anticipating two pounds per foot injectin pressure? Did I  
17 -- did I -- .2 of a pound? Did I get that correct?

18 A This is what we anticipate. This is a  
19 limitation of the Oil Conservation Division.

20 Q That's the limitation.

21 A If you can indicate that your injectivity  
22 is under .2 per pound times your depth, this is fine, but if  
23 you want to exceed that, then you have to run your injecti-  
24 vity tests.

25 Q Okay.

1           A           To get approval for going above that  
2 pressure point.

3           Q           I see. So that's just a threshold. Be-  
4 low that threshold you don't even have to conduct an injec-  
5 tivity test.

6           A           No, you have to inform them, but if you  
7 -- I doubt seriously if you could find many areas like that.

8           Q           (Not understood) but you're going to run  
9 an injectivity test.

10          A           We will run an injectivity test.

11          Q           And you anticipate pressure in excess of  
12 that. And do you -- do you --

13          A           Yes.

14          Q           Do you anticipate pressure --

15          A           Yes, in excess of that.

16          Q           In excess of that.

17                    To your knowledge, Mr. Walsh, does Basin  
18 presently have contracts for the acceptance of fluids from  
19 wells or other sources?

20          A           Do they --

21          Q           Presently have contracts.

22          A           I'm not aware of any contracts.

23          Q           So they've been -- as they accept the  
24 fluids at the disposal site presently, they're not doing it  
25 under a contractual obligation, they're doing it on a truck

1 by truck basis?

2 A Yes.

3 Q Do you anticipate -- to your knowledge do  
4 you anticipate that they will be entering into contracts?

5 A To my knowledge, I do not anticipate it.

6 Q To your knowledge do you anticipate  
7 whether they will be accepting fluids from sources substan-  
8 tially different from the sources that they are presently  
9 accepting fluids from?

10 A I would say probably not, 'cause they  
11 have accepted fluids from many areas.

12 Q The -- the fluids that they -- you anti-  
13 cipate that they will be accepting, will they -- I notice  
14 that you are -- let me state it differently. I notice that  
15 your --at least your 7-17 test --

16 THE REPORTER: I'm sorry, sir, I  
17 didn't understand what you just said.

18 Q I changed my question and I said "let me  
19 start it differently." I notice that your July 17th test  
20 shows some degree of sulfates in the waters that are pre-  
21 sently on -- or were on the site at that time. Is that cor-  
22 rect?

23 A Yes, that's true.

24 Q And you anticipate that waters will con-  
25 tinue to have sulfates in them.

1           A           Any of your incoming waters are going to  
2 have sulfates.

3           Q           Because of where they come from .

4           A           By virtue of nature (not understood).

5           Q           Turning to what I guess would be Exhibit  
6 or Attachment, rather, 1 to your application, you testified  
7 in response to Mr. Pearce's question that that has been  
8 amended by September 21, 1987, letter, is that correct?

9           A           That is correct.

10          Q           And basically, would you just explain to  
11 me what the nature of the changes are that you're proposing?

12          A           Yes. The decision was made by the owners  
13 of Basin Disposal on my recommendation that we install the  
14 larger size casing, therefore being able to utilize a larger  
15 diameter tubing to, one, lessen friction pressure during  
16 injection, and secondly, be able to handle who knows in the  
17 forseen future, what volumes we may handle. Then we could  
18 handle higher volumes up to our approved limits.

19          Q           Does your amended Attachment 1 make any  
20 material change in the casing?

21          A           Well, the size of the casing. When you  
22 change size of casings you -- you have your characteristic  
23 of your casing change; insofar as the steel material itself,  
24 no. You change how much it weighs per foot as in your  
25 diameters; that's about all.

1           Q           And constructing an injection well like  
2 this, are you -- are you concerned about leakage from the  
3 well, not at the bottom but out?

4           A           Not only are we concerned but the State  
5 is, also; therefore that is the reason, and we would do it  
6 anyway, at the time we start injecting the, what we call the  
7 annular volume between our tubing, which we're injecting  
8 down through, and the casing, inside of the casing, which is  
9 protecting the hole, will be one, sealed off from the bottom  
10 by a packer to prevent any movement of fluid up from that  
11 point alongside in the annular space; also the annular space  
12 will be filled with an inert fluid which will help prevent  
13 deterioration, as you say, or corrosion of our metal on the  
14 outside of the tubing or inside the casing.

15                       Also, by having this, if there was a leak  
16 in that tubing string, we have a method at the surface with  
17 this fluid in there of monitoring the pressure on this  
18 annular space and will have the indication, well, we have a  
19 leak in the tubing, but that way we maintain our casing as  
20 the primary protection. We're using the tubing as secondary  
21 and if it goes apart, well, we've got our casing.

22                       So, no, as far as seeking outside the  
23 casing, we do not anticipate. We may have leaks inside but  
24 not outside because we are not subjecting that casing except  
25 in the injection interval to the type of fluids that might

1 be detrimental to it.

2 Q And if there were to be some leakage out,  
3 you would know that because of the pressure of the fluids --

4 A In the annular space, leakage from our  
5 tubing.

6 Q Yeah, leaking from the -- let's talk  
7 about leakage first from the tubing.

8 Now, if there were leakage from the tub-  
9 ing, you would know that because there'd be an increased  
10 pressure in the fluids in --

11 A In the annular space.

12 Q In the annular space, and how would you  
13 -- and how do you monitor that?

14 A Well, by a pressure gauge; check the  
15 wellhead with a pressure gauge. If you're injecting, say,  
16 for example, 1000 pounds, and you check the pressure in your  
17 annular space and you have none, that's 1000 pounds at the  
18 surface.

19 Q You know it's going somewhere.

20 A We know it's going out through the packer  
21 into the formation. It's not coming up in your annular  
22 space.

23 Q Down at the bottom of the well you have  
24 some sort of -- I forget the term you used -- cap to make  
25 sure that it doesn't come back up?

1 A A packer.

2 Q A packer. How far up does that packer  
3 (inaudible)?

4 A The packer is normally only about overall  
5 six feet long.

6 Q Six feet. I just have one further thing.  
7 This is your engineering and production from the Walsh  
8 Engineering and Production Corporation?

9 A That's correct.

10 Q Do you have an ownership interest at all  
11 in Basin?

12 A No, sir, I do not.

13 MR. GOLDBERG: I don't have  
14 anything.

15 MR. CATANACH: Mr. Kellahin.

16 MR. KELLAHIN: Thank you, Mr.  
17 Catanach.

18  
19 CROSS EXAMINATION

20 BY MR. KELLAHIN:

21 Q Mr. Walsh, the original application was  
22 to drill the well for a full depth to penetrate perhaps 100  
23 feet below the base of the Mesaverde, was it not?

24 A That is true.

25 Q And that footage distance was estimated

1 to be approximately 4700 feet?

2 A That is true.

3 Q Based upon your conversations with Meri-  
4 dian, you're now prepared to confine the injection interval  
5 to an upper member of the Mesaverde, being that Cliff House  
6 section, is that not correct?

7 A That is correct.

8 Q Do you see an continuing need to drill  
9 the well to the original total depth or will you reduce the  
10 total depth of the well?

11 A We will reduce -- I will actually file an  
12 amendment to the application for permit to drill and an  
13 amendment for the application here showing that we will -- I  
14 believe Meridian's request was a depth of approximately 3850  
15 feet, I believe in thier letter?

16 Q I believe so, and that approximates,  
17 then, about 100 feet below the base of the Cliff House mem-  
18 ber.

19 A That is correct.

20 Q And approximately 100 feet, then, gives  
21 you enough of a rathole in the well that you can handle pro-  
22 duction equipment problems.

23 A To tell you the truth, I'd like another  
24 50 foot but I'll stick with it.

25 Q Let me talk about the area in question in

1 terms of other disposal facilities utilizing the Mesaverde  
2 and the Dakota formations. Are there any?

3 A There is one, yes, to the northwest of  
4 the present Basin Disposal facility.

5 Q And in what formaton does it dispose of  
6 fluids?

7 A It's going into the Mesaverde formation.

8 Q And, to your knowledge, has there been  
9 any difficulty in utilizing that well for disposal into  
10 those formations?

11 A To my knowledge, no. Their injectivity  
12 tests, they have -- I have reviewed the information on this  
13 well to utilize for knowledge in this application, and their  
14 injectivity up there has been good. They haven't had any  
15 severe problems of plugging or anything like that, to my  
16 knowledge.

17 Q What has been your experience about the  
18 compatibility of produced fluids out of the Dakota and the  
19 Mesaverde for re-injection or disposal into the Cliff House  
20 member?

21 A By virtue of mixing them like they will  
22 be mixed, I would say that the compatibility would be good  
23 in the Mesaverde formation.

24 Q I assume by the answers to your questions  
25 you're not proposing something that's unique, novel, and

1 unusual of your profession in terms of disposing of water in  
2 this particular fashion?

3 A No, I'm not.

4 Q Is there an economic need for your  
5 disposal facility, the injection well, in this area?

6 A Economic in many respects. It is  
7 economic to Basin Disposal, yes, because the -- at the time  
8 the disposal facility was built we anticipated so much  
9 water over a period of time.

10 Well, unbeknownst, here comes all this  
11 water, so we have been operating at our maximum approved  
12 level or below it for some time. By utilizing the injection  
13 well we will be able to not only maintain the operation and  
14 maybe not have to close because we do not (not clearly un-  
15 derstood) to operate, and be able to accept water up to our  
16 volume of injection, even, whatever it might be.

17 It's also an economic situation for the  
18 companies in this area in that basically this is the only  
19 commercial disposal site for produced water and with the  
20 present environmental rules and regulations, this has been  
21 more or less a godsend for them to have some place to take  
22 it without having to build their own disposal facility or  
23 drill their own injection well.

24 Q My question was in terms of those other  
25 operators. Do you have an opinion, sir, based upon your ex-

1 perience and the knowledge you have as to whether or not the  
2 approval of this facility will aid other operators to con-  
3 tinue to produce and thereby avoid the waste of hydrocarbons  
4 that might otherwise be recovered?

5 A Yes, it would.

6 Q In the absence of approval of this dis-  
7 posal facility, are you aware of any alternative disposal  
8 means for the operators in this vicinity?

9 A No, sir.

10 Q Thank you, I have nothing further.

11 MR. PEARCE: I have just a  
12 couple, if I may, Mr. Examiner.

13

14 REDIRECT EXAMINATION

15 BY MR. PEARCE:

16 Q Mr. Walsh, you had discussion with Pro-  
17 fessor Goldberg dealing with the chance of scaling or other  
18 decrease in capacity of this well. You mentioned the pos-  
19 sibility of treating the injection fluid, I believe, if you  
20 saw that the capability of the well was decreasing, is that  
21 correct?

22 A That's correct.

23 Q If you took these remedial steps during  
24 the actual disposal process, do you believe there's a high  
25 likelihood that you would not have to shut the well in for

1 any period of time but could resolve the scaling problem  
2 during actual operations?

3 A We could resolve it in normal operations.

4 Q Okay. You also discussed with Professor  
5 Goldberg some unlined ponds that are presently on location,  
6 do you recall that?

7 A Yes.

8 Q And am I correct that in the present ap-  
9 plication Basin Disposal is not seeking authorization to ut-  
10 ilize those unlined ponds for any purpose?

11 A That is correct.

12 Q You also had a discussion about the capa-  
13 city of the pond which is presently being used as the prim-  
14 ary disposal mechanism. If this application is approved,  
15 would you expect the level of fluid currently held within  
16 that disposal pond to be lowered through normal disposal  
17 operations of the well?

18 A Yes, I would.

19 Q Okay. Thank you, nothing further.

20 MR. GOLDBERG: Mr. Catanach,  
21 could I just (not clearly understood)?

22 MR. CATANACH: Yes, sir.

23

24

25

## 1 RE-CROSS EXAMINATION

2 BY MR. GOLDBERG:

3 Q Could you explain to me, Mr. Walsh, how  
4 you would treat the fluids in order to minimize the risk of  
5 the clogging up of the perforations?6 A First by getting an analysis of fluid and  
7 working with a chemical treating company to determine what  
8 product would be needed. I don't know, I can't sit here and  
9 say that, because we don't have the proper analysis for it.10 Q But you would make some sort of chemical  
11 alteration to the fluid.

12 A We would add a chemical treatment.

13 Q But that would alter the chemical --

14 A Yes.

15 Q -- the chemical analysis.

16 A Yes, chemical composition of the fluid to  
17 prevent this.18 Q And do you have any idea -- you don't  
19 have any idea exactly what you would do.

20 A Now?

21 Q Yeah.

22 A Now, well --

23 Q No, I -- that's why I need you --

24 A No, I don't, without doing -- going  
25 through this procedure.

1           Q           Then it would be fair to say, would it  
2 not, that you presently don't have any idea as to how that  
3 might affect the emission of hydrogen sulfide from the  
4 fluid.

5           A           I don't understand that.

6           Q           Well, if you presently don't have any  
7 idea of how you would treat the fluids, other than some  
8 chemical alteration of the fluids, then would it not be fair  
9 to say that you don't have any idea presently as to how that  
10 treatment might affect the emission of hydrogen sulfide --

11          A           Yes, I do, because of the means and meth-  
12 ods we would utilize this. We would not utilize it in a  
13 pond. We would inject it into the suction side of our pump  
14 --

15          Q           Oh, you would not --

16          A           -- to go downhole.

17          Q           You wouldn't -- you wouldn't do it in the  
18 holding pond.

19          A           No, no, this is something you would in-  
20 ject into your injecting fluid in order to take care of  
21 this. We wouldn't treat it in a pond.

22          Q           Fine.

23                           MR. CATANACH: Is that all you  
24 have?

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CROSS EXAMINATION

BY MR. CATANACH:

Q I just have a couple of questions, Mr. Walsh.

A As I understand it now, the total depth of the well is going to be how deep?

A Approximately 3850.

Q 3850?

A 3-8-5-0.

Q Are you going to change your -- your -- okay, you changed your 5-1/2, you've changed your casing to 5-1/2. Are you going to change your cementing program as a result of the change in depth of the well?

A I can change the cementing program; however, even that cementing program is subject to after running logs and getting our calipers. I can submit that with my theoretical, if you wish, or we can go ahead with actual afterwards.

Q That's fine. Let me ask you this.

A You see, that would be more, more than necessary to do the job.

Q All right. Do you intend to circulate the 5-1/2 inch casing to surface?

A We intend to circulate cement to the sur-

1 face.

2 Q Thank you. I have a couple of questions  
3 on your two Dakota offset wells that are operated by Beta  
4 Development.

5 A Attachment Number 3?

6 Q Yes, sir.

7 A All right.

8 Q Do you know or do you have any informa-  
9 tion on the cement tops in those wells (unclear) production  
10 casing?

11 A Utilizing (unclear) casing volume of  
12 cement, I have made some theoretical calculations.

13 Q Do you have those figures?

14 A Yes, on the first, for the Beta Develop-  
15 ment Martin 3 No. 1, the top of cement theoretically on the  
16 first stage, for the 5-1/2 inch casing is 5877 feet.

17 And, excuse me, on the Martin A No.,  
18 first stage cementing on the 4-1/2 inch casing is 5884 feet.

19 That well was also squeezed in the inter-  
20 val 3586 to 4020 during a workover.

21 Q Do you have that volume?

22 A 400 sacks, sir, as I found out from the  
23 Commission records.

24 Q Okay. You gave me cement tops for the  
25 first stage. Do you -- did you have an information on the

1 second stage?

2           A           I did not look into the second stage be-  
3 cause the stage cementing took was set as it should have  
4 been, below the Pictured Cliff, and the cement went on up  
5 above.

6                       Looking at the volumes on the Martin 3  
7 No. 1, I know it would not have reached surface with 100  
8 sacks. There is a possibility on the Martin A No. 1 with a  
9 500-sack volume, that it could have reached surface.

10           Q           So in at least the Martin 3 Well No. 1  
11 you've got an interval in there that's noncemented.

12           A           Yes.

13           Q           Mr. Walsh, those are the only two wells  
14 in the area of review that penetrated the Mesaverde zone?

15           A           That is correct.

16           Q           What -- I show some other wells on your  
17 map. Can you point out what those are?

18           A           In the area of review, let's start with  
19 the northwest quarter of Section 3, the 3-R is a Pictured  
20 Cliff well.

21                       To the southwest, the No. 3 Well is a  
22 plugged and abandoned Pictured Cliff well.

23                       Again in the northwest, very north-  
24 west/northeast, the -- what is symbolled KK, which is a Kirt-  
25 land well, that was drilled and abandoned.

1                   Going up into the southeast quarter of  
2 Section 34, 30, and 11, the KFM/KFM is a Farmington well --  
3 excuse me, a -- is a Farmington well.

4                   Coming back to the northwest quarter of  
5 Section 3, the well indicated one dry hole symbol is a Far-  
6 mington well, possibly penetrated the Pictured Cliff, but  
7 drilled and abandoned in 1959.

8                   The -- also in the northwest corner of  
9 Section 3 the well indicated by 4 is a PC, Pictured Cliff  
10 well. It's plugged and abandoned in 1982.

11                   Of course, there is the Beta Development  
12 Martin 3 No. 1 in the southwest quarter of Section 3.

13                   There is a well indicated as a Pictured  
14 Cliff well. It was plugged and abandoned in 1977.

15                   The southeast quarter of Section 3, you  
16 have again a Pictured Cliff well indicated by that symbol 1-  
17 N, also the Beta Development Martin A No. 1, Dakota.

18                   So it's -- other than the two Dakota  
19 wells there was no penetration into the Mesaverde by a well  
20 in the review area.

21                   Q                   Mr. Walsh, how did you determine that  
22 there was not any fresh water in the area? Fresh -- fresh  
23 water formations or --

24                   A                   Insofar -- I did from a drinking water  
25 standpoint. One, during our original application for the

1 original disposal site, a geological review was made and  
2 submitted with the application. This indicated that in that  
3 area we had no shallow water sands. In fact, we have what  
4 was called a vadose zone, which is basically an impermeable  
5 shale of approximately 200 feet, down to any level that  
6 might be where water coming -- same level as the river, and  
7 again by reviewing the State Engineer's record, I determined  
8 that there was no fresh water drinking wells in that area.

9 MR. CATANACH: That's all I  
10 have of the witness.

11 Are there any other questions  
12 of this witness?

13 MR. PEARCE: One moment, Mr.  
14 Examiner, if I may.

15 Mr. Examiner, you asked the  
16 witness a question with regard to the total depth of this  
17 well. We've gotten an indication from Meridian that they do  
18 not object to that well being established as 3900 feet  
19 rather than the 3850 set forth in their letter, and as the  
20 witness indicated, that would make drilling the disposal  
21 well a little easier, and if that depth is to be included in  
22 the -- in any order in this case, we would request 3900.

23 MR. CATANACH: Okay. Anything  
24 further in this case?

25 MR. TAYLOR: David, I think

1 there are some letters in the file and there's also a letter  
2 from Mr. Walsh regarding the use of the well as a primary.  
3 But we ought to supplement the record. We won't make them  
4 exhibits but we'll make sure they're in the record.

5 MR. CATANACH: You want to  
6 state what these are?

7 MR. TAYLOR: I think they're --  
8 we have some objection letters and I think they may be from  
9 clients now represented by Mr. Goldberg.

10 There's one from, I believe, a  
11 Mr. and Mrs. Payne, and Mr. and Mrs. Litke, and Judy Stoltz.  
12 And I don't know if they --

13 MR. GOLDBERG: Some but not all  
14 of those are with me.

15 MR. TAYLOR: And we'll include  
16 those in the record, as well as a letter from Mr. Walsh of  
17 which we don't have a copy right now but I think I've got  
18 some in my office.

19 MR. PEARCE: One other thing,  
20 Mr. Examiner, I'd like to state for the record that since  
21 the objection to the administrative granting of this appli-  
22 cation was filed by the Litkes, I've had our office send  
23 notice of this hearing to them because of the administrative  
24 appeal process and I certainly hope we don't have to go  
25 through it, but if we could get Mr. Goldberg to indicate who

1 he represents in this hearing, because if a stranger comes  
2 forward later, I may not want to let them do it.

3 MR. GOLDBERG: I will be glad  
4 to provide a list of my clients and I'll provide Mr. Pearce  
5 with this also, so that --

6 MR. PEARCE: Thank you.

7 MR. GOLDBERG: -- we don't have  
8 any --

9 MR. PEARCE: Thank you, I ap-  
10 preciate that.

11 MR. CATANACH: Is there any-  
12 thing further in this case?

13 If not, it will be taken under  
14 advisement.

15

16 (Hearing concluded.)

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO  
HEREBY CERTIFY the foregoing Transcript of Hearing before  
the Oil Conservation Division (Commission) was reported by  
me; that the said transcript is a full, true, and correct  
record of the hearing, prepared by me to the best of my  
ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 920,  
heard by me on Sept 23, 1987.  
David R. Catanach, Examiner  
Oil Conservation Division