

BEFORE THE  
NEW MEXICO OIL CONSERVATION COMMISSION  
Santa Fe, New Mexico  
March 31, 1976

EXAMINER HEARING

IN THE MATTER OF:

Application of Exxon Corporation for a unit agreement, Lea County,  
New Mexico.

CASE  
5660

BEFORE: Richard L. Stamets, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the New Mexico Oil Conservation Commission: William F. Carr, Esq.  
Legal Counsel for the Commission  
State Land Office Building  
Santa Fe, New Mexico

For the Applicant: Clarence Hinkle, Esq.  
HINKLE, BONDURANT, COX & EATON  
Attorneys at Law  
Hinkle Building  
Roswell, New Mexico

I N D E X

Page

JOHN THOMAS

Direct Examination by Mr. Hinkle

3

EXHIBIT INDEX

Page

Applicant's Exhibit No. One, Structure Map

14

Applicant's Exhibit No. Two, Log

14

Applicant's Exhibit No. Three, Struct. Cross Section

14

Applicant's Exhibit No. Four, Land Plat

14

Applicant's Exhibit No. Five, Letter

14

1 MR. STAMETS: We will call Case 5660.

2 MR. CARR: Case 5660, application of Exxon Corpora-  
3 tion for a unit agreement, Lea County, New Mexico.

4 MR. HINKLE: Clarence Hinkle of Hinkle, Bondurant,  
5 Cox and Eaton appearing on behalf of Exxon and we have one  
6 witness and five exhibits.

7 MR. STAMETS: The witness will stand and be sworn,  
8 please?

9 (THEREUPON, the witness was duly sworn.)

10 MR. HINKLE: Mr. Examiner, at the time that this  
11 application was filed the unit agreement had not been finalized  
12 and we have the three copies which were supposed to be filed  
13 with the application.

14 MR. STAMETS: Okay, we will put those in the case  
15 file.

16  
17 JOHN THOMAS  
18 called as a witness, having been first duly sworn, was  
19 examined and testified as follows:

20  
21 DIRECT EXAMINATION

22 BY MR. HINKLE:

23 Q State your name, your residence and by whom you are  
24 employed?

25 A My name is John Thomas, I live in Midland, Texas and

1 I'm employed by Exxon Company U.S.A.

2 Q. You are a geologist by profession?

3 A. That is correct.

4 Q. Have you previously testified before the Commission?

5 A. No, sir, I haven't.

6 Q. State briefly your educational background and your  
7 experience as a geologist?

8 A. I have a Bachelor's and Master's degrees from the  
9 University of Missouri from the Missouri School of Mines in  
10 1963 and 1965 respectively, after which I went to work for  
11 Humble Oil and Refining Company, now Exxon Company U.S.A. For  
12 the past eleven years I have worked in both exploration and  
13 production assignments, both domestic and foreign and currently  
14 I am working in an exploration assignment in Midland, Texas  
15 as a geologist.

16 Q. Have you made a study of the area that is involved  
17 in this application?

18 A. That is correct.

19 Q. Are you familiar with all of the wells that have  
20 been drilled in the area?

21 A. That is correct.

22 MR. HINKLE: Are his qualifications sufficient?

23 MR. STAMETS: They are.

24 Q. (Mr. Hinkle continuing.) Have you prepared or has  
25 there been prepared under your direction certain exhibits for

1 introduction in this case?

2 A. Yes, sir.

3 Q. And they are the ones which have been marked one  
4 through five?

5 A. Yes, sir.

6 Q. Refer to Exhibit One and explain what this is and  
7 what it shows?

8 A. Exhibit One is a structure map on top of the  
9 Hunton formation or Silurian formation. The light blue lines  
10 represent subsea contours on the top of this formation. The  
11 heavy blue lines represent the faults interpreted.

12 On the plat you will see a brown outline, that is  
13 an outline of the proposed unit area. Within the unit area  
14 in Section 14 is the well that had been drilled by Exxon  
15 Company U.S.A., the Fairview Mills Federal No. 1.

16 This map was drawn after the completion of this  
17 well and is subsequent to the drilling of the well.

18 Q. It is based on the geology and the geophysical?

19 A. That is correct. We took the information gained  
20 from the drilling of the well, both the logs, log analyses,  
21 the dip-meter logs and reprocessed seismic data to come up  
22 with this current interpretation.

23 Q. The blue line, the solid blue line through the  
24 proposed unit, what is that?

25 A. That is a fault interpreted from reprocessed data

**sid morrison reporting service**  
*General Court Reporting Service*  
 825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
 Phone (505) 982-9212

1 and from wellbore information and I might point out, Mr.  
 2 Commissioner, when these were vacuum framed it appears in  
 3 looking at these now where some of the overlays have slipped,  
 4 the fault is designed to be on the low side of the fault, on  
 5 the down-thrown side and it may appear on your copy to be  
 6 either in the fault itself or the high side to the fault.

7 MR. STAMETS: You are talking about the well?

8 A. Correct.

9 MR. STAMETS: Should it be to the right or --

10 A. To the west, the north being up at the top of the  
 11 map, to the left.

12 MR. STAMETS: Let's clarify this one time. The  
 13 well should be on the west side of the fault?

14 A. That is correct.

15 Q. (Mr. Hinkle continuing.) Did Exxon know about this  
 16 fault at the time it was drilled?

17 A. No, we did not.

18 Q. Do you have any other comments with respect to  
 19 Exhibit One?

20 A. No, sir.

21 Q. Refer to Exhibit Number Two which is a log of the  
 22 well which has been drilled in the proposed unit and explain  
 23 that and give a brief history of the well?

24 A. Again we are looking at a Schlumberger borehole  
 25 compensated sonic log. Chronologically the well was spudded

1 in March of 1974 and reached a total depth of twenty thousand,  
2 nine hundred and fifteen feet in August of 1974.

3 Referring to the log, I will be very briefly working  
4 from the bottom to the top. The formations tested, the well  
5 again bottomed at twenty thousand, nine hundred and fifteen  
6 feet in Precambrian rocks. Immediately overlying this  
7 particular sequence is the Ellenburger formation and let it  
8 suffice to say that this formation was tested and recovered  
9 gas too small to measure in formation waters. The formation  
10 was interpreted as being tight, noncommercial and plugged.  
11 We then came up to the Silurian interval that is within the  
12 interval seventeen thousand and thirty-six feet to eighteen  
13 thousand, two hundred and eighty-six feet. Within that  
14 interval we tested four zones. These are represented by  
15 the numbers one through four and they are chronological.

16 Zone one was perforated and tested at a rate of  
17 eleven million cubic feet of gas per day and at approximately  
18 five hours into the test formation waters encroached into the  
19 wellbore and killed the well. The interval was squeezed six  
20 separate time using approximately fifteen hundred sacks of  
21 cement.

22 I might point out at this point, the caliper which  
23 is represented on the lefthand side of the log by the straight  
24 line and at approximately seventeen thousand, three hundred  
25 and sixty-five feet you will see a deviation from a norm, a

1 five barrels of water, interpreted to be formation water with  
2 a slight show of gas. The interval was squeezed with four  
3 hundred sacks of cement.

4 Also in support of an interpreted fracture system,  
5 those four intervals, the total squeeze volumes comprised some  
6 twenty-four hundred sacks of cement and if this is interpreted  
7 into annular volume, if you take the six-and-a-half inch  
8 hole behind the five-inch production casing, the twenty-four  
9 hundred sacks of cement equates to some twenty-four thousand  
10 feet of annular volume, so the formation in this particular  
11 instance consumed an abnormally large amount of cement.

12 Q. What is the present status of the well?

13 A. Presently the well is shut in. I might add, Mr.  
14 Hinkle, that after squeezing the Silurian formation we did  
15 come up to the Wolfcamp formation and perforated the  
16 interval at fourteen thousand, eight hundred feet.

17 I'm sorry, correction, let me go on up. The  
18 perforations were at thirteen thousand, seven hundred and  
19 ninety-seven feet, to thirteen thousand, eight hundred and five  
20 feet in the Wolfcamp.

21 The calculated open flow of this interval was five  
22 point seven million cubic feet of gas per day and a  
23 completion was taken in this zone and in answer to your  
24 question, the well is presently shut in as this interval will  
25 not produce against line pressure.



1 Q What was the cost of the well, what has been the  
2 cost to date?

3 A The actual well cost was in excess of two point  
4 eight million dollars and including all of the testing that  
5 was incurred in the wellbore, plus the surface facilities,  
6 Exxon Corporation has three point two million dollars in the  
7 well. The production from the Wolfcamp interval amounts to  
8 some three hundred and forty million cubic feet of gas at a  
9 value of about a hundred and seventy-two thousand dollars,  
10 certainly not a commercial well.

11 Q Refer to Exhibit Three and explain what that shows?

12 A Exhibit Number Three is a structural cross section  
13 and again this is indexed on our structural plat, being  
14 Exhibit Number One. It is a southwest-northeast cross section  
15 through the wellbore and again I might add, it also is  
16 supported by seismic line that is also run along that  
17 particular interval represented on your Exhibit Number One.  
18 It should be self-explanatory. The symbols used in the  
19 Wolfcamp at approximately ten thousand, five hundred feet  
20 subsea is a gas symbol, producing symbol we use and those  
21 symbols below that are gas shows indicated in the Morrow and  
22 in the Silurian and the Ellenburger.

23 Again, the fault referred to in Exhibit Number One  
24 is represented by the heavy blue line running up and down  
25 adjacent to and east of the Fairview Mills wellbore.

1 Q Now, refer to Exhibit Number Four and explain that?

2 A Exhibit Number Four is a land plat and I might add  
3 it has attachments with that in that we could not get all of  
4 the information on the first page of the exhibit.

5 Q Is Exhibit Four the same as Exhibit A and B attached  
6 to the unit agreement?

7 A That is correct. I might point out that the exhibit,  
8 being Exhibit Number Four, shows the proposed unit area and  
9 the acreage involved. The unit area is comprised of some  
10 three thousand, eight hundred and forty acres of which three  
11 hundred and twenty acres are fee land and three thousand, five  
12 hundred and twenty acres are Federal land.

13 Also I would like to point out that Sections, 11, 12,  
14 13 and the south half of fourteen have expiration dates of  
15 May 1, 1976. That is some two thousand, two hundred and  
16 forty acres out of a three thousand, eight hundred and forty  
17 acre unit.

18 Q That means that you have to start the unit well  
19 before May 1st in order to save these leases?

20 A That is correct.

21 Q Do you have any further comments with respect to  
22 Exhibit Four?

23 A No, sir.

24 Q Refer to Exhibit Five and explain what this is?

25 A Exhibit Five is a letter from the United States

1 Department of the Interior, Geological Survey, to Exxon  
2 Company U.S.A. whereby they agree to the proposed unit as  
3 submitted to them.

4 Q Does this letter provide the type of unit to be  
5 used?

6 A Yes, sir.

7 Q Specifically it says you should use a Federal form  
8 of agreement for unapproved areas with modification for the  
9 inclusion of fee lands and modifications as follows?

10 A That is correct.

11 Q Are you familiar with the proposed unit agreement?

12 A Yes, I am.

13 Q That has been filed with the Commission?

14 A Yes, sir.

15 Q And is it the regulation form referred to with the  
16 modifications for fee land?

17 A That is correct. I might add, Mr. Hinkle, that in  
18 page nine, section nine, under the drilling clause, in the  
19 proposed unit it calls for a sidetrack hole. In fact,  
20 consideration is being made to drilling a brand new well within  
21 the unit area and it has not been clarified at this point  
22 whether a sidetrack hole or a new well will be drilled.

23 Q Refer to the unit and state specifically what  
24 section nine of the unit provides with respect to the drilling  
25 of the well?

1           A.     All right, again referring to both Exhibits Number  
2 One and Exhibit Number Three, the unit agreement calls for  
3 a sidetrack hole, it being initiated at approximately --

4           Q.     You mean by entering the present well?

5           A.     Entering the present wellbore, yes, sir.

6           Q.     Whipstock and --

7           A.     And squeezing off the perforations presently open  
8 and drilling out the plugs necessary to reach the depth of  
9 about fifteen thousand, five hundred feet. This is in the  
10 Morrow shales. At that point the seven-and-five-eighths  
11 inch casing would be cut and the hole sidetracked building  
12 normal angles, two degrees per hundred the first five hundred  
13 feet and maintaining approximately a ten degree hole thereafter.  
14 We would be directionally drilling the well to a point to the  
15 northeast of the present well symbol on Exhibit Number One.

16          Q.     I believe you stated that there may be a possibility  
17 that instead of this that they will drill a new hole?

18          A.     That is correct. Mechanically it is a compromise  
19 situation and an evaluation is being made as to how to handle  
20 this.

21          Q.     Who is designated as operator in the unit, if  
22 anyone?

23          A.     Currently within the model form submitted there is  
24 no operator designated, a third party is working the problem  
25 and that being In-Search Company which is the exploration

1 division of Lone Star Gas.

2 Q And if they decide to be the operator their name  
3 will be inserted?

4 A That is correct.

5 Q Do you have any further comments with respect to  
6 the form of the unit agreement?

7 A No, sir.

8 Q I believe you stated that time is an element here?

9 A Very much so and again reiterating we will have  
10 approximately some sixty percent of the unit expiring as of  
11 May 1, that being two thousand, two hundred and forty acres  
12 of the unit unless drilling operations are commenced prior to  
13 that date.

14 Q Do you contemplate that all of the leasehold interests  
15 within the unit area will be committed to the unit?

16 A Yes, sir.

17 Q In your opinion if this application is approved  
18 will it be in the interest of conservation, prevention of  
19 waste and protect correlative rights?

20 A Yes, sir, it will.

21 MR. HINKLE: We would like to offer Exhibits One  
22 through Five.

23 MR. STAMETS: Exhibits One through Five will be  
24 admitted.  
25

1 (THEREUPON, Applicant's Exhibits One  
2 through Five were admitted into evidence.)

3 MR. HINKLE: That's all of our direct.

4 MR. STAMETS: We would like a point of clarification  
5 here and Mr. Hinkle you may offer this or possibly Mr. Thomas.

6 The Commission order would normally designate the  
7 applicant as the unit operator and this one would do so unless  
8 we were to be notified immediately that the other --

9 MR. HINKLE: Well, I think that would be all right  
10 because you can simply change and designate somebody else for  
11 approval if you want to.

12 MR. THOMAS: Well, if it is agreeable to the  
13 Commission because Exxon Company will not, categorically we  
14 will not be operator of the unit. If you would like to put  
15 us down and at a later date we would be allowed to change  
16 that.

17 MR. HINKLE: This is off the record.

18 (THEREUPON, a discussion was held off  
19 the record.)


20 MR. STAMETS: We'll go back on the record. Are  
21 there any other questions of this witness? He may be excused.


22 (THEREUPON, the witness was excused.)

23 MR. STAMETS: Anything further in this case? We  
24 will take the case under advisement.  
25

REPORTER'S CERTIFICATE

I, SIDNEY F. MORRISH, a Certified Shorthand Reporter,  
do hereby certify that the foregoing and attached Transcript  
of Hearing before the New Mexico Oil Conservation Commission  
was reported by me, and the same is a true and correct record  
of the said proceedings to the best of my knowledge, skill and  
ability.

  
Sidney F. Morrish, C.S.R.

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 5660  
heard by me on 3-31-76, 1976  
  
Richard P. Stum, Examiner  
New Mexico Oil Conservation Commission

sid morrish reporting service

General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212