

## NEW MEXICO OIL CONSERVATION DIVISION

STATE OF NEW MEXICO

CASE NOS. 10515 &amp; 10516

IN THE MATTER OF CASE NO. 10515:

The Application of Texaco Exploration  
& Production, Inc., for statutory  
unitization, Lea County, New Mexico.

[CONSOLIDATED]

IN THE MATTER OF CASE NO. 10516:

The Application of Texaco Exploration  
& Production, Inc., for a waterflood  
project, Lea County, New Mexico.

BEFORE:

DAVID R. CATANACH

Hearing Examiner

State Land Office Building

July 23, 1992

REPORTED BY:

DEBBIE VESTAL  
Certified Shorthand Reporter  
for the State of New Mexico

**ORIGINAL**

## A P P E A R A N C E S

FOR THE TEXACO EXPLORATION & PRODUCTION, INC.:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.

Post Office Box 2208

Santa Fe, New Mexico 87504-2208

BY: WILLIAM F. CARR, ESQ.

FOR MARATHON OIL COMPANY:

KELLAHIN, KELLAHIN & AUBREY

Post Office Box 2265

Santa Fe, New Mexico 87504-2265

BY: W. THOMAS KELLAHIN, ESQ.

## I N D E X

## Page Number

## Appearances

2

## WITNESSES FOR THE APPLICANT:

## 1. MICHAEL R. MULLINS

Examination by Mr. Carr 6

Examination by Examiner Catanach 18

## 2. ROBERT N. GOON

Examination by Mr. Carr 21

Examination by Examiner Catanach 31

Examination by Mr. Kellahin 34

## 3. DANIEL A. DUNHAM

Examination by Mr. Carr 39

Examination by Examiner Kellahin 62

Examination by Examiner Catanach 65

Further Examination by Mr. Carr 69

## Certificate of Reporter

72

## E X H I B I T S

## Page Identified

1		
2		
3		
4	Exhibit No. 1	8
5	Exhibit No. 2	10
6	Exhibit No. 3	11
7	Exhibit No. 4	12
8	Exhibit No. 5	14
9	Exhibit No. 6	14
10	Exhibit No. 7	14
11	Exhibit No. 8	15
12	Exhibit No. 9	16
13	Exhibit No. 10	16
14	Exhibit No. 11	24
15	Exhibit No. 12	25
16	Exhibit No. 13	26
17	Exhibit No. 14	27
18	Exhibit No. 15	28
19	Exhibit No. 16	28
20	Exhibit No. 17	41
21	Exhibit No. 18	43
22	Exhibit No. 19	49
23	Exhibit No. 20	41

24

25

1                   EXAMINER CATANACH: At this time we'll  
2 call Case 10515, the application of Texaco  
3 Exploration & Production, Inc., for statutory  
4 unitization, Lea County, New Mexico.

5                   Are there appearances in this case?

6                   MR. CARR: May it please the Examiner,  
7 my name is William F. Carr with the Santa Fe law  
8 firm, Campbell, Carr, Berge & Sheridan. We  
9 represent Texaco Exploration & Production, Inc.,  
10 in this matter. I would request at this time  
11 that this case be consolidated with Case 10516,  
12 which is the application of Texaco for a  
13 waterflood project in the unit area.

14                  EXAMINER CATANACH: At this time let me  
15 call Case 10516, which is the application of  
16 Texaco Exploration & Production, Inc., for a  
17 waterflood project, also in Lea County, New  
18 Mexico.

19                  Are there any additional appearances in  
20 either of these cases?

21                  MR. KELLAHIN: Mr. Examiner, I'm Tom  
22 Kellahin of the Santa Fe law firm of Kellahin,  
23 Kellahin & Aubrey, appearing today on behalf of  
24 Marathon Oil Company.

25                  EXAMINER CATANACH: Any other

1 appearances? Okay. The witnesses, Mr. Carr?

2 MR. CARR: I have three witnesses.

3 EXAMINER CATANACH: Do you have any  
4 witnesses, Mr. Kellahin?

5 MR. KELLAHIN: No witnesses, Mr.  
6 Examiner.

7 EXAMINER CATANACH: Can I get the  
8 witnesses to stand and be sworn in?

9 [The witnesses were duly sworn.]

10 **MICHAEL R. MULLINS**

11 Having been duly sworn upon his oath, was  
12 examined and testified as follows:

13 EXAMINATION

14 BY MR. CARR:

15 Q. Will you state your name for the  
16 record, please?

17 A. It's Michael R. Mullins.

18 Q. Where do you reside?

19 A. In Midland, Texas.

20 Q. By whom are you employed and in what  
21 capacity?

22 A. I'm employed by Texaco Exploration &  
23 Production, Inc. I'm a landman in the enhanced  
24 oil recovery department of the Midland Division.

25 Q. And have you previously testified

1 before the Oil Conservation Division?

2 A. No, sir, I have not.

3 Q. Would you summarize your educational  
4 background and then review your work experience  
5 for the Examiner?

6 A. Yes, sir. I graduated from Texas Tech  
7 University in 1974 with a degree in business  
8 administration. Also in 1974 I was hired by  
9 Texaco to work as a landman in their Midland  
10 Division Office.

11 I left Texaco late in 1976, but  
12 continuously worked as a landman in Midland,  
13 Texas, with and for various companies until I was  
14 rehired by Texaco in 1987.

15 During my 18 years as a landman, I have  
16 worked predominantly in the Permian Basin in  
17 southeast New Mexico.

18 Q. Are you familiar with the status of the  
19 lands involved in the proposed Vacuum-Glorieta  
20 West Unit?

21 A. Yes, sir, I am.

22 Q. Are you familiar with the applications  
23 filed in each of these consolidated cases?

24 A. Yes, sir, I am.

25 MR. CARR: We tender Mr. Mullins as an

1 expert witness in petroleum land matters.

2 EXAMINER CATANACH: Mr. Mullins is so  
3 qualified.

4 Q. (BY MR. CARR) Would you briefly state  
5 what Texaco seeks in this hearing?

6 A. Yes, sir. We seek the statutory  
7 unitization of the proposed Vacuum-Glorieta West  
8 Unit located in Lea County, New Mexico and  
9 approval of a waterflood project in this unit.  
10 We will seek certification of this enhanced  
11 recovery project for the incentive severance tax  
12 credit as soon as the rules are issued by the  
13 Division.

14 Q. Let's go to what has been marked as  
15 Texaco Exhibit No. 1. I'd ask you to identify  
16 that and then review this for Mr. Catanach.

17 A. Okay. Exhibit No. 1 is an area map,  
18 and it's also displayed on the wall for your  
19 convenience. This is what we're calling our area  
20 map. And basically this is an area that  
21 approximately covers about eight miles north to  
22 south and twelve miles east to west.

23 The proposed Vacuum-Glorieta West Unit  
24 is located in the center of the map and is  
25 outlined entirely in red. Covers approximately



1 2,000 -- well, covers exactly 2,778.86 acres.

2 The proposed Vacuum-Glorieta West Unit is located  
3 approximately 20 miles west-northwest of the city  
4 of Hobbs in central Lea County, New Mexico.

5 We are located right on the border of  
6 four townships and ranges. We're located on the  
7 borders of Township 17 South, 34 East, 17 South,  
8 35 East, 18 South, 34 East, and 18 South, 35  
9 East.

10 I'd like to point out that the  
11 Vacuum-Glorieta West Unit is included within the  
12 Vacuum-Glorieta Pool. The Vacuum-Glorieta Pool  
13 itself consists of 7,000 acres, and the remainder  
14 of the pool is in the hachured red lines.

15 And we have noted it as being within  
16 the proposed Vacuum-Glorieta East Unit, of which  
17 Phillips Petroleum is the expediter. The  
18 proposed Vacuum-Glorieta East Unit contains 4,240  
19 acres approximately.

20 Q. What is the character of the lands in  
21 this particular pool?

22 A. This particular pool -- in our proposed  
23 Vacuum-Glorieta West Unit we have all state lands  
24 except for one 40-acre tract. The proposed  
25 Vacuum-Glorieta East Unit is entirely state

1 lands.

2 Q. Are you ready to move to Exhibit No. 2?

3 A. Well, I'd like to point out on this map  
4 also we have highlighted numerous secondary  
5 recovery units in this area, many of which  
6 overlap.

7 The existing secondary recovery units  
8 that have been outlined and highlighted on the  
9 map cover the Grayburg-San Andres Formation or  
10 the Abo Formation. There are no other units on  
11 this plat that produce from the Glorieta or  
12 Paddock Formations, which is what our proposed  
13 unit will produce from.

14 In later exhibits I'll point out --  
15 there again we talked about the character of the  
16 land. It's an area heavily concentrated in state  
17 lands and an area heavily concentrated in  
18 secondary recovery projects.

19 Q. Let's move now to Exhibit No. 2, your  
20 ownership plat. Will you identify and review  
21 that?

22 A. Yes, sir. The Exhibit No. 2, which  
23 we're calling the ownership plat, is basically a  
24 blowup of Exhibit A to the unit agreement. It  
25 identifies the outline of the proposed

1 Vacuum-Glorieta West Unit. There are 21 tracts  
2 noted within the unit. It covers 2,778.86  
3 acres.

4 Of the 21 tracts, 20 of those are state  
5 lands, which comprise 98.56 percent of the unit  
6 area. There is the one fee tract which covers 40  
7 acres, or 1.44 percent. That one fee tract is  
8 Tract 21, being noted by the hatched lines. And  
9 it's in the northeast quarter of the southeast  
10 quarter of Section 25 in 17 South, 34 East.

11 Q. The operator of each tract is also  
12 identified?

13 A. Yes, sir. The operator of each tract  
14 and the lease name of the tract is identified.  
15 And it's also interesting to point out there are  
16 no federal lands.

17 Q. Could you identify for Mr. Catanach  
18 what has been marked as Texaco Exhibit No. 3?

19 A. Exhibit No. 3 is a copy of our unit  
20 agreement for the proposed unit. What we have  
21 done, we have used the standard State of New  
22 Mexico form of unit agreement for the state/fee  
23 lands with very minor modifications, which  
24 modifications were approved by the State Land  
25 Office.

1           The unit agreement permits secondary  
2 and/or enhanced oil recovery operations including  
3 waterflooding. It defines among other items the  
4 unit area and the unitized formation. It defines  
5 the character of the lands that are included in  
6 the unit area, identifies the royalty and working  
7 interest ownership of each tract.

8           It provides a method of allocation of  
9 unitized substances and sets out the basis for  
10 participation of each of the parties. In fact,  
11 the Vacuum-Glorieta West Unit has a two-phase  
12 tract participation formula as set forth in  
13 Section 12 of the unit agreement.

14         Q.     And that formula will be reviewed  
15 primarily by our engineer?

16         A.     Yes, sir, it will. And further the  
17 unit agreement provides for periodic plans of  
18 development that will be furnished to the working  
19 interest owners, the Commissioner, and the  
20 Division.

21         Q.     Let's move now and identify what has  
22 been marked as Texaco Exhibit No. 4.

23         A.     Our Exhibit No. 4 is the unit operating  
24 agreement for the proposed unit. What it is is a  
25 fairly standardized form of unit operating

1 agreement customized for use in the  
2 Vacuum-Glorieta West Unit through negotiations  
3 between the working interest owners.

4 The agreement provides for the  
5 agreement with working interest owners  
6 controlling the supervision and management of  
7 unit operations. It defines the rights and  
8 duties of the working interest owners and the  
9 unit operator. It establishes voting procedures  
10 for decisions to be made by the working interest  
11 owners. It defines how investments and costs are  
12 to be shared. It sets forth the accounting  
13 procedures and how costs will be allocated and  
14 paid among other standard provisions.

15 Q. You have not reviewed this application  
16 with the BLM because there are no federal lands  
17 involvement; is that correct?

18 A. That is correct.

19 Q. Have you reviewed this application with  
20 the State Land Office?

21 A. Yes, we have. Met with the State Land  
22 Office several times and have received their  
23 preliminary approval of the Vacuum-Glorieta West  
24 Unit.

25 Q. And a copy of their preliminary

1 approval letter is what has been marked as Texaco  
2 Exhibit No. 5?

3 A. Yes, sir, it is.

4 Q. Does the unit operating agreement  
5 contain a list of working interest owners in the  
6 unit showing the participation of each of those  
7 owners?

8 A. Yes, it does. We have made Exhibit 6 a  
9 copy of Exhibit D to the unit operating  
10 agreement. And it's a summary of the working  
11 interest ownership of the owners in the unit,  
12 just to list the owners in the unit. The Amerada  
13 Hess, Conoco, Marathon, Mobil, Phillips, and  
14 Texaco are the six owners within the  
15 Vacuum-Glorieta West Unit.

16 And this particular exhibit identifies  
17 the tract in which they own an interest and their  
18 Phase 1 and Phase 2 participation within the  
19 unit.

20 Q. What percentage of the working interest  
21 ownership in this unit is presently supporting  
22 this unit application?

23 A. We have prepared as Exhibit 7 a summary  
24 of working interest owner approval. We have  
25 listed the companies, their Phase 2 participation

1 in two separate columns: Approval of the  
2 development plan and indications of their support  
3 of unitization.

4 In both categories we have 84.79  
5 percent of the working interest owners that have  
6 approved the development plan and have supported  
7 unitization.

8 Q. And the only company to date that  
9 hasn't indicated their support is Marathon?

10 A. Yes, sir. And the reason we did this  
11 is because we did not seek pre-ratification of  
12 the agreement by the parties. So we got a level  
13 of indication of support from our parties, and we  
14 have written confirmation of their support.

15 Q. Could we go now to what has been marked  
16 Texaco Exhibit No. 8? Would you identify that  
17 and review it for Mr. Catanach?

18 A. Yes, sir. Exhibit No. 8 is a summary  
19 of the royalty interest ownership within the  
20 Vacuum-Glorieta West Unit. This information  
21 basically summarizes information that is also  
22 available in Exhibit B to the unit agreement.

23 But what it does is summarizes the  
24 interest that each royalty owner within the unit  
25 owns. It lists the royalty owner, their tract

1 number in which they own their royalty interest,  
2 their percentage of royalty in that tract, the  
3 tract participation of that tract, and finally,  
4 the final two columns, it multiplies their  
5 royalty interest times the tract participation,  
6 which results in their unit participation.

7           You'll note the small number of royalty  
8 interest owners in the unit. In fact, there's  
9 two overriding royalty interest owners listed to  
10 make the list as long as it is. The only royalty  
11 owner that owns in more than one tract, of  
12 course, is the State of New Mexico, which owns in  
13 20 of the 21 tracts.

14           Q.       What percentage of the royalty interest  
15 ownership is presently committed to the unit?

16           A.       Because we have preliminary approval  
17 from the State of New Mexico, they have 98  
18 percent of the Phase 1 royalty interest and 96.7  
19 percent of the Phase 2 royalty interests. So  
20 although we have not sought pre-ratification by  
21 their preliminary approval, we have 98 percent  
22 and 96.7 percent of the royalty committed.

23           Q.       Mr. Mullins, are Exhibits 9 and 10  
24 copies of affidavits from Campbell, Carr, Berge &  
25 Sheridan confirming that the people identified on



1 the attached list have actually received notice  
2 of these applications and today's hearing?

3 A. Yes, sir, they are.

4 Q. As to the statutory unitization  
5 application, has notice been given to all  
6 interest owners, working royalty, and overriding  
7 royalty interest owners?

8 A. Yes, sir, it has.

9 Q. As to the waterflood application, has  
10 notice been provided to the leasehold operators  
11 within a half mile of each injection well and to  
12 the owner of the surface of the land for each of  
13 those wells?

14 A. Yes, sir. In addition, we provided  
15 those to working interest owners as well.

16 Q. Were Exhibits 1 through 10 prepared by  
17 you or compiled under your direction?

18 A. Yes, sir, they were.

19 MR. CARR: At this time, Mr. Catanach,  
20 we move the admission of Texaco Exhibits 1  
21 through 10.

22 EXAMINER CATANACH: Exhibits 1 through  
23 10 will be admitted as evidence.

24 MR. CARR: That concludes my  
25 examination of Mr. Mullins.

1 EXAMINER CATANACH: Mr. Kellahin?

2 MR. KELLAHIN: No questions, Mr.

3 Examiner.

4 EXAMINATION

5 BY EXAMINER CATANACH:

6 Q. Mr. Mullins, the reason that Texaco is  
7 proceeding with statutory unitization is due to  
8 the Marathon interest?

9 A. Not only the Marathon interest, but we  
10 have a slight title problem in one of our tracts  
11 that has not been rectified at this time. So  
12 we're trying to go statutory unitization.

13 Q. What problem is that?

14 A. We have a problem on one of our leases  
15 with the definition of the unitized interval that  
16 was conveyed and previous conveyances before  
17 Texaco acquired it in 1988. And trying to obtain  
18 title to cure it doesn't matter at this time, and  
19 it only affects the working interest.

20 Q. Okay. You've stated that Texaco will  
21 seek the EOR tax credit when the rules come out.  
22 Does that mean Texaco is going to come back to  
23 hearing to do that?

24 MR. CARR: May it please the Examiner,  
25 if that's what the rules require, we will be

1 back. Since the rules are not final, we didn't  
2 feel like we were prepared today to come in and  
3 seek certification of the project. If it's  
4 required that we come back for hearing, we will.

5 If we can do it based on the record  
6 made in this case, we certainly would request  
7 that it be certified based on today's  
8 presentation. But it depends on what the rules  
9 actually say.

10 EXAMINER CATANACH: Okay.

11 Q. (BY EXAMINER CATANACH) Mr. Mullins,  
12 why was the Vacuum-Glorieta Pool, why did Texaco  
13 and Phillips choose to split it and to do  
14 different units?

15 A. That will be brought out further in the  
16 geologist and engineering testimony later on.

17 Q. So it's primarily based on geology?

18 A. Geological and engineering reasons,  
19 yes.

20 Q. Okay. Is Phase 2 of the project, does  
21 that consist of CO<sub>2</sub> injection?

22 A. No. There's a certain duration of  
23 Phase 1, and it's defined in Section 12 of the  
24 unit agreement. It's calculated on how many  
25 barrels have been produced. In fact, Phase 1

1 barrels started being counted as of July 1 of  
2 this year.

3 So when 2 million -- "X" amount of  
4 barrels have been produced, then Phase 2 will  
5 commence.

6 Q. Okay. Has that allocation formula been  
7 agreed to by all the working interest owners with  
8 the exception of Marathon?

9 A. Yes, sir. Well, it was agreed to at  
10 the vote of the working interest owners. It was  
11 agreed to by 80 percent of the working interest  
12 owners.

13 Q. Now, your working interest owners, have  
14 they actually executed the unit agreement and the  
15 operating agreement?

16 A. No, sir. We have not sought  
17 pre-ratification. As soon as the Division issues  
18 its order, we are going to go for ratification.  
19 And everybody is primed and ready to go. We have  
20 80 percent approval of the parties on the form of  
21 agreement. So the form of agreement has  
22 basically been agreed to by at least 80 percent  
23 of the parties.

24 Q. Do you anticipate the joinder of  
25 Marathon?

1           A.       I'm not able to say. I really don't  
2 know.

3           Q.       Do you have approval from the royalty  
4 interest owners and the overriding royalty  
5 interest owners that comprise the remainder of  
6 the royalty interests aside from the one the  
7 state has?

8           A.       No. We have not contacted them yet.  
9 There again we will seek their ratification as  
10 soon as the Division issues its order. They are  
11 a very small number. I think there's eight  
12 royalty owners underneath that one fee tract.  
13 And there's two overriding royalty owners, one  
14 being Arco.

15                   EXAMINER CATANACH: I believe that's  
16 all I have.

17           MR. CARR: At this time we would call  
18 Robert N. Goon.

19                   ROBERT N. GOON

20 Having been duly sworn upon his oath, was  
21 examined and testified as follows:

22                   EXAMINATION

23 BY MR. CARR:

24           Q.       Would you state your full name for the  
25 record, please?

1           A.     Robert N. Goon.

2           Q.     And where do you reside?

3           A.     Midland, Texas.

4           Q.     By whom are you employed?

5           A.     Texaco Exploration & Production, Inc.,  
6 Midland Producing Division.

7           Q.     And what is your position with Texaco?

8           A.     I'm a geologist.

9           Q.     Have you previously testified before  
10 this Division?

11          A.     No.

12          Q.     Would you review for Mr. Catanach your  
13 educational background and then summarize your  
14 work experience?

15          A.     I have a bachelor of science degree in  
16 earth sciences from California State Universtiy,  
17 Bakersfield, plus 24 hours of graduate level  
18 geology courses.

19                 Four of the past eleven years, I have  
20 worked for Texaco, Inc., in various capacities.  
21 I was hired on as a technician in the reservoir  
22 engineering group, Taft District, in Bakersfield,  
23 California, in March of 1981. I then worked as a  
24 geologic assistant from August 1982 until my  
25 promotion to a geologist in August of 1985.

1           While a geologist in California, I  
2 provided geologic support for properties in the  
3 San Joaquin Valley. With the reorganization in  
4 1988, I was transferred to Ventura, California,  
5 where I worked as a property evaluation geologist  
6 until July of 1989. As a property evaluation  
7 geologist, I was responsible for determining the  
8 value of properties available for purchase and  
9 sale.

10           In July of 1989 I was reassigned to the  
11 reservoir group as a reservoir engineer where I  
12 was responsible for reserves, new well  
13 development, and assisting area offices and  
14 maintaining production of 4300 barrels of oil per  
15 day.

16           Since my transfer to Midland in  
17 February of 1991, I have worked as geologist in  
18 the enhanced oil recovery group.

19           Q.     And your geographic area of  
20 responsibility with Texaco includes the portion  
21 of southeastern New Mexico involved in this case?

22           A.     That is correct.

23           Q.     Are you familiar with the applications  
24 that have been filed on behalf of Texaco in each  
25 of the consolidated cases?

1           A.       Yes.

2           Q.       And have you made a geological study of  
3 the portion of the Vacuum-Glorieta Pool which is  
4 involved in these applications?

5           A.       Yes. I have reviewed and updated the  
6 data originally prepared for the proposed  
7 Vacuum-Glorieta Unit by the engineering committee  
8 report dated November of 1990.

9           MR. CARR: We tender Mr. Goon as an  
10 expert witness in petroleum geology.

11           EXAMINER CATANACH: He is so qualified.

12           Q.       (BY MR. CARR) Have you prepared  
13 certain exhibits for presentation here today?

14           A.       Yes, I have.

15           Q.       Could you refer to what has been marked  
16 as Texaco Exhibit No. 11 and using this exhibit  
17 describe the unitized formation for Mr. Catanach?

18           A.       Okay. Exhibit 11, if you'll note the  
19 type log up here on the wall, is a type log of  
20 the Vacuum-Glorieta Pool, which contains the  
21 Glorieta Formation and the Paddock Formation.

22                    The Vacuum-Glorieta Pool is defined as  
23 that interval under the unit area between the top  
24 of the Glorieta at 5,838 feet to the base of the  
25 Paddock at 6,235 feet. This interval is defined



1 on the type log for the Vacuum-Glorieta Unit as  
2 Mobil-Bridges State well No. 95, Section 26,  
3 Township 17 South, 34 East.

4 Q. And this is the type log referenced in  
5 the unit agreement itself?

6 A. It is.

7 Q. Has the portion of this reservoir which  
8 you propose to unitize been reasonably defined by  
9 development?

10 A. Yes, it has.

11 Q. Let's go now to your structure map on  
12 the top of the Glorieta, which is marked Exhibit  
13 No. 12, and I'd ask that you review that for the  
14 Examiner.

15 A. Exhibit 12 is a structure map on top of  
16 the Glorieta, which corresponds on the type log  
17 to this horizon.

18 Q. Which is the uppermost?

19 A. Uppermost on the type log. The contour  
20 map was constructed using structural picks from  
21 the logs correlated to the type log, Exhibit 11.  
22 The contour interval is 10 feet. The shaded area  
23 represents the proposed unit. The contours show  
24 an asymmetric north to northeast anticline  
25 plunging down-dip from a north-south trending

1 dome on the west side of the field.

2 The north-south dome is centered on  
3 Section 36, Texaco "O" State lease. And the  
4 structure plunges off the dome in the west and  
5 east directions.

6 Q. Let's move now to the isopach maps, and  
7 first let's go to Exhibit 13, the isopach of the  
8 gross interval.

9 A. Okay.

10 Q. Could you review that?

11 A. Exhibit 13 is an isopach map of the net  
12 pay for the unitized interval. The net pay for  
13 the Upper and Lower Paddock were combined to make  
14 this map. This exhibit shows the net pay within  
15 the unit ranges from 20 feet to 140 feet. The  
16 140-foot interval is in the Texaco State O-36  
17 lease, Texaco O State, Section 36 lease, and also  
18 corresponds to the high in that same section.

19 Q. Now, this isopach in fact includes all  
20 floodable zones?

21 A. It does.

22 Q. Does it not?

23 A. Uh-huh.

24 Q. And this entire area which is indicated  
25 on this isopach can reasonably be expected to

1 contribute reserves to the unit; is that right?

2 A. Yes.

3 Q. Is there anything else you'd want to  
4 show with your Exhibit No. 13?

5 A. No. I think that covers it.

6 Q. Okay. Let's go to Exhibit No. 14.  
7 Could you explain what this is?

8 A. Exhibit 14 is also an isopach map  
9 strictly of the Lower Paddock Formation, which on  
10 the type log would be the third horizon. And the  
11 areal extent of the Lower Paddock, at least in  
12 floodable thicknesses, is limited to the west  
13 unit.

14 As you can see, on the west side off  
15 our -- or near the end of our unit, there is a  
16 zero producible interval. And also on the east  
17 side it drops down to where we couldn't flood  
18 it.

19 The highest -- the pay range is from 5  
20 to 40 feet. And the high net pay occurs also in  
21 the Section 36, O State lease.

22 Q. So waterflood operations can be  
23 conducted in the Lower Paddock in this portion of  
24 the field?

25 A. Yes.

1           Q.       But the floodable portion is only  
2 present and productive in the western part of the  
3 field?

4           A.       Correct.

5           Q.       And that is the primary reason for  
6 dividing the reservoir as it has been between you  
7 and Phillips, for the formation of two units as  
8 opposed to one?

9           A.       That is correct.

10          Q.       Now, let's go to your Exhibits 15 and  
11 16.

12          A.       Okay.

13          Q.       The cross-sections. And if you could  
14 first identify them, note the trace, and then  
15 review them for Mr. Catanach.

16          A.       Okay.

17          Q.       Exhibits 15 and 16 -- I'll put 16 up in  
18 a minute -- are the cross-sections across the  
19 unit. The cross-sections were constructed from  
20 logs hung on a subsea depth of minus 1800 feet.

21                 The logs shown on the cross-sections  
22 are gamma ray or sonic, logs converted to  
23 porosity log. Or if we have a neutron curve,  
24 they are plotted instead. The dark-filled lines  
25 indicate perforations. And the hachured line is

1 the unit border. If you look on here, that would  
2 be right here in the cross-section.

3 Q. You're showing that on the--

4 A. There is an index map on the  
5 cross-section which shows the line of the  
6 cross-section across the unit.

7 Q. What does this show you?

8 A. The Exhibit 15 shows the dome high on  
9 the west side of the property which corresponds  
10 to Section 36. And that the formations drop off  
11 sharply to the east. On the cross-sections are  
12 posted the tops which correspond to the type log,  
13 the top of the Glorieta, the top of the Upper  
14 Paddock, top of the Lower Paddock, and the base  
15 of the Lower Paddock, or the top of the  
16 Blinebry.

17 The perforations on this cross-section  
18 also indicate the fact that the Lower Paddock is  
19 only producible within the unit boundary.  
20 There's no perforations even in this well on the  
21 unit, inside the unit.

22 Q. And in that Lower Paddock in fact it  
23 shows you're losing both structure and quality as  
24 you move toward the east?

25 A. That is correct.

1 Q. Anything else with Exhibit 15?

2 A. No.

3 Q. Okay. Let's go to your other  
4 cross-section, Exhibit No. 16. Review that for  
5 the Examiner.

6 A. Exhibit No. 16 is a north-south  
7 cross-section through the unit. On the index map  
8 you can see it goes right through the entire unit  
9 towards the east side of the property. Again,  
10 the logs are hung on a subsea depth of minus  
11 1800. The unit borders are the hachured lines,  
12 and the perforations are indicated on the solid  
13 lines.

14 This again shows how the structure  
15 plunges off the unit, actually plunges to the  
16 north and to the south. You can see where it  
17 drops off on either side here, starts as a low,  
18 comes up, peaks in this Section 36 property, and  
19 then drops off to the south.

20 Q. Anything further?

21 A. That's it.

22 Q. Mr. Goon, in your opinion can the  
23 portion of this particular pool, which is  
24 enclosed or included within the proposed unit  
25 area be efficiently and effectively operated

1 under a unit plan of development?

2 A. Yes. The Upper and Lower Paddock are  
3 both water-floodable within the Vacuum-Glorieta  
4 West Unit boundary. The Lower Paddock does not  
5 occur in sufficient quantity to flood in the  
6 east. However, both zones are continuous across  
7 the Vacuum-Glorieta West Unit and thus are prime  
8 candidates for waterflood.

9 Q. Were Exhibits 11 through 16 prepared by  
10 you?

11 A. Yes.

12 MR. CARR: At this time, Mr. Catanach,  
13 we would move Texaco Exhibits 11 true 16.

14 EXAMINER CATANACH: Exhibits 11 through  
15 16 will be admitted as evidence.

16 MR. CARR: That concludes my  
17 examination of Mr. Goon.

18 EXAMINATION

19 BY EXAMINER CATANACH:

20 Q. Am I correct in understanding that the  
21 Lower Paddock is present in the east portion of  
22 the unit but --

23 A. Well, if you look at the isopach, it  
24 drops down, Exhibit 14, the isopach of the lower  
25 Paddock. As you can see, it drops five feet of

1 net producible interval closely after going  
2 toward -- falling off our unit. The structure  
3 dips that direction, and it's just not producible  
4 over there.

5 Q. Is there any production in the east,  
6 proposed east unit in that Lower?

7 A. Lower Paddock? Most of the wells are  
8 not deep enough to be producible over there. But  
9 they have tested some of the wells on that side  
10 of the property, and they haven't produced.

11 Q. Okay. So you've got two main floodable  
12 zones, one being in the Upper Paddock?

13 A. Correct. If you look at the type log,  
14 both the Upper Paddock and the Lower Paddock,  
15 mainly the top 100 feet of each interval are  
16 floodable within the zone, within the unit.

17 Q. And those two zones are separated by  
18 what?

19 A. Well, there's actually just a tight  
20 zone in there. It's all carbonate and dolomites,  
21 and it's just a tighter interval in here.

22 Q. So they're not in communication?

23 A. I can't guarantee that they're not, but  
24 I don't believe that they are. We're not going  
25 to flood them separately.



1           Q.     Do they exhibit the same  
2 characteristics in your proposed unit?  
3 Permeability?

4           A.     The cutoffs used for determining net  
5 pay were the same. And I have not -- I haven't  
6 looked at the core. I haven't looked at the core  
7 to determine if there was significant lithologic  
8 difference. But generally the structure is more  
9 of a limestone up here and a dolomite sand to the  
10 south -- dolomite interval. I'm so used to  
11 saying sands. It's not a sand. I apologize.  
12 California.

13          Q.     The proposed unit boundary generally on  
14 the northwest and south side generally correspond  
15 to field development where the field has been  
16 developed?

17          A.     Run that by again. I didn't quite --  
18 on the northwest side of the property?

19          Q.     Well, let me just ask you how the  
20 northwest and south boundaries of the unit were  
21 determined or were derived.

22          A.     I'll have to defer to Mr. Dunham, the  
23 engineer, on that.

24          Q.     Well, does geology have a part in that?

25          A.     Most of the wells here were drilled in

1 the 60s. And there are significant other flood  
2 units surrounding them, deeper and shallower.  
3 The Abo Unit is significantly deeper and so  
4 penetrated these zones on the way down. And they  
5 didn't have any -- they didn't produce  
6 hydrocarbons out of those zones.

7 So I guess the conclusion you can draw  
8 from that is that if they drilled through it and  
9 it wasn't producible, they didn't produce it.

10 Q. Is the unitized interval fairly easy to  
11 correlate across the proposed unit?

12 A. Yes. I had no problem. The  
13 engineering technical committee did the majority  
14 of the wells which were drilled in the 60s.  
15 Texaco over the last three years has drilled  
16 several wells. I had no trouble correlating  
17 those wells to the older wells at all.

18 EXAMINER CATANACH: That's all I have  
19 of the witness, Mr. Carr.

20 Oh, Mr. Kellahin. I'm sorry.

21 EXAMINATION

22 BY MR. KELLAHIN:

23 Q. I'm still confused by the boundary.  
24 Would you help me understand the geology as we go  
25 around the boundary?

1           A.       Uh-huh.

2           Q.       Let me start with the isopach of the  
3 Lower Paddock. It's simply easier for me to  
4 visualize. When you follow the political  
5 boundary, the configuration of the unit, and  
6 compare it to the reservoir as you've mapped it,  
7 looking at the net isopach on the Lower Paddock,  
8 when you follow that boundary around, are you  
9 looking at the zero contour line on the net  
10 isopach as an element of control for the  
11 political boundary?

12          A.       Actually that's the way it worked out.  
13 The producible interval for the Lower Paddock is  
14 limited to the west side of the property. The  
15 dip on the east side is such that you get some  
16 water encroachment in the Lower Paddock, and it's  
17 not producible.

18                   The technical committee that did the  
19 original report in 1990 did wrestle with this  
20 problem for a while and determined that there  
21 just was no way to map any producible interval in  
22 the Lower Paddock on the east side of the  
23 property.

24          Q.       When you look at the west boundary --

25          A.       Uh-huh.

1           Q.       -- in the Lower Paddock, with the  
2 exception perhaps of the northeast quarter of 26,  
3 that boundary is a reasonable fit to the zero  
4 contour line in the Lower Paddock, this one over  
5 here?

6           A.       Yes.

7           Q.       Do you see what I'm saying?

8           A.       Yes.

9           Q.       You've got an 80-acre tract up here  
10 that's greater than the zero that's not the unit?

11          A.       That's true, but there's only ten feet  
12 of producible interval. And you'll have to ask  
13 our engineer, but in my estimation that's not  
14 floodable.

15          Q.       Okay. That sets me up for you to  
16 explain to me the eastern boundary of your unit  
17 and why you have selected to exclude, for  
18 example, the Marathon tract here that has value  
19 greater than ten that is not yet in the Western  
20 Unit.

21                   Is there a geologic explanation to the  
22 eastern boundary when we look at the Lower  
23 Paddock?

24          A.       Not as much so as there would be an  
25 engineering reason.

1           Q.       Okay. Come up to the isopach Exhibit  
2 13. It's a combination of Lower and Upper  
3 Paddock?

4           A.       Uh-huh.

5           Q.       Why did you do that as opposed to  
6 simply an isopach of the Upper Paddock?

7           A.       Because we planned to flood the entire  
8 -- both intervals. And when you're working --  
9 when you're figuring out the economics for a  
10 flood, you want to take the entire net pay  
11 interval. I have one of those.

12          Q.       Why then do we have a net isopach of  
13 only the Lower Paddock?

14          A.       Because it shows the limitations of the  
15 Lower Paddock. There really as much a limitation  
16 to the Upper Paddock zone as there is to the  
17 Lower Paddock.

18          Q.       When we get to the Upper Paddock, is  
19 the Upper Paddock to be part of the floodable  
20 interval for Phillips' Eastern Vacuum-Glorieta  
21 Unit?

22          A.       Yes, it is.

23          Q.       So at least in that portion of the  
24 reservoir, even if that boundary is not precisely  
25 correct, geologically there is going to be floods

1 on both sides of that?

2 A. Yes. That's easy to explain if you  
3 look at the cross-section because the Upper  
4 Paddock is considerably up-dip of the Lower  
5 Paddock. As you drop down -- well, it shows, as  
6 you -- it shows better on these east-west  
7 cross-sections.

8 As you drop-off of the unit, you can  
9 see how the dip -- this is Section 36, our two  
10 wells. The cross-section goes right through  
11 here. You can see that the dip increases  
12 dramatically, and with that the water  
13 encroachment does at the same time.

14 So they have not been able to produce  
15 the Lower Paddock down here on this side because  
16 it's further down-dip than the Upper Paddock and  
17 therefore it is wet or tight or both.

18 Q. And the choice on the boundary  
19 separation between the east and the west when we  
20 get to the upper Paddock is based upon what?

21 A. The choice between the breakout of the  
22 west and east, at least geologically, is based on  
23 the Lower Paddock, not on the Upper Paddock.

24 MR. KELLAHIN: Okay. Thank you.

25 Thank you, Mr. Examiner.

1 MR. CARR: At this time, Mr. Catanach,  
2 we would call Dan Dunham.

3 DANIEL A. DUNHAM

4 Having been duly sworn upon his oath, was  
5 examined and testified as follows:

6 EXAMINATION

7 BY MR. CARR:

8 Q. Would you state your name for the  
9 record, please?

10 A. Daniel Arthur Dunham.

11 Q. Where do you reside?

12 A. In Midland, Texas.

13 Q. By whom are you employed?

14 A. Texaco.

15 Q. And in what capacity?

16 A. I am a project team leader in the  
17 unitization group in the Midland Producing  
18 Division.

19 Q. Have you previously testified before  
20 the New Mexico Oil Conservation Division?

21 A. No, sir.

22 Q. Could you review your educational  
23 background and work experience for Mr. Catanach?

24 A. In 1982 I received two bachelor degrees  
25 from Purdue University, one in geology, one in

1 geological engineering. From 1928 to the  
2 present, I've been working with Texaco in the  
3 Permian Basin. I've worked five years as an  
4 operations engineer, two years in development,  
5 and in the past three years in reservoir  
6 engineering.

7 Q. Are you familiar with the application  
8 filed in this case?

9 A. Yes, sir.

10 Q. And have you made a study of the area  
11 which is involved in this application?

12 A. Yes, sir.

13 MR. CARR: At this time, Mr. Catanach,  
14 we tender Mr. Dunham as an expert witness in  
15 petroleum engineering.

16 EXAMINER CATANACH: Mr. Dunham is so  
17 qualified.

18 Q. (BY MR. CARR) Mr. Dunham, are you  
19 familiar with the Statutory Unitization Act?

20 A. Yes, sir.

21 Q. Has it been your responsibility to pull  
22 together this presentation for the Commission  
23 here today?

24 A. Yes, it has.

25 Q. Have you prepared certain exhibits for



1 presentation here today?

2 A. Yes, sir.

3 Q. Let me direct your attention to what  
4 has been marked as Texaco Exhibit No. 17, our  
5 well status map, and I'd ask you to review the  
6 information on that exhibit for Mr. Catanach.

7 A. Okay. This exhibit was originally  
8 presented in the development plan, which will be  
9 presented in this hearing as Exhibit 20, your  
10 Exhibit 17.

11 Again, the unit outlined is highlighted  
12 in yellow. The solid dots represent the  
13 producing wells in the proposed unit. At full  
14 development there will be a total of 69 producing  
15 wells. Up to 19 of these wells may require  
16 replacement due to operational and mechanical  
17 conditions. The injection wells are shown as  
18 triangles connected by the pattern lines here.

19 Along the eastern boundary we will be  
20 cooperatively drilling every other well with the  
21 east unit. Our wells are shown as the standard  
22 triangles. The wells -- the east unit we'll be  
23 drilling are inverted triangles. Each unit we'll  
24 be drilling six of those wells.

25 Again I would like to go ahead and

1 explain this situation of how the unit boundary  
2 was drawn. The primary reason, which has been  
3 stated, is that of the lower -- the development  
4 of the Lower Paddock Formation being situated on  
5 the west and absent in the east. The development  
6 of the two floods are going to be separate  
7 because of the existence of that zone.

8 When you get down to the north half of  
9 Section 6, the line was not continued down here.  
10 That would bisect this Marathon tract in the  
11 northwest quarter section of Section 6.

12 A second reason, an engineering reason  
13 that the west is being separated from the east is  
14 operational considerations. There's a lot of  
15 slim-hole completions most predominantly  
16 concentrated in the west hole. These are  
17 tubingless completions, duals, triple  
18 completions, such as that.

19 The New Mexico R State, which is in the  
20 northeast quarter section of Section 6, which is  
21 a Texaco operated tract, also has a large  
22 majority of slim holes in it. We wanted to go  
23 ahead and keep that so that the operators in the  
24 West Unit could handle this situation where it is  
25 absent from that in the east side.

1           Q.       Now, Mr. Dunham, one other thing.  
2       There were questions asked about the  
3       determination not only of the eastern boundary,  
4       which you've just reviewed, but the boundaries to  
5       the north, south, and west. Why were those  
6       boundaries selected?

7           A.       Well, there's a number of dry holes all  
8       around the perimeter of this, dry or wet tests.  
9       A number of other wells also penetrated this  
10      zone. And through log analysis it is determined  
11      that the formation was either absent or would be  
12      wet down-dip such as that. So that is how the  
13      pool development of this field has been  
14      established.

15          Q.       Let's go now to what has been marked as  
16      your Exhibit No. 18. Would you identify that and  
17      review it for Mr. Catanach?

18          A.       Again this exhibit was originally  
19      presented in the development plan as figure 5.  
20      This is the composite curve representing all the  
21      leases that will be contributing to the  
22      Vacuum-Glorieta West Unit.

23                 The green curve is the production  
24      history. You can see that the field was  
25      discovered back in 1963. The purple curve shows

1 the continued primary operations, projected  
2 continued primary. Then the magenta will be the  
3 waterflood project.

4 As you can see listed on this exhibit,  
5 we anticipate fourteen-and-a-half million barrels  
6 of reserves will be recovered from the waterflood  
7 project.

8 Q. Now, have you estimated the additional  
9 costs that will be incurred in developing this  
10 waterflood project?

11 A. Yes, sir, I have.

12 Q. And what are those?

13 A. The incremental operating costs over  
14 the life of the project will increase by \$45.2  
15 million. Total investment for this project will  
16 be \$37.7 million. That includes drilling up to  
17 19 replacement wells that I discussed earlier.  
18 The anticipated present value of performing the  
19 project is \$43 million discounted at 11.5  
20 percent.

21 Q. Okay. So what you're saying is that,  
22 over and above the costs that you have  
23 identified, the value of the additional reserves  
24 should be \$43 million?

25 A. Correct.

1           Q.       What actual price was utilized in  
2       computing these figures?

3           A.       We used \$20 per barrel of oil held  
4       constant. And a detailed breakout of the project  
5       economics is provided in the development plan,  
6       again Exhibit 20 of this hearing.

7           Q.       Mr. Dunham, previous exhibits have  
8       indicated that all working interest owners in the  
9       proposed unit area are prepared to commit their  
10      interests except Marathon. My question is why is  
11      it important to statutorily unitize this area  
12      thereby having all tracts included in the unit?

13          A.       Again I would like to refer back to  
14      Exhibit 17. The two Marathon tracts are the  
15      southwest quarter section of Section 25 and the  
16      northwest quarter section of Section 6.

17                 As you can see, the exclusion of the  
18      southwest quarter of Section 25 would leave a  
19      window in this unit. It would also isolate part  
20      of Mobil Bridges State over here as identified as  
21      the east half of the southeast quarter, Section  
22      26.

23                 The exclusion of the Marathon tract in  
24      the northwest quarter section of Section 6 would  
25      isolate Texaco's New Mexico R State NCT-1 lease

1 located in the northeast quarter section of  
2 Section 6.

3 It would be necessary to eliminate 14  
4 injection wells in order to accommodate the  
5 removal of the Marathon properties. Not only  
6 would the recovery potential be lost on their  
7 tracts, but it would also be lost on all but  
8 one-half patterns which offset their tracts.

9 It would be necessary for the remaining  
10 partners to completely reevaluate the production  
11 schedule and attempt to agree to participation in  
12 a project that would exclude these tracts.

13 And from a technical viewpoint, you  
14 know, the exclusion of the tracts would waste and  
15 lose potential recovery. And from a business  
16 standpoint, going back to the renegotiations, it  
17 could drag out this project for years, if we  
18 could ever come to agreement again.

19 Q. So, Mr. Dunham, if in fact we are going  
20 to be able to obtain the projected  
21 fourteen-and-a-half million barrels of additional  
22 oil, it's necessary that the entire West Unit  
23 area be included within the unit; is that what  
24 you're saying?

25 A. Yes, sir.

1           Q.       In your opinion is unitized management,  
2 operation, and further development of the portion  
3 of the pool covered by this application  
4 reasonably necessary to substantially increase  
5 the ultimate recovery of oil from the unitized  
6 area as you've indicated on Exhibit 18?

7           A.       Yes, sir.

8           Q.       In your opinion are the unitized  
9 methods of operation as you propose to apply to  
10 this unit area feasible?

11          A.       Yes, sir.

12          Q.       And what methods are we actually  
13 talking about here?

14          A.       Waterflooding.

15          Q.       Will the method of operation following  
16 unitization result in your opinion in a  
17 reasonable probability in the increased recovery  
18 of hydrocarbons?

19          A.       Yes, sir.

20          Q.       What is the basis of the participation  
21 formula set out in this unit agreement?

22          A.       Okay. As stated earlier, this is a  
23 two-phased formula. Phase 1 is heavily weighted  
24 in remaining primary reserves and current  
25 production to ensure that all productive tracts

1 will recover their fair share of remaining  
2 primary production while maintaining their  
3 current revenue levels.

4 Phase 1 lasts until 2.175 million  
5 barrels of oil have been produced. It is  
6 anticipated that this will occur in 1995.

7 Phase 2 is heavily weighted in  
8 cumulative oil production and current rate, which  
9 are good indicators of the better quality  
10 reservoir which will be most conducive to  
11 waterflood operation.

12 Also, volumetric oil was included to  
13 ensure that all floodable pay that would benefit  
14 from waterflood operations has been included.

15 Q. In your opinion does this formula  
16 allocate production to the separately owned  
17 tracts in the proposed unit area on a fair,  
18 reasonable, and equitable basis?

19 A. Yes, sir.

20 Q. Is the unitization as proposed  
21 necessary to effectively carry on successful  
22 secondary recovery operations as you are  
23 proposing?

24 A. Yes, sir.

25 Q. Let's go for a few minutes to the



1     portion of this case which relates to the  
2     waterflood application. Are you familiar with  
3     the waterflood application for the unit?

4             A.     Yes, sir.

5             Q.     Could you identify what has been marked  
6     as Texaco's Exhibit No. 19?

7             A.     That is the completed Form C-108.

8             Q.     Let's go to that exhibit, and I would  
9     ask you to first refer to the material behind the  
10    tab marked "Proposed Injection Wells." Could you  
11    identify that material and review it for Mr.  
12    Catanach?

13            A.     Yes. The first sheet here identifies  
14    the Bridges State Well No. 113, which is the  
15    farthest north well. This is the only well that  
16    will be converted from production to injection.  
17    Following that is a list of all the newly drilled  
18    injection wells that we proposed for this unit.

19            Q.     And how many wells do you propose to  
20    drill?

21            A.     There will be 59 new wells and 1  
22    conversion for a total of 60 wells.

23            Q.     Let's now go to the portion of the  
24    exhibit behind the tab marked Exhibit Roman  
25    Numeral V, identify that, and review it.

1           A.       Okay. This shows the area of review.  
2 This is a one-half mile radius around all the  
3 proposed injection wells for the unit. There is  
4 an expanded version in the back pocket of the  
5 C-108.

6           Q.       Does that enlarged version of this  
7 exhibit indicate the leasehold ownership within  
8 two miles of each injection well?

9           A.       Yes, sir, it does.

10          Q.       What injection pattern does Texaco  
11 propose to use?

12          A.       If I could refer back again to Exhibit  
13 17, we will develop on a 40-acre, 5-spot  
14 injection pattern by drilling injection wells on  
15 20-acre spacing between the existing producing  
16 wells.

17          Q.       Now, let's go to the wells that are  
18 within the unit area and also within the area of  
19 review and refer to those two tabs in Exhibit  
20 19.

21          A.       Okay. These are all the wells which  
22 penetrate our injection zone within the area of  
23 review. We've broken it out into those wells  
24 which reside in the unit area and those that  
25 reside outside but within the area of review.

1           This includes a wellbore diagram for  
2 each well showing the location, casing records,  
3 cement records, total depth, completion record,  
4 spud date, completion date and current status for  
5 each well.

6           Q.       Does this exhibit also contain  
7 schematic drawings of all plugged and abandoned  
8 wells within the areas of review?

9           A.       Yes, sir. If you refer to the two tabs  
10 identified as "P & A Wells Inside the Unit" and  
11 "P & A Wells Outside the Unit," here again, the  
12 same way it shows the wells within the unit area  
13 and between the unit area and area of interest.  
14 It shows all the plugging details and shows  
15 casing strings left in the wells.

16          Q.       And how many plugged and abandoned  
17 wells are we actually talking about?

18          A.       Total of fifteen, twelve inside the  
19 unit and three outside the unit.

20          Q.       Are there any plugged and abandoned  
21 wells that need to be repaired or pose any  
22 problems in terms of the effective operation of  
23 this waterflood project or contamination of  
24 freshwater?

25          A.       No, sir. All the wells were plugged in

1     accordance with state rules.

2           Q.     Let's go now to the portion of this  
3     exhibit which refers to typical injection well.  
4     And I'd ask you to review the schematic drawings  
5     of the proposed injection well.

6           A.     Okay.   First, there's an injection well  
7     data sheet for the Bridges State well, which is  
8     the well we're going to be converting to  
9     injection from production.   Following that is the  
10    wellbore diagram existing in that well.

11                  As you can see, cement was brought to  
12    surface on both strings of casing.   We intend to  
13    utilize 2-3/8 inch cement line tubing and a Baker  
14    81 tension packer.

15                  Following that are two examples of new  
16    drilled injection wells that we propose, one in  
17    what we call the water flow area and one in a  
18    non-water flow area.

19           Q.     First, what are we talking about when  
20    we say in the water flow area?

21           A.     As you drill through the salt sections  
22    above 3,000 feet, and we have experienced in the  
23    past water flows from this interval.   When those  
24    water flows are great enough, it is necessary to  
25    run an additional string of casing as you get

1 through those, cement it, and then drill your  
2 production stream.

3 We anticipate approximately a quarter  
4 of the field may experience this, but past  
5 drilling has shown that this is actually abating  
6 and we may not see the severity of it as we have  
7 in the past.

8 Q. Okay. Let's go back to the schematic  
9 drawings and just review those for Mr. Catanach.

10 A. Here again we'll ensure that cement is  
11 brought to surface on all strings of casing. We  
12 will be using 2-3/8 inch cement line tubing and a  
13 Baker 81 tension packer. And we'll be setting  
14 that packer within 100 feet of perforations or  
15 openhole.

16 Q. Now, at full development you're  
17 anticipating 60 injection wells; correct?

18 A. Correct.

19 Q. And how many of those wells are  
20 actually going to be cooperative wells between  
21 the west and east units?

22 A. Six of those wells we will  
23 cooperatively operate, and then six the east  
24 will.

25 Q. And you're going to drill all of these

1 with the exception of the one well you have  
2 identified that you'll be converting from  
3 producing status to conversion?

4 A. That's correct.

5 Q. What is the status of your plans for a  
6 cooperative agreement along the eastern boundary  
7 of the proposed unit area?

8 A. As stated a cooperative injection  
9 agreement will be developed between the  
10 Vacuum-Glorieta West Unit and future waterflood  
11 operations to the east of our unit.

12 We also have an interest in the  
13 proposed east unit, so we are active in their  
14 negotiations. Their plan of development includes  
15 their obligation of the wells, and we have agreed  
16 tentatively that this is how the two units will  
17 be developed.

18 Q. And if something should happen and the  
19 east unit isn't formed, you would then be in a  
20 position to negotiate lease line agreements with  
21 the individual operators along that boundary?

22 A. Correct. That is the procedure we  
23 would follow.

24 Q. How soon do you need to have those  
25 agreements actually in place?

1           A.       We anticipate it will be two years  
2 before we really need to drill those wells. And  
3 we anticipate that the east will be in an active  
4 unit by that period.

5           Q.       How do you propose to stimulate wells  
6 in the West Unit?

7           A.       We'll be doing selective perforation in  
8 small acid treatments.

9           Q.       Now, in terms of the waterflood of this  
10 unit, you're actually proposing to flood with  
11 freshwater; is that correct?

12          A.       Yes, sir, that is correct.

13          Q.       What is the source of this water?

14          A.       The Ogallala Formation.

15          Q.       Have you reviewed this matter with the  
16 New Mexico Commissioner of Public Lands?

17          A.       Yes, sir.

18          Q.       And basically where do your  
19 negotiations with the Commissioner stand in terms  
20 of using freshwater to supplement waterflood  
21 operation in the unit?

22          A.       We met with them on a number of  
23 occasions, and they have given us preliminary  
24 approval with the stipulation that we will  
25 revisit this issue in three years after the unit

1 is approved.

2 We'll at that time look at our  
3 freshwater requirements, look at what is  
4 available, and reevaluate it and submit our  
5 findings to them.

6 Q. In your meetings with the Commissioner  
7 of Public Lands, have you reviewed with him the  
8 demands for water for all the waterflood projects  
9 in the area as indicated on Exhibit No. 1?

10 A. Yes, sir, we have.

11 Q. Was it after that review that the Land  
12 Office was willing to approve the use of the  
13 injection of freshwater in this waterflood  
14 project?

15 A. Yes, sir.

16 Q. What will be the maximum daily  
17 injection rate per well?

18 A. One thousand barrels per day per well.

19 Q. Will this be a closed system?

20 A. Yes, sir.

21 Q. Are you going to be injecting by  
22 gravity or under pressure?

23 A. We will be initially injecting by  
24 gravity, but as we reach fill-up, we anticipate  
25 catching pressure.



1 Q. What would be the maximum pressure you  
2 would request be authorized in the order that  
3 results from hearing?

4 A. One thousand two hundred and twenty  
5 pounds PSIG.

6 Q. Is that a pressure that is consistent  
7 with a two-tenths pound per foot of depth  
8 limitation to the top of the injection interval?

9 A. Yes, it is.

10 Q. Does Texaco request authority to  
11 increase injection pressure without the necessity  
12 of further hearings if it can demonstrate to the  
13 Division that injection pressure increases will  
14 not cause injection fluid to escape in the  
15 injection interval?

16 A. Yes, sir.

17 Q. Does Exhibit 19 contain water analyses  
18 of the injection fluid?

19 A. Exhibit 7.

20 Q. In Exhibit 19?

21 A. Yes. Exhibit 7 of the C-108, on the  
22 section page we do have a sample recently taken  
23 of produced water from Vacuum-Glorieta.

24 Q. And you will be injecting some produced  
25 water?

1           A.       We will be reinjecting all our produced  
2 water in this project. Following that is a  
3 number of freshwater analyses from the Ogallala.

4           Q.       And the Ogallala is a freshwater zone  
5 in the area?

6           A.       Yes, sir.

7           Q.       Are there other freshwater zones?

8           A.       No, sir.

9           Q.       Are the wells throughout the proposed  
10 unit area going to be cased through this  
11 freshwater zone?

12          A.       Yes, sir.

13          Q.       Are there any freshwater supply wells  
14 within a mile of any proposed injection well?

15          A.       Yes, sir.

16          Q.       And are they identified in Exhibit 19?

17          A.       Yes, they are.

18          Q.       Whereabouts would they be found?

19          A.       Under Exhibit 11. You can see on the  
20 second page there is a map of our area of review  
21 with the 16 freshwater wells identified on it.  
22 Following that again is the freshwater analysis  
23 for each one.

24          Q.       And these are all producing from the  
25 Ogallala?

1           A.       Yes, sir.

2           Q.       Now, in terms of logs on wells in the  
3 unit area, the one well you're proposing to  
4 convert to injection, that log is on file with  
5 the Division, is it not?

6           A.       Yes, sir.

7           Q.       Then as you drill additional injection  
8 wells, those logs will be filed?

9           A.       Yes, sir.

10          Q.       Are you aware of similar applications  
11 for waterflooding which have been granted in the  
12 immediate area of this project area?

13          A.       Yes. It's been pointed out in Exhibit  
14 1 the number of active projects out there. I  
15 will list a few of them: The Vacuum-Grayburg-San  
16 Andres Unit, Central-Vacuum Unit, North  
17 Vacuum-Abo Unit, East Vacuum-Grayburg-San Andres  
18 Unit, Vacuum-Abo Unit, North Vacuum-Abo West  
19 Unit.

20          Q.       Does Texaco request an administrative  
21 procedure whereby additional wells can be  
22 converted to injection without the necessity of  
23 additional hearing?

24          A.       Yes, sir.

25          Q.       In your opinion will approval of this

1 application for waterflooding result in the  
2 recovery of oil that otherwise will be left in  
3 the ground?

4 A. Yes, sir.

5 Q. Will approval of this application  
6 impair the correlative rights of any owner in the  
7 project area?

8 A. No, sir.

9 Q. As to the application for statutory  
10 unitization, do you believe approval of that  
11 application would also prevent waste and protect  
12 correlative rights?

13 A. Yes.

14 Q. Could you identify what has been marked  
15 as Texaco Exhibit No. 20?

16 A. Again we referred to it, this is the  
17 unitization and waterflood development plan,  
18 which has been discussed earlier and has been  
19 provided to all the working interest owners and  
20 to the State Land Office.

21 Q. And this contains the economic  
22 calculations that you referenced earlier and also  
23 several of the plats that you have utilized in  
24 your presentation?

25 A. Yes, sir.

1 Q. Were Exhibits 17 through 20 prepared by  
2 you?

3 A. Yes, sir.

4 MR. CARR: At this time, Mr. Catanach,  
5 we would move the admission of Texaco Exhibits 17  
6 through 20.

7 EXAMINER CATANACH: Exhibits 17 through  
8 20 will be admitted as evidence.

9 Q. (BY MR. CARR) Mr. Dunham, how soon  
10 would Texaco be prepared to go forward with the  
11 actual implementation of this project?

12 A. All of our partners are aware of our  
13 progress and are anxious to get this implemented  
14 this year. We would desire to begin injection in  
15 September of this year in order to spend ours and  
16 others' budgeted moneys and get this project  
17 going as fast as possible.

18 Q. And companies that are involved have  
19 been notified of this hearing and are ready to  
20 ratify as soon as we have an order?

21 A. Yes, sir.

22 Q. And you're hoping to be ready to go  
23 forward with the unit operations as early as  
24 September of this year?

25 A. Yes, sir.

1 MR. CARR: That's all I have of Mr.  
2 Dunham.

3 EXAMINER CATANACH: Mr. Kellahin.

4 EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Give me a reference as to the manner in  
7 which the final participation formula was  
8 selected by the working interest owners and the  
9 support balloted for going forward with the  
10 project. Was that accomplished or undertaken at  
11 a working interest owners meeting?

12 A. Yes, sir.

13 Q. What was the approximate date of that  
14 meeting?

15 A. It was in the end of October.

16 Q. Of 91?

17 A. Of 1991. I may be corrected to say the  
18 end of November of 1991.

19 Q. Fall, November, early winter of 91,  
20 there's a working interest owners meeting in  
21 which the participants come together and take  
22 action on various recommendations for a  
23 participation formula?

24 A. Yes, sir.

25 Q. Have there been any formal working

1 interest owner meetings since the November  
2 meeting?

3 A. Yes. We had one.

4 Q. And what was the purpose of that  
5 meeting?

6 A. We called the parties in to basically  
7 update them on the progress that we were making  
8 towards unitization just as information.

9 Q. It was not to ballot on participation?

10 A. No, sir.

11 Q. When the working interest owners get  
12 together to negotiate, ballot for participation,  
13 it's generally done based upon parameters  
14 developed by a technical committee?

15 A. Correct.

16 Q. And was a technical committee formed,  
17 and they do technical work for this particular  
18 project?

19 A. Correct.

20 Q. All right. The reservoir parameters  
21 developed by the technical committee, I didn't  
22 find any of that in the exhibits presented in  
23 today's hearing. Did you have those presented  
24 here?

25 A. No, sir. The ones that were selected

1       were as far as the participation, but the actual  
2       values were not submitted here.

3           Q.       All right. The technical committee  
4       report is not one of the exhibits here at the  
5       hearing?

6           A.       No, sir.

7           Q.       Okay. When the working interest owners  
8       got together and balloted in November, how many  
9       ballots were taken before you got the level of  
10      support that you have told us you have for the  
11      project?

12          A.       Ballot No. 32 is the one that you see  
13      here presented.

14          Q.       Okay. And what was the level of  
15      support from the working interest owners on this  
16      ballot that got us this participation formula?

17          A.       Approximately 80 percent in both Phase  
18      1 and Phase 2.

19          Q.       Okay. This particular formula, has  
20      this been used in other waterflood projects in  
21      similar floods in this area, or is this  
22      particular formula unique to this project?

23          A.       I would say that I can't answer that.  
24      I did not compare it to other projects.

25                   MR. KELLAHIN: Okay. Thank you, Mr.



1 Examiner.

2 EXAMINATION

3 BY EXAMINER CATANACH:

4 Q. Mr. Dunham, let me just go over some  
5 figures with you again just to make sure I have  
6 them correct. Recoverable reserves under  
7 secondary operations, approximately  
8 fourteen-and-a-half million barrels?

9 A. Yes, sir. That is the incremental  
10 above waterflood, continued waterflood.

11 Q. Okay. A total investment of  
12 approximately \$37.7 million --

13 A. Correct.

14 Q. -- for the whole project. And value of  
15 the secondary reserves is \$43 million?

16 A. Net present value.

17 Q. Net present value. Were the reserves  
18 broken out in any fashion as to the Lower or  
19 Upper Paddock?

20 A. In the technical report the Lower and  
21 Upper Paddock have been broken out as far as  
22 original oil in place. But as far as the -- when  
23 we did our modeling, we were looking at flooding  
24 both zones simultaneously.

25 Q. So you don't have a figure on what

1     might be recovered from each of those zones?

2           A.     No, sir. It could be developed, but I  
3     do not have it here.

4           Q.     Okay. Mr. Dunham, did you look at area  
5     of review wells in and out of the unit area to  
6     determine if they were all constructed in a  
7     manner that would ensure a non-migration of  
8     injected fluid?

9           A.     Yes, sir, I did. Every one of these  
10    wellbore diagrams was developed by me. So I  
11    looked at every one individually a number of  
12    times.

13          Q.     Okay. What conclusion did you reach  
14    when you did that?

15          A.     I did not identify one well that would  
16    be a problem.

17          Q.     Approximately how many area of review  
18    wells are we talking about?

19          A.     Approximately 200.

20          Q.     Are these 200 wells, are they fairly  
21    new in terms of -- when were most of them  
22    drilled?

23          A.     Yes, sir. I would say the majority of  
24    them were drilled in the mid- to late-60s and  
25    then some more recent drilling. But the majority

1 back in the 60s.

2 Q. Quite a few of these wells look like  
3 they have cement circulated on both strings or  
4 all three strings. Is that generally the  
5 practice back then?

6 A. Yes, sir. And in some events where  
7 that was not the case, many have reentered these  
8 wells and brought cement to surface through  
9 squeeze perforations.

10 Q. Is that due to the difficulty that  
11 you've encountered in the salt section?

12 A. I think that that is what initiated a  
13 lot of that work.

14 Q. You say that problem seems to be  
15 abating. What do you base that opinion on?

16 A. We've -- Texaco has done a considerable  
17 amount of drilling, I would say 12 wells plus or  
18 minus, over the last five years. And where  
19 areas, like, offset to where we might have seen a  
20 severe waterflood problem seems to be not as  
21 critical in these newer wells.

22 Q. It's still present; it's just not as  
23 bad as it was?

24 A. That's correct.

25 Q. In your participation formula where did

1 the figure 2.1 -- was it 2.175 million barrels  
2 produced?

3 A. Yes.

4 Q. And then Phase 2 kicks in?

5 A. Yes. That was agreed to by the parties  
6 in the Vacuum-Glorieta West Unit as to when to  
7 switch phases.

8 Q. What was that based on?

9 A. It was based on a compromise of what we  
10 projected the remaining primary reserves were to  
11 get people to participate to the formula, to  
12 agree to the formula.

13 Q. Okay. You stated that the Commissioner  
14 of Public Lands has approved the use of  
15 freshwater for injection?

16 A. Yes, sir.

17 Q. Is that contained in the unit agreement  
18 or the operating agreement? Where does it state  
19 that you're going to use freshwater?

20 A. In our plan of development we talk  
21 about using freshwater.

22 Q. Okay. And he has approved the plan of  
23 development?

24 A. Yes. That was submitted at the  
25 preliminary approval meeting.

1 MR. CARR: Mr. Catanach, we've  
2 discussed this as recently as a week ago today  
3 with Mr. Carson and since that time have talked  
4 with Pete Martinez.

5 And they have advised us that all their  
6 questions have been answered and they will be  
7 ready to give final approval as soon as we get  
8 the order. And the water issue will not hold  
9 that up, that they're satisfied on that point.

10 Q. (BY EXAMINER CATANACH) Okay. Mr.  
11 Dunham, are the majority of the wells within the  
12 proposed unit area, are they currently marginal  
13 producers?

14 A. I would say that the majority are under  
15 stripper status.

16 Q. Are there any top allowable wells?

17 A. No, sir, not in the Vacuum-Glorieta  
18 West Unit.

19 EXAMINER CATANACH: I believe that's  
20 all I have.

21 MR. CARR: Let me just follow up on one  
22 thing.

23 FURTHER EXAMINATION

24 BY MR. CARR:

25 Q. Mr. Dunham, we were talking about the

1 costs associated with this effort. And you  
2 stated that there were \$37.7 million in  
3 additional costs. What are those for?

4 A. That is the capital investment in the  
5 project. On top of that there's also \$45.2  
6 million of additional operating costs.

7 Q. Okay. Above those two cost elements,  
8 does the value of the oil you hope to obtain  
9 exceed that amount?

10 A. By \$43 million.

11 MR. CARR: That's all I have.

12 EXAMINER CATANACH: Okay. Anything  
13 further of this witness?

14 MR. KELLAHIN: May I have a brief  
15 meeting with Mr. Carr for just a second?

16 EXAMINER CATANACH: Sure.

17 MR. CARR: I don't know if I want to.

18 [A discussion was held off the record.]

19 MR. CARR: Mr. Catanach, I have one  
20 question for Mr. Dunham just to correct something  
21 that I think he may have misunderstood your  
22 question on.

23 Q. (BY MR. CARR) Mr. Dunham, you  
24 responded to a question from Mr. Catanach  
25 concerning the 14.5 million barrel figure in your

1 testimony. What is that? What does that number  
2 represent?

3 A. That is the incremental recovery above  
4 continued primary operations from the waterflood  
5 project.

6 MR. CARR: And other than that, that  
7 concludes our presentation, and we would -- I  
8 have prepared proposed orders granting both  
9 applications that I would like to submit to you  
10 with a request that the orders in the case be  
11 expedited.

12 That's all we have.

13 EXAMINER CATANACH: Okay. Anything  
14 further, Mr. Kellahin?

15 MR. KELLAHIN: No, sir.

16 EXAMINER CATANACH: There being nothing  
17 further, Cases 10515 and 10516 will be taken  
18 under advisement.

19 [And the proceedings were concluded at  
20 the approximate hour of 12:45 p.m.]

21

22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. \_\_\_\_\_  
heard by me on \_\_\_\_\_ 19\_\_\_\_.

\_\_\_\_\_, Examiner  
Oil Conservation Division


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO     )  
                                  ) ss.  
COUNTY OF SANTA FE     )

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL JULY 28, 1992.



DEBBIE VESTAL, RPR  
NEW MEXICO CSR NO. 3