

STATE OF NEW MEXICO  
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
 OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )	
CALLLED BY THE OIL CONSERVATION )	
DIVISION FOR THE PURPOSE OF )	
CONSIDERING: )	CASE NOS. 11,297
)	11,298
APPLICATIONS OF EXXON CORPORATION )	(Consolidated)
_____ )	

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

Volume I

June 29th, 1995

Hobbs, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday and Friday, June 29th and 30th, 1995, at Hobbs City Hall, Commission Hearing Room, 300 North Turner, Hobbs, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7, State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
 (505) 989-9317

## I N D E X (Volume I)

June 29th, 1995  
 Examiner Hearing  
 CASE NOS. 11,297 and 11,298 (Consolidated)

	PAGE
EXHIBITS	3
APPEARANCES	5
OPENING STATEMENT	
By Mr. Kellahin	9
By Mr. Bruce	11
APPLICANT'S WITNESSES:	
<u>JOE B. THOMAS</u> (Landman)	
Direct Examination by Mr. Bruce	12
Cross-Examination by Mr. Kellahin	25
Redirect Examination by Mr. Bruce	36
<u>DAVID L. CANTRELL</u> (Geologist)	
Direct Examination by Mr. Bruce	38
Cross-Examination by Mr. Kellahin	55
Redirect Examination by Mr. Bruce	76
<u>GILBERT G. BEUHLER</u> (Engineer)	
Direct Examination by Mr. Bruce	78
Cross-Examination by Mr. Kellahin	104
Redirect Examination by Mr. Bruce	121
Recross-Examination by Mr. Kellahin	123
Further Examination by Mr. Bruce	125
Examination by Examiner Stogner	125
YATES PETROLEUM CORPORATION WITNESSES:	
<u>DAVID F. BONEAU</u> (Engineer)	
Direct Examination by Mr. Carr	131
Examination by Mr. Bruce	162
Cross-Examination by Mr. Kellahin	162
REPORTER'S CERTIFICATE	173

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	13	24
Exhibit 2	15	24
Exhibit 3	15	24
Exhibit 4	17	24
Exhibit 4-A	17	24
Exhibit 5	18	24
Exhibit 5-A	18	24
Exhibit 6-A	18	24
Exhibit 6-B	18	24
Exhibit 7	19	24
Exhibit 8	23	24
Exhibit 9	24	24
Exhibit 10	40	54
Exhibit 11	42	54
Exhibit 12	44	54
Exhibit 13	48	54
Exhibit 14	49	54
Exhibit 15	49	54
Exhibit 16	51	54
Exhibit 17	52	54
Exhibit 18	52	54
Exhibit 19	53	54
Exhibit 20	80	104
Exhibit 21	81	104
Exhibit 22	82	104
Exhibit 23	83	104
Exhibit 24	84	104
Exhibit 25	85	104
Exhibit 26	86	104
Exhibit 27	87	104

(Continued...)

## E X H I B I T S (Continued)

Applicant's	Identified	Admitted
Exhibit 28	88	104
Exhibit 29	89	104
Exhibit 30	91	104
Exhibit 31	93	104
Exhibit 32	93	104
Exhibit 33	94	104
Exhibit 34	95	104
Exhibit 35	96	104
Exhibit 36	97	104
Exhibit 37	98	104
Exhibit 38	101	104
Exhibit 39	103	104

\* \* \*

Yates Petroleum Corp.	Identified	Admitted
Exhibit 1	133	161
Exhibit 2	134	161
Exhibit 3	139	161
Exhibit 4	153	161
Exhibit 5	-	161
Exhibit 6	135	161
Exhibit 7	135	161
Exhibit 7 (3-D)	143	146

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

HINKLE, COX, EATON, COFFIELD & HENSLEY  
218 Montezuma  
P.O. Box 2068  
Santa Fe, New Mexico 87504-2068  
By: JAMES G. BRUCE  
and  
SCOTT LANSDOWN  
Counsel, Exxon Company, U.S.A.  
P.O. Box 1600  
Midland, Texas 79702-1600

## FOR PREMIER OIL AND GAS, INC.:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

## FOR YATES PETROLEUM CORPORATION:

CAMPBELL, CARR & BERGE, P.A.  
Suite 1 - 110 N. Guadalupe  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: WILLIAM F. CARR

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   10:55 a.m.:

3           EXAMINER STOGNER: This hearing will come to  
4   order.

5           I'll call next case, Number 11,297.

6           MR. CARROLL: Application of Exxon Corporation  
7   for a waterflood project, qualification for the recovered  
8   oil tax rate pursuant to the "New Mexico Enhanced Oil  
9   Recovery Act" for said project, and for 18 nonstandard oil  
10  well locations, Eddy County, New Mexico.

11          EXAMINER STOGNER: Call for appearances in this  
12  matter.

13          MR. BRUCE: Mr. Examiner, Jim Bruce from the  
14  Hinkle law firm in Santa Fe, representing the Applicant.

15          I'm appearing today in association with Scott  
16  Lansdown, Counsel for Exxon Corporation.

17          We have three witnesses to be sworn.

18          And also at this time we would ask that the next  
19  case, 11,298, be consolidated with the injection  
20  Application.

21          EXAMINER STOGNER: Are there any objections to  
22  the consolidation of Cases 11,297 and 11,298?

23          Okay, at this time I'll also call Case Number  
24  11,298.

25          MR. CARROLL: Application of Exxon Corporation

1 for statutory unitization, Eddy County, New Mexico.

2 EXAMINER STOGNER: Call for appearances in this  
3 matter.

4 MR. BRUCE: Jim Bruce and Scott Lansdown again,  
5 Mr. Examiner.

6 EXAMINER STOGNER: Are there any other  
7 appearances in both cases, or either case?

8 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
9 the Santa Fe law firm of Kellahin and Kellahin, appearing  
10 this morning on behalf of Premier Oil and Gas, Inc.

11 We're requesting the Division to exclude from the  
12 unit the Premier Oil and Gas, Inc., leases, so we are an  
13 opponent in this case.

14 EXAMINER STOGNER: In both cases, I would assume,  
15 since they're consolidated?

16 MR. KELLAHIN: Yes, sir.

17 EXAMINER STOGNER: Okay, any other appearances?

18 MR. CARR: May it please the Examiner, my name is  
19 William F. Carr with the Santa Fe law firm Campbell, Carr  
20 and Berge.

21 We represent Yates Petroleum Corporation in this  
22 matter.

23 We're appearing in support of the Applications  
24 filed by Exxon, and I have one witness.

25 EXAMINER STOGNER: That's Premier and Yates and

1 Exxon.

2 Are there any other appearances in this matter,  
3 or these matters?

4 MR. BRUCE: Mr. Examiner, I don't think there's  
5 any other appearances.

6 At the end of the hearing I believe there will be  
7 a couple of persons to make statements on behalf of Unit  
8 Petroleum and MWJ Producing Company.

9 EXAMINER STOGNER: So they will just be party of  
10 record --

11 MR. BRUCE: Yes, they will make a statement of  
12 record.

13 EXAMINER STOGNER: There being no further  
14 appearances at this time, Mr. Bruce, how many witnesses do  
15 you have?

16 MR. BRUCE: Three.

17 EXAMINER STOGNER: Will these witnesses please  
18 stand?

19 Mr. Kellahin, how many witnesses do you have?

20 MR. KELLAHIN: Potentially four, Mr. Examiner

21 EXAMINER STOGNER: Why don't we have all four  
22 stand to be sworn?

23 And Mr. Carr?

24 MR. CARR: I have one witness.

25 EXAMINER STOGNER: Will your witness please



1 stand? Everybody remain standing at this time.

2 (Thereupon, the witnesses were sworn.)

3 EXAMINER STOGNER: Gentlemen, are there any need  
4 for opening statements, or shall we just get into the  
5 testimony?

6 MR. KELLAHIN: I'd like to state my position, Mr.  
7 Examiner, if it's appropriate.

8 EXAMINER STOGNER: Mr. Bruce, do you have any  
9 problem with this?

10 MR. BRUCE: I don't have any problem with it.

11 EXAMINER STOGNER: Mr. Kellahin, do you want to  
12 state your position?

13 MR. KELLAHIN: Mr. Examiner, I'm sure you'll see  
14 a unit outline map here very shortly. The proposed unit  
15 has been the subject of discussion between Ken Jones as the  
16 principal involved in Premier Oil and Gas, Inc., for some  
17 time now.

18 The technical work reports that Exxon has shared  
19 with us will be the subject of debate by my experts.

20 Our evidence will indicate to you that there is a  
21 substantial disagreement by Mr. Jones and his technical  
22 experts with regards to the allocation of hydrocarbon pore  
23 volume for the tracts that he owns and controls.

24 When you see the unit map, you're going to see  
25 the four 40-acre tracts that Premier has under lease, and

1 they're stacked one on top of the other. When you look at  
2 the maps, you'll see that the east half of the east half of  
3 Section 25 are the tracts that we have in dispute.

4 The evidence will demonstrate to you that based  
5 upon Exxon's calculations, they have concluded that there  
6 is no primary value of Mr. Jones's tracts.

7 They have further concluded that there is no  
8 secondary value of his tracts.

9 They say if and when there is a CO<sub>2</sub> injection  
10 project, perhaps sometime in the future, they will  
11 attribute some value to his tracts.

12 He has a substantial difference of opinion. His  
13 experts show the distribution of hydrocarbon pore volume  
14 for his tracts show significant reserves.

15 There is going to be a significant dispute over  
16 log correlation. You're going to see geologists debate  
17 that issue. We believe we are correct in our  
18 interpretation.

19 We believe the evidence will demonstrate to you,  
20 if you believe Exxon to be correct, there's virtually no  
21 value in having our tracts in the unit.

22 If you believe our experts to say that we have  
23 substantial hydrocarbon pore volume value to our tracts,  
24 then there's something fatally wrong with the allocation  
25 that the Applicant has asked for, and it either needs to be

1 redistributed so that we get our relative value share under  
2 statutory unitization.

3 We think that the most convenient solution, as  
4 our experts will provide to you, is to simply exclude our  
5 tracts. And that's why we're here.

6 EXAMINER STOGNER: Mr. Kellahin.

7 Any other further comments at this time?

8 Mr. Carr?

9 MR. CARR: No, Mr. Stogner.

10 EXAMINER STOGNER: Mr. Bruce?

11 MR. BRUCE: I would simply say, Mr. Examiner,  
12 that we believe the evidence will prove that Exxon's log  
13 correlations and its geological interpretations are the  
14 correct ones.

15 We point out that Premier's acreage has produced  
16 only 5000 barrels of primary oil, and we will further prove  
17 that Premier's tracts are necessary for the proper  
18 development of this unit, and we will go into this in our  
19 direct case.

20 EXAMINER STOGNER: Thank you, Mr. Bruce.

21 With that, I assume we'll get started with the  
22 direct testimony of Exxon at this time.

23 MR. BRUCE: Okay.

24 EXAMINER STOGNER: Mr. Bruce?

25 MR. BRUCE: First we'll present our land

1 testimony, Mr. Examiner.

2 JOE B. THOMAS,

3 the witness herein, after having been first duly sworn upon

4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. BRUCE:

7 Q. Would you please state your name and city of  
8 residence for the record?

9 A. My name is Joe B. Thomas. I live in Midland,  
10 Texas.

11 Q. And what is your occupation and who are you  
12 employed by?

13 A. I'm a landman employed by Exxon Corporation.

14 Q. Have you previously testified before the OCD as a  
15 landman?

16 A. Yes.

17 Q. And were your credentials as an expert petroleum  
18 landman accepted as a matter of record?

19 A. Yes.

20 Q. Finally, are you familiar with the land matters  
21 involved in these Applications?

22 A. Yes.

23 MR. BRUCE: Mr. Examiner, I would tender Mr.  
24 Thomas as an expert petroleum landman.

25 EXAMINER STOGNER: Are there any objections?

1 MR. KELLAHIN: No objection.

2 EXAMINER STOGNER: No objection, Mr. Thomas is so  
3 qualified.

4 Q. (By Mr. Bruce) Mr. Thomas, would you briefly  
5 summarize what Exxon seeks in these two cases?

6 A. In Case Number 11,298 Exxon seeks to statutorily  
7 unitize all interests in the Delaware formation underlying  
8 all or parts of nine sections of land, which is described  
9 on Exhibit 1.

10 The unit area covers 2118.78 acres and is  
11 comprised of federal acreage, 711.87 acres, for 36.43  
12 percent.

13 State acreage is 1146.91 acres, or 54.13 percent.

14 And fee lands is 200 acres, or 9.44 percent.

15 Do you want me to repeat those percentages?

16 EXAMINER STOGNER: Are they written down  
17 somewhere?

18 THE WITNESS: I don't believe -- Yes, they are,  
19 on Exhibit B to the unit agreement.

20 EXAMINER STOGNER: If they're written down,  
21 there's no need to repeat them.

22 THE WITNESS: Okay. In Case Number 11,298, Exxon  
23 seeks approval of a secondary-recovery waterflood project  
24 for this unit and the certification of project for  
25 recovered oil tax rate.

1 Q. (By Mr. Bruce) What is the proposed injection  
2 interval?

3 A. The intervals in which we plan to inject water  
4 are the Cherry Canyon and Brushy Canyon zones.

5 The unitized formation is the interval from 100  
6 feet above the base of the Goat Seep Reef to the top of the  
7 Bone Springs formation, as found in the Exxon Yates "C"  
8 Federal Well Number 36, located at 1305 feet from the north  
9 and east lines of Section 31, Township 20 South, Range 28  
10 East, Eddy County, New Mexico.

11 The unitized formation will include all  
12 subsurface points throughout the area correlative to these  
13 depths.

14 Q. Now, you've already identified Exhibit 1, the  
15 land plat. Would you describe its contents a little  
16 further for the Examiner?

17 A. Yes, the land plat outlines the proposed unit  
18 area, which identifies the separate tracts which comprise  
19 the unit area. The tracts are formed according to common  
20 mineral ownership.

21 There are 12 tracts in the unit area. Exxon  
22 operates five of these tracts, Yates Petroleum Corporation  
23 operates 5, MWJ Operating operates one tract, and Premier  
24 operates one tract.

25 Q. Will you move on to your Exhibit 2, Mr. Thomas,

1 and identify it for the Examiner?

2 A. Exhibit 2 is the proposed unit agreement. The  
3 unit agreement is a standard form, except for a few minor  
4 revisions which were previously approved by the BLM and the  
5 Commissioner of Public Lands, and similar to the ones  
6 approved previously by the Division.

7 The unit agreement describes the unit area and  
8 the unitized formation. The unitized substances include  
9 all oil and gas produced from the unitized formation. The  
10 designated unit operator is Exxon Corporation.

11 Q. What about Exhibit 3? What is that?

12 A. I'm sorry?

13 Q. Exhibit 3.

14 A. Exhibit 3 is the proposed unit operating  
15 agreement which sets forth the authorities and duties of  
16 the unit operator, as well as the apportionment of expenses  
17 between the working interest owners.

18 Q. Does the unit operating agreement contain a  
19 provision for carrying working interest owners?

20 A. Yes, in Section 12.

21 Q. And does it also provide for a penalty against  
22 nonconsenting working interest owners?

23 A. Yes, Section 12 provides for a 200-percent  
24 nonconsent penalty.

25 Q. From a landman's standpoint, is this a fair

1 penalty?

2 A. Yes, it is.

3 Q. And why is that?

4 A. Operating agreements in this area typically  
5 provide for similar nonconsent penalties.

6 Q. Some operating agreements even provide for higher  
7 penalties?

8 A. That's correct.

9 Q. Now let's get on to the ownership of tracts in  
10 the unit area.

11 Would you please describe the tract ownership and  
12 how you determined the names of the working interests and  
13 the royalty owners within the unit area? And at this  
14 point, I think we need to refer back to Exhibit 2.

15 A. Okay, we need to go back to Exhibit 2. It's the  
16 backup to Exhibit 2, it's Exhibit "B" to Exhibit 2.

17 Exhibit "B", which -- the unit agreement, is a  
18 tract-by-tract listing of the interest owners. These names  
19 and interests were obtained from current Division orders or  
20 title opinions on the files on the tracts that Exxon  
21 operates.

22 On the tracts operated by other parties, we based  
23 ownership based on information obtained from the other  
24 operators' files.

25 Q. And how many interest owners are there in the



1 proposed unit?

2 A. There are 48 working interest owners and 24  
3 royalty or overriding royalty interest owners.

4 Q. Let's talk first about the working interest  
5 owners. Who are they and who do you seek to statutorily  
6 unitize?

7 A. Exhibit 4 lists all the working interest owners  
8 in the unit and contains working interest owner  
9 ratifications. The only working interest owners who have  
10 not yet ratified are shown in Exhibit 4-A, which will be  
11 passed out to you.

12 We seek to statutorily unitize these owners.

13 Q. And what is the total percentage by participation  
14 of the nonconsenting working interest owners?

15 A. 2.492211 percent. Now, this includes parties  
16 that have said they're going to execute the agreement but  
17 haven't gotten to me yet, haven't got it in to me yet.

18 Q. Such as Devon Energy --

19 A. Such as Devon and Hayes Partners.

20 Q. Okay. And if these parties subsequently submit  
21 their ratifications to Exxon, they will be deemed to be  
22 ratified or consented to the unit?

23 A. That's correct.

24 Q. Now, let's move on to the royalty owners. Would  
25 you identify your Exhibit 4 and discuss the working

1 interest -- or, excuse me, the royalty interest owner  
2 participation?

3 A. I think that's Exhibit 5.

4 Q. Or Exhibit 5, excuse me.

5 A. Exhibit 5 lists all the royalty interest owners.  
6 It contains royalty owner ratifications.

7 Mr. Bruce is handing out Exhibit 5-A.

8 The royalty and overriding royalty owners we  
9 seek who have not yet ratified the unit are shown in  
10 Exhibit 5-A, and these are four parties: Robert L. Hayne  
11 and Sue Hayne, Oryx Energy Company, Sabine Royalty Trust,  
12 and Peggy A. Yates Estate.

13 Peggy A. Yates Estate was inadvertently left out  
14 of the Yates group of ratifications, and it's forthcoming.

15 Q. Now, on both your Exhibits 4 and 5, in addition  
16 to listing the interest owners, it also contained copies of  
17 all the ratifications received to date; is that correct?

18 A. That is correct.

19 Q. Now, as you've indicated, there's quite a bit of  
20 state and federal land in this unit. Have the Bureau of  
21 Land Management and the Commissioner of Public Lands  
22 preliminarily approved the unitization?

23 A. Yes, Exhibits 6-A and 6-B contain copies of the  
24 BLM and Commissioner's letters of designation for this  
25 unit. Their final approval is conditioned on OCD approval

1 of the unit.

2 Q. Now, looking at the ratifications received to  
3 date, what percentage of working interest and what  
4 percentage of royalty owners have voluntarily agreed to  
5 join in the proposed Avalon-Delaware unit?

6 A. Approximately 97.5 percent of cost-bearing  
7 working interest owners have ratified the unit agreement  
8 and unit operating agreement.

9 Twenty out of 24 of the total number of the  
10 royalty or overriding royalty interest owners have ratified  
11 the unit agreement, which is about 95-percent-plus, based  
12 on participation, or 83 1/3 based on the number basis.

13 Again, we're counting the interest of Peggy A.  
14 Yates Estate as not ratified, but it will be forthcoming.

15 Q. Would you please discuss Exxon's efforts to  
16 obtain voluntary unitization among the parties to the unit?  
17 And I'd refer you to Exhibit 7. Would you please identify  
18 that?

19 A. All right, Exhibit 7 contains copies of  
20 correspondence regarding the unit.

21 The first three pages are a summary or table of  
22 contents of the letters.

23 Q. And the remainder is just copies of all the  
24 correspondence?

25 A. Copies of the correspondence, the letters.

1           Q.    Would you -- Rather than going through document  
2 by document, would you outline Exxon's contacts with the  
3 interest owners?

4           A.    Okay.  Exxon first began considering unitization  
5 of Avalon-Delaware Pool in 1991 and had informal  
6 discussions with working interest owners, starting shortly  
7 thereafter.  Exxon also began collecting data for the  
8 preparation of the technical report at that time.

9                   The first contact with working interest owners  
10 formally proposing an enhanced recovery unit was by letter  
11 dated March 9th, 1992, when Exxon sent the working interest  
12 owners the proposed pre-unitization voting procedure.

13                   This letter also proposed unit boundaries, and  
14 these unit boundaries have not changed since 1991.

15                   In August of 1992, the technical report was  
16 completed and made available to working interest owners.

17                   In the fall of 1992, Yates wrote to Exxon  
18 outlining certain issues and concerns.  As a result, Exxon  
19 and Yates representatives met on December 9th, 1992, and  
20 the results of this meeting were conveyed by Yates by  
21 letter to Coquina.  Coquina's interest is now owned by Unit  
22 Petroleum.

23                   Because there appeared to be a general consensus  
24 on unitization, Exxon met with representatives of the BLM  
25 in Carlsbad and the OCD at Artesia on February 1st, 1993,

1 and with the SLO and the OCD in Santa Fe on February 2nd,  
2 1993. The SLO and the BLM are the largest royalty interest  
3 owners.

4 Certain parts of the technical report were  
5 subsequently added, and Exxon forwarded ballots to the  
6 working interest owners for their review and approval.  
7 Over 90 percent of the working interest owners approved the  
8 amendment to the technical report.

9 In January, 1994, Exxon requested title data from  
10 working interest owners so they could proceed with  
11 preparation of exhibits to the unit agreement.

12 I should note that throughout this period and up  
13 until June, 1995, there have been numerous telephone calls  
14 between Exxon personnel and personnel from the other  
15 working interest owners.

16 On April 8th, 1994, Exxon notified working  
17 interest owners that the technical report was approved and  
18 scheduled a working interest owners' meeting on April 26th,  
19 1994.

20 As a result of verbal and written comments, Exxon  
21 scheduled another meeting on June 17th, 1994, at which over  
22 90 percent of the working interest owners were represented.

23 Comments were made and concerns expressed by  
24 Premier, Yates, Hudson and ANPC, whose interest is now  
25 owned by Unit, regarding the participation formula, voting

1 percentages and other matters.

2 The working interest owners, including Exxon,  
3 asked Yates to take the lead in developing and proposing a  
4 single-phase participation formula.

5 Yates developed several single-phase formulas  
6 which they discussed with Exxon during the next several  
7 months.

8 As a result of these discussions, Exxon and Yates  
9 agreed to present the single-phase formula to the other  
10 working interest owners.

11 On February 22nd, 1995, Exxon sent the working  
12 interest owners a letter making certain revisions to the  
13 unit agreement and the unit operating agreement and  
14 proposing the single-phase formula, as set forth in Exhibit  
15 2, which is the unit agreement which has been submitted  
16 already. A nonbinding ballot on unitization was approved  
17 by 97.4 percent of the working interest owners.

18 The unit documents were revised, and on May 1st,  
19 1995, the unit agreement was mailed to fee royalty owners.

20 Exxon met with the BLM again on May 2nd, 1995,  
21 and with the SLO on May 5th, 1995. Both agencies expressed  
22 their support of unitization, and Applications were filed  
23 with the OCD on May 9th, 1995.

24 Final copies of pertinent unit documents together  
25 with ratification forms were sent to all interest owners on

1 May 12th, 1995.

2 Q. Were there any changes subsequently made to the  
3 unit agreement?

4 A. Yes, there were. BLM and SLO made corrections to  
5 acreage figures which we had used, and we corrected  
6 spelling and typographic errors.

7 This resulted in new Exhibits "A" and "B" to the  
8 unit agreement, which were mailed to interest owners on  
9 June 12th, 1995.

10 Q. Did any of these corrections change the terms of  
11 the unit agreement or change any unit participations?

12 A. No.

13 Q. Were there any unlocatable interest owners?

14 A. No.

15 Q. Has Exxon, in your opinion, made a good-faith  
16 effort to secure voluntary unitization?

17 A. Yes.

18 Q. Has written notice of the unitization hearing  
19 been given to all the parties who did not voluntarily join  
20 in the unit?

21 A. Yes, copies of the notice letter and certified  
22 return receipts are attached to an affidavit regarding  
23 notice, which is submitted as Exhibit 8.

24 Q. Okay. Now, regarding the waterflood project,  
25 Case 11,297, was notice of that hearing given to all proper

1 parties as required by the form C-108?

2 A. Yes, Exhibit 9 is my affidavit concerning the  
3 notice letter sent to surface owners and well operators,  
4 together with certified return receipts.

5 Q. In your opinion, will the granting of these  
6 Applications be in the interest of conservation, the  
7 prevention of waste and the protection of correlative  
8 rights?

9 A. Yes.

10 Q. And were Exhibits 1 through 9 prepared by you or  
11 under your direction or compiled from company records?

12 A. Yes, they were.

13 MR. BRUCE: Mr. Examiner, at this time I'd move  
14 the admission of Exxon Exhibits 1 through 9.

15 EXAMINER STOGNER: Are there any objections?

16 MR. KELLAHIN: No objection.

17 EXAMINER STOGNER: Exhibits 1 through 9 will be  
18 admitted into evidence at this time.

19 MR. BRUCE: I have no questions of the witness at  
20 this time.

21 EXAMINER STOGNER: Thank you, Mr. Bruce.

22 Mr. Kellahin?

23 MR. KELLAHIN: Mr. Carr?

24 MR. CARR: I have no questions.

25 MR. KELLAHIN: Thank you, Mr. Examiner.



## CROSS-EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Thomas, if you'll take the unit map, which is Exxon Exhibit 1 --

A. Yes, sir.

Q. -- Section 31 is designated as Tract Number 2?

A. That's correct.

Q. And that is a tract operated by Exxon?

A. That's correct.

Q. Exxon's percentage in the unit on an acreage basis is more than 70 percent, is it not?

A. That's correct.

Q. It's about 73 percent, I think?

A. It's approximately -- About that, yes.

Q. All right. So Exxon by itself cannot ask the Division to use statutory unitization to bring in the remaining parties unless you get the cooperation of another working interest owner; isn't that true?

A. That's correct.

Q. And to meet the minimum 75 percent of the working interest owners, you achieve that when Yates signs on to the deal?

A. That is correct.

Q. And what percentage of the unit does Yates have?

A. Approximately 12 percent.

1           Q.    So if you and Yates agree on all decisions in the  
2   unit, then you'll make the minimum 75-percent required to  
3   go forward under statutory unitization?

4           A.    That is correct.

5           Q.    When we look at Exhibit 1, where are the Yates-  
6   operated tracts?

7           A.    They're to the north of Section 31, Section 29  
8   and 30, of 20 South, Range 28 East, and also Tract 7, which  
9   is in Section 36 of 20 South, Range 27 East.

10          Q.    All right.  Primipally, they're in Section 30  
11   with the Tract 5 and the Tract 3?

12          A.    Three, 4 and 5.

13          Q.    Okay.  When you look at the east half of the east  
14   half of 25, Tract Number 6 --

15          A.    That's correct.

16          Q.    -- who is the operator of those tracts?

17          A.    Premier.

18          Q.    Has your involvement as a landman in the  
19   unitization process been from the inception of the process?

20          A.    That's correct.

21          Q.    Do you know when the technical committee  
22   completed their report?

23          A.    An exact date?

24          Q.    Yes, sir.

25          A.    No, I don't recall the date.  It was in 1991.

1 Q. The copy of my -- My copy of the technical report  
2 says August of 1992. Do you see that?

3 A. Okay.

4 Q. Are you familiar with this technical report?

5 A. Yes, I am. I've read it.

6 Q. Is this the only technical report there is?

7 A. As far as I know, yes, sir, that's the only  
8 technical report.

9 Q. And this is the final technical report, if you  
10 will?

11 A. There have been amendments sent out to that, yes.

12 Q. But this is the basic document that was generated  
13 by the technical committee?

14 A. That is correct.

15 Q. Does this technical committee that generated this  
16 technical report consist only of Exxon personnel?

17 A. Yes, the working interest owners asked Exxon to  
18 be the technical committee.

19 Q. And so none of the other working interest owners  
20 had technical representatives on the technical committee?

21 A. I'm not aware of that. I'm sorry, I can't answer  
22 that.

23 Q. Do you know if Premier was invited to put a  
24 technical member on the technical committee?

25 A. No, I don't know the answer to that either, sir.

1 Q. Okay. Was Yates invited to do that?

2 A. It's my understanding that all the working  
3 interest owners originally asked Exxon to be the technical  
4 committee, and I don't know at that time if Premier was  
5 included in that group, but I feel sure it was.

6 Q. By August of 1992, then, we have the technical  
7 committee report?

8 A. That is correct.

9 Q. Does the boundary used by the working interest  
10 owner group, as of August of 1992, on through the present,  
11 conform to the boundary that we're seeing before us today  
12 in Exhibit 1?

13 A. Yes, sir.

14 Q. When we look at Exhibit 2, which is the proposed  
15 unit operating agreement, we turn over to page 7 of the  
16 operating agreement and we have the tract participation  
17 formula, don't we?

18 A. That's correct.

19 Q. Now, this is the final formula that was  
20 initiated, I guess, by Yates, and finally agreed to by  
21 Exxon?

22 A. That's correct.

23 Q. It's a single-phase formula?

24 A. That is correct.

25 Q. You credit 25 percent to the remaining primary

1 recovery for a tract, 50 percent to the waterflood oil  
2 recovery potential for that tract, and then 25 percent for  
3 any oil to be attributed to the CO<sub>2</sub> recovery?

4 A. That is correct.

5 Q. That's how it's put together, isn't it?

6 A. That's correct.

7 Q. When we turn to the Exhibit C to Exhibit Number  
8 2, then we can see the input of that formula and an  
9 allocation back to each tract; is that not true?

10 A. That is correct.

11 Q. And when we read down, we find Tract 2 where  
12 Exxon is the operator -- it's the second row down -- and  
13 about 53.87 percent of the tract participation is valued in  
14 that tract?

15 A. That is correct.

16 Q. When we get down to Tract 6, which is the Premier  
17 tract, they've got one percent?

18 A. That is correct.

19 Q. All right. And when we turn over, then --

20 A. Now, that's tract participation in the unit.

21 Q. Yes, sir. When you look over at Exhibit "D",  
22 now, this shows for Tract 6, when you read down and find  
23 the row that has Tract 6, you read across and it says the  
24 remaining primary reserves attributable to the Premier  
25 Tract, Number 6, is zero.

1           A.    It's also 5-F and 7 and 8 -- I'm sorry, 7. Six  
2   and 7.

3           Q.    Yes, sir. The one I'm concerned about is 6.

4           A.    Right.

5           Q.    And as you read across to see the waterflood  
6   reserve, it's also zeroed out, isn't it?

7           A.    That is correct.

8           Q.    And the only time that this tract has been  
9   credited with any reserve potential is in the CO<sub>2</sub> thick?

10          A.    That is correct.

11          Q.    And they're credited with -- What? \$1.6 million,  
12   is it?

13          A.    That's correct.

14          Q.    Is that a recoverable reserve number?

15          A.    I don't know the answer to that question.

16          Q.    This vertical unitized interval is from -- you  
17   said the base of the Goat Seep --

18          A.    A hundred feet above the base of the Goat Seep.

19          Q.    A hundred feet above the base of the Goat Seep.  
20   And it goes down to the top of the Bone Springs, was it?

21          A.    That's correct.

22          Q.    That would then geologically correspond to the  
23   Cherry Canyon, you have the Brushy Canyon. Is that also  
24   inclusive of the Bell Canyon?

25          A.    I think you're going to have to ask the

1 geological witness for that, sir.

2 Q. But for your work purposes, that's the interval  
3 that is defined in all these documents?

4 A. That is correct.

5 Q. What is your understanding of the primary  
6 objective of the unit?

7 A. To produce additional oil.

8 Q. Under the waterflood phase, wasn't it?

9 A. That's correct.

10 Q. Okay.

11 A. And possible CO<sub>2</sub> flood.

12 Q. Why did you use the word "possible"?

13 A. Because at this point we can't determine -- can't  
14 make the statement, direct statement, that we're going to  
15 do a CO<sub>2</sub> flood.

16 Q. When you look at the package of documents, was  
17 this 7?

18 A. That's correct.

19 Q. All the correspondence is 7?

20 A. If it had a big binder clip around it, that's all  
21 7.

22 Q. Yes, sir, that's right. And it's in here  
23 chronologically?

24 A. Yes, sir.

25 Q. If you'll go through the pile with me, and let's

1 find the Exxon-generated letter of October 10th, 1994.

2 It's about, I guess, two-thirds of the way down through the  
3 pile.

4 A. Okay, is this the letter to Dave Boneau?

5 Q. Yes, it is. It's dated October 10th, it's on  
6 Exxon letterhead. It's signed off by Ron Mayhew as Exxon's  
7 Avalon Project Manager, and this is written to Dave Boneau.  
8 And this is part of the correspondence package?

9 A. That is correct.

10 Q. When you look at the second paragraph down and  
11 find the second sentence it says, "The waterflood is the  
12 reason the Unit has value to all of us and your  
13 representation of Phase 1 would be acceptable to us for the  
14 waterflood." It says, "The CO<sub>2</sub> flood has some probability  
15 of happening/not happening and your representation of Phase  
16 2 is acceptable if a CO<sub>2</sub> flood is in the future for  
17 Avalon."

18 During October of 1994, the discussion is whether  
19 to go with a two-phase formula or a single-phase formula;  
20 is that not true?

21 A. That is correct.

22 Q. But under either formula, the primary objective  
23 was the waterflood portion of the project?

24 A. The waterflood and possible CO<sub>2</sub> flood.

25 Q. If the primary objective of the unit is to have a



1 waterflood project that has value to all of us, show me how  
2 there is any value attributed to Premier when I look at  
3 Exhibit D to Number 2, the Unit agreement, and there is no  
4 value attributed to the waterflood.

5 MR. BRUCE: Mr. Examiner, I'd object. He's  
6 asking, I think, engineering questions about the relative  
7 value of tracts.

8 MR. KELLAHIN: I'm not sure yet, Mr. Examiner.  
9 Let me try again. I'll rephrase the question.

10 EXAMINER STOGNER: Please do.

11 Q. (By Mr. Kellahin) When I look at Exhibit D,  
12 which is the attachment to the unit agreement marked as  
13 Exxon Exhibit 2 --

14 A. Right.

15 Q. -- and I'm looking down the spreadsheet for Mr.  
16 Jones's tract, Premier's Tract Number 6, and I read across  
17 and I see zero reserves -- Okay?

18 A. That's correct.

19 Q. -- and then I come to Mr. Mayhew's correspondence  
20 in October 10th of 1994, and he's telling us all tracts  
21 have value as to waterflood, that's not correct, is it?

22 A. It's correct in that the unit is a waterflood  
23 with a possible CO<sub>2</sub> flood. The value is in both of them  
24 together.

25 Q. If you'll turn with me, sir, to Exhibit 7, which

1 is the package of correspondence, and let's come back just  
2 a few sheets from the October 10th, 1994, letter, and let's  
3 look at the package that's also on Exxon's letterhead, it's  
4 got a date of June 20th of 1994, and right under that it  
5 says June 17th Meeting Notes.

6 A. Right, okay.

7 Q. It shows a rubber date stamp on the face of the  
8 letter, it says June 22nd, 1994. Do you know what that  
9 means? Whose date stamp is on this copy?

10 A. I'm sorry, which one are you --

11 MR. KELLAHIN: If I may approach the witness, Mr.  
12 Examiner, let me ask him what this means.

13 EXAMINER STOGNER: Please do.

14 Q. (By Mr. Kellahin) Are we looking at the same  
15 sheet here?

16 A. Oh, this sheet, okay?

17 Q. All right.

18 A. This one.

19 Q. Yes, sir.

20 A. Okay.

21 Q. Now, this is a letter over Mr. Mayhew's  
22 signature, and mine is all stapled together with a bunch of  
23 other stuff.

24 A. Right.

25 Q. Why is that all stapled together like that?

1 A. These were enclosures to the letter.

2 Q. Is that something you know about?

3 A. I mailed it out.

4 Q. Okay. Was there a June 17th meeting on the  
5 Avalon field?

6 A. That is correct.

7 Q. It says June 17th Meeting Notes. Where did that  
8 occur?

9 A. In Exxon's office in Midland, Texas.

10 Q. And were you present there?

11 A. That's correct.

12 Q. When you thumb back through these pages of  
13 attachments to this letter, let me have you find this  
14 spreadsheet that reads horizontally, "Avalon Working  
15 Interest Owners Meeting Summary."

16 When you look at the first entry on the  
17 spreadsheet that we're looking at, Mr. Thomas, is this an  
18 accurate summary of the working interest owner meeting when  
19 it reads, "Issue: Withdrawal from Unit. Premier disagrees  
20 with other working interest reservoir interpretations.  
21 Solution: Remap unit boundaries to exclude Premier's  
22 acreage [all agree]"?

23 A. That's correct.

24 MR. KELLAHIN: No further questions.

25 EXAMINER STOGNER: Thank you, Mr. Kellahin.

1 Mr. Carr, any cross-examination?

2 MR. CARR: No questions, Mr. Stogner.

3 EXAMINER STOGNER: Any redirect, Mr. Bruce?

4 MR. BRUCE: Just a couple, Mr. Examiner.

5 REDIRECT EXAMINATION

6 BY MR. BRUCE:

7 Q. One question was about Yates owning 12 percent of  
8 unit participation.

9 Mr. Thomas, referring to your Exhibit 2, the unit  
10 agreement, and Exhibit B, actually that 12 percent isn't  
11 one -- It's not Yates Petroleum, is it, who owns 12  
12 percent?

13 A. No, it's all Yates' interest.

14 Q. There's a number of people on that Yates  
15 Petroleum, Abo, individual Yates family members, Yates  
16 estates, et cetera.

17 A. That is correct.

18 Q. Okay. Now, Mr. Kellahin asked you a couple of  
19 questions about the unit boundary. The unit boundary was  
20 initially Exhibit 1. That's the same unit boundary as was  
21 initially proposed in 1991; is that correct?

22 A. That is correct.

23 Q. Okay. And if you keep Exhibit 2 in front of you,  
24 Exhibit "D", there are a number of tracts that have no  
25 primary and/or secondary reserves attributed to them; is

1 that correct?

2 A. That is correct.

3 Q. So it doesn't only affect Premier; is that -- ?

4 A. That is correct.

5 Q. There are Yates and other tracts in there that  
6 have zero secondary and primary reserves attributed to  
7 them?

8 A. That is correct.

9 MR. BRUCE: Okay. I have nothing further, Mr.  
10 Examiner.

11 EXAMINER STOGNER: I don't have any questions of  
12 this witness at this time either. He may be excused at  
13 this time.

14 What is your next witness?

15 MR. BRUCE: Our next witness is a geologist, and  
16 he -- Direct exam plus cross-exam will probably take a fair  
17 amount of time.

18 I think it might be best to break for an early  
19 lunch and -- I've probably got 40 to 45 minutes of direct.

20 EXAMINER STOGNER: I think this might be a good  
21 time to take a lunch break.

22 What do you say we reconvene here in about an  
23 hour? So that would be about 12:40, and we'll start up at  
24 that time.

25 (Thereupon, a recess was taken at 11:35 a.m.)

1 (The following proceedings had at 1:00 p.m.)

2 EXAMINER STOGNER: Hearing will come to order for  
3 the consolidation of Cases 11,297 and 11,298.

4 Mr. Bruce?

5 MR. BRUCE: Commence with our geologic testimony,  
6 Mr. Examiner.

7 DAVID L. CANTRELL,

8 the witness herein, after having been first duly sworn upon  
9 his oath, was examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. BRUCE:

12 Q. Mr. Cantrell, would you please state your full  
13 name and city of residence?

14 A. I'm Dave Cantrell from Houston, Texas.

15 Q. Who are you employed by and in what capacity?

16 A. I'm a geologist with Exxon Corporation.

17 Q. Have you previously testified before the  
18 Division?

19 A. No, I haven't.

20 Q. Would you please describe your educational and  
21 employment background?

22 A. I hold bachelor's and master's degrees in geology  
23 from the University of Tennessee and have been employed by  
24 Exxon for a little over 13 years now.

25 For the first seven years of my career with Exxon

1 I conducted reservoir characterization studies and research  
2 on several large Middle Eastern and South American  
3 oilfields.

4 I moved to Midland, Texas, in 1989 and for five  
5 years conducted field studies on fields in the Permian  
6 Basin area and in the Rocky Mountain area.

7 Since 1994 I've been in Houston and continue to  
8 be responsible for the Avalon-Delaware field.

9 Q. Would you please describe your geologic work on  
10 the proposed Avalon Delaware unit?

11 A. I've worked on the Avalon Delaware Pool since  
12 1990 and have completed an integrated reservoir study  
13 evaluating reservoir architecture and quality for this  
14 field.

15 For this evaluation I, along with other Exxon  
16 geoscientists, identified key stratigraphic surfaces that  
17 control reservoir geometry, evaluated rock quality as it  
18 relates to production, reviewed all available log data,  
19 calculated fluid saturations and volumetrics and mapped the  
20 distribution of the reservoir.

21 Q. And based on that study, have you prepared  
22 certain exhibits for presentation today?

23 A. Yes, I have. If you'll refer to Exhibit 10,  
24 which is a --

25 MR. BRUCE: Well, just a minute, Mr. Cantrell.

1           Mr. Examiner, I would tender Mr. Cantrell as an  
2 expert petroleum geologist.

3           EXAMINER STOGNER: Are there any objections?

4           MR. KELLAHIN: No objection.

5           EXAMINER STOGNER: Mr. Cantrell is so qualified.

6           Q. (By Mr. Bruce) Okay, Mr. Cantrell, let's move on  
7 now to your Exhibit 10. Would you identify that for the  
8 Examiner?

9           A. Okay. Exhibit 10 is the large two-volume report  
10 that details the results of a technical study conducted by  
11 Exxon on Avalon.

12           Volume I of this report, a sort of a thick 8-1/2-  
13 by-11-inch document that you have, labeled "Text and  
14 Exhibits", consists of several sections, beginning first  
15 off with a summary and recommendation section that  
16 summarize the major aspects of the project, followed by an  
17 introduction to and overview of the field.

18           The next three sections -- And let me preface  
19 this by saying, each of these sections has a number of  
20 parts. Typically there's first a text section and then a  
21 list of exhibits or an exhibit section, and then typically  
22 a series of appendices afterwards.

23           But the next three sections after the first ones  
24 that I just mentioned detail the results of the geologic  
25 work that's being completed as part of this study.



1           The first section, labeled "Stratigraphy",  
2 details the results of our effort to define the reservoir  
3 architecture and geometry of the field.

4           The next section, labeled "Formation Evaluation",  
5 details the results of our assessment of reservoir quality  
6 and fluid saturations.

7           Finally, the section labeled "Mapping and  
8 Volumetrics" shows the results of our efforts to map out  
9 the reservoir distribution and calculate volumetrics.

10           The next three sections in this report following  
11 this, then, detail the results of the engineering work and  
12 focus first off on the simulation work, next on the  
13 generation of project flow streams, and finally on the  
14 economics for the project.

15           The last section of this Volume I summarizes some  
16 of the maps that were generated as part of this study.

17           Volume II is the larger 11-by-17 folio that you  
18 have, and it includes both maps and cross-sections in here.  
19 The maps that you see here are simply larger versions,  
20 larger-scale versions of the maps that are summarized in  
21 Volume I.

22           I assisted in the preparation of this study, as  
23 did Mr. Beuhler, our next witness.

24           Q.    Would you then move on to your Exhibits 11 and 12  
25 together and describe the work done by you to create the

1 geologic model of the Avalon Pool?

2 A. Exhibit 11 summarizes the overall geology of the  
3 Avalon area.

4 As can be seen in the index map in the upper  
5 left-hand portion of this exhibit, geologically Avalon is  
6 located on the northwestern margin of the Delaware Basin in  
7 a very proximal basin margin setting immediately seaward of  
8 the shelf edge. The location of Avalon is noted in red on  
9 this index map.

10 As the idealized stratigraphic section in the  
11 upper right-hand part of this exhibit shows, Avalon  
12 produces from fine sands and coarse siltstones of the  
13 Permian-age Delaware Mountain Group. And it's underlain by  
14 tight carbonates of the Bone Spring formation and overlain  
15 by tight carbonates, generally tight carbonates, of the  
16 Goat Seep Reef.

17 As you can see in this area, the Delaware  
18 Mountain Group consists of only two formations: the Brushy  
19 Canyon formation and the Cherry Canyon formation. No Bell  
20 Canyon formation occurs at this location in the Basin.

21 Now there are two major productive intervals in  
22 the Delaware Mountain Group, and I've tried to highlight  
23 those or shade those in, in this idealized stratigraphic  
24 section here.

25 There's an upper section which I've shaded in a

1 kind of a reddish color there, in the Upper Cherry Canyon.  
2 There's also a lower productive interval at the top of the  
3 Brushy Canyon formation, including a small slice of the  
4 Lower Cherry Canyon as well, and I've shaded this interval  
5 in brown.

6 The data block at the bottom of this exhibit  
7 gives you a summary of some of the reservoir description  
8 parameters for this field.

9 Starting off first with the upper reservoir, the  
10 Upper Cherry Canyon, it occurs at approximately 2600 feet.  
11 It's comprised typically of very fine-grain sand in terms  
12 of a reservoir lithology, has an average net thickness of  
13 131 feet, an average porosity of 14.4 percent and an  
14 average permeability of 2.3 millidarcies.

15 Oil in place, or oil originally in place, is  
16 calculated to be 107 million barrels for this upper  
17 reservoir.

18 The lower reservoir, this Upper Brushy Canyon  
19 reservoir, occurs at a depth of about 3400 feet, is  
20 comprised dominantly of a coarse siltstone but it includes  
21 some fine sand as well, has an average net thickness of 272  
22 feet, an average porosity of 14.9 percent and an average  
23 permeability of 1.1 millidarcies.

24 Oil originally in place is calculated to be 141  
25 million barrels for this reservoir.

1 All completions in both of these reservoirs are  
2 proppant frac'd -- fractured.

3 Exhibit 12, the next exhibit, summarizes the  
4 regional stratigraphy of the Delaware Basin margin and  
5 shows how we utilized a regional framework in describing  
6 the reservoir architecture of the Avalon field area.

7 Now, Avalon again is shown in the index map in  
8 the upper left-hand corner of this exhibit, and it's  
9 indicated in red.

10 In this area, in this part of southeastern New  
11 Mexico and western Texas, several groups from both oil  
12 industry -- various groups in oil industry as well as from  
13 various academic institutions have completed regional  
14 stratigraphic studies that we've used in establishing the  
15 reservoir stratigraphic framework at Avalon.

16 These groups have extensively studied outcrops in  
17 the area, especially Delaware-age outcrops -- if you'll  
18 look at the index map down in sort of the lower left-hand  
19 corner, in the Delaware mountains there, about 60 miles  
20 along strike from Avalon field, as I said, in the Delaware  
21 Mountains, as well as along the western escarpment of the  
22 Guadalupe Mountains.

23 In addition to that regional outcrop work,  
24 there's also a published seismic line, located -- a  
25 regional seismic line, located just about six miles to the

1 north or northeast of Avalon field.

2 Now, using all of this regional data from both  
3 the outcrop as well as regional seismic data, as well as  
4 including local information at Avalon -- and I've  
5 summarized most of the database that we had for doing this,  
6 in that data block in the upper right-hand portion of this  
7 exhibit -- using all this information and including local  
8 information at Avalon, we've developed a stratigraphic  
9 framework that we believe successfully resolves reservoir  
10 architecture and geometry at Avalon.

11 This stratigraphic framework, then, that we've  
12 developed is summarized in the cross-section shown at the  
13 bottom of this exhibit, and this is again a dip cross-  
14 section, oriented northwest to southeast, and I've  
15 annotated on this cross-section the location of Avalon  
16 field. I've also tried to shade in on this cross-section  
17 the approximate locations of the two major productive  
18 intervals we described earlier in the Upper Cherry Canyon  
19 and the Upper Brushy Canyon.

20 Three surfaces on this exhibit, on this cross-  
21 section, are especially significant, and I'll try to  
22 describe them to you from the bottom up.

23 If you'll look at sort of the lower middle  
24 portion of the exhibit, there's a surface which I've shaded  
25 in brown at the top of the Upper Brushy Canyon reservoir.

1           Moving on up, there's a surface which I've shaded  
2   or colored green at the top of the upper Cherry Canyon  
3   reservoir.

4           And finally, on up just a little bit beyond that,  
5   I've shaded another surface or colored another surface as a  
6   sort of a red squiggly line. This in the Avalon field area  
7   is the base of the Goat Seep Reef. You notice how this red  
8   squiggly line actually, as it comes down off the shelf and  
9   plunges into the Basin, actually erodes away a portion of  
10  the green surface we mentioned a minute ago.

11           Since these surfaces are typically capped by  
12  shales and/or tight carbonates, they describe the top seals  
13  for the two reservoirs and thus control production. These  
14  surfaces provided the basis for some of the mapping I'll  
15  show you in a moment.

16           Q.   Do you need to look at the geology on a regional  
17  basis to make a correct determination, rather than just a  
18  few wells in a localized area?

19           A.   Yes, you need to look at the geology on a  
20  regional basis.

21           In order to fully understand the distribution of  
22  the reservoir and where oil occurs in the subsurface, you  
23  first have to understand or get a good handle on stratal  
24  geometries and stacking patterns that occur in the  
25  reservoir, subsurface.

1           For this, you need to know a couple of things.  
2   You need to have a good understanding of regional  
3   depositional patterns and trends which are best seen, as  
4   we've seen earlier, on this regional outcrop work and  
5   regional seismic data.

6           In addition, examination of outcrops reveals  
7   stratigraphic and rock-fabric details that enhance your  
8   understanding of the rocks and enhance your understanding  
9   of the situation, as well as your ability to interpret log  
10   patterns in the subsurface.

11          Q.   What about examining well logs in a particular  
12   area, localized area? What do they tell you?

13          A.   Well, well logs are valuable information for  
14   correlation purposes, but really only show you a small  
15   slice or sample through the reservoir. Most wireline logs  
16   only read from a few inches to a few feet out into the  
17   reservoir.

18                So the picture you get from well logs alone is  
19   one of limited slices or samples distributed across the  
20   reservoir. And in the case of Avalon, these slices or  
21   samples are located 40 acres apart, 1320 feet apart.

22                So in order to do the best possible job that you  
23   can of describing the reservoir, you really need to know  
24   additional information from the regional picture, as well  
25   as from the outcrop work.

1           Q.   Well, could you show us what the stratigraphic  
2 framework looks like in an Avalon-Delaware well?

3           A.   Yes, please refer to Exhibit 13, which is a type  
4 log from Exxon's Yates "C" Federal Number 36. Joe Thomas  
5 has described this well previously. This well is located  
6 in Section 31 of Township 20 South, Range 28 East.

7                   And it shows these surfaces that we identified  
8 earlier on Exhibit 12, and you can see we've tried to use  
9 the same color scheme that we showed previously, the brown  
10 surface being the top of the Upper Brushy and the Lower  
11 Cherry Canyon reservoir, the green surface being the top of  
12 the Upper Cherry Canyon Reservoir, and the red being the  
13 base of the Goat Seep Reef.

14                   So it shows these same surfaces that we've  
15 identified earlier, as well as the intervals in which we  
16 plan to inject water in the Delaware reservoir intervals.

17                   The proposed unitized interval includes all  
18 subsurface points throughout the unit area correlative to  
19 the Delaware Mountain Group in this well.

20           Q.   Are the Upper Brushy Canyon and the Upper Cherry  
21 Canyon reservoir intervals similar or different?

22           A.   Our study of Avalon indicates that there are  
23 major differences in reservoir architecture between these  
24 two reservoirs.

25           Q.   Could you describe these differences, please?



1           A.    Yes, please refer to Exhibit 14.  Exhibit 14 is a  
2   schematic cross-section of the Brushy Canyon formation,  
3   showing that this reservoir, which I've shaded in yellow at  
4   the top of the exhibit there -- showing that this reservoir  
5   is an anticline which dips away in both directions from a  
6   structural crest at the center of the exhibit.

7                As this exhibit dramatizes, this anticlinal  
8   structure is really built, if you will, by depositional  
9   mounding in units underlying the Upper Brushy and Lower  
10  Cherry Canyon reservoir interval, starting, if you'll look  
11  at the bottom of the exhibit, starting from a -- with a  
12  fairly flat generally eastward-dipping surface at the top  
13  of the Bone Spring formation, and through Lower and Middle  
14  Brushy Canyon time, if you will, building up a depositional  
15  mound with significant structural relief.

16              The reservoir interval, then, on top of all this  
17  simply drapes over this older mounding in the deeper unit.

18              Exhibit 15 is a schematic cross-section of the  
19  Upper Cherry Canyon and dramatizes the more complex nature  
20  of this reservoir.

21              Following Lower Cherry Canyon time -- in other  
22  words, at the top or the end of the previous exhibit --  
23  deposition of sediment continued, with preferential  
24  deposition occurring in the structurally low areas off the  
25  flanks of the old Lower Cherry Canyon structure, resulting

1 in relatively thick sediment accumulations in the  
2 structurally low areas off the flanks and thin sediment  
3 accumulations along the crest.

4 As a result, by Middle to Upper Cherry Canyon  
5 time significant -- the sediment subsurface had flattened  
6 significantly, such that stratal geometries that occur from  
7 this point on up into the Upper Cherry Canyon reservoir are  
8 completely different from those seen in the Lower Cherry  
9 Canyon and Upper Brushy Canyon below.

10 Now, this exhibit also dramatizes some of the  
11 internal changes that occur within the Upper Cherry Canyon  
12 reservoir, especially along dip, and this a dip-oriented  
13 schematic from northwest to southeast.

14 As you can see from this exhibit, the interval  
15 changes character significantly from more dominantly porous  
16 sands in the southeast and central portions of the field to  
17 tight carbonates as you go to the northwest. This updip  
18 pinchout of porous basinally restricted sands into tight  
19 carbonates controls the lateral distribution of this  
20 reservoir.

21 Q. Now, you've shaded portions of this exhibit.  
22 What do those colors indicate?

23 A. The yellow highlighting indicates the presence of  
24 porous sandstones, as opposed to low-porosity carbonates,  
25 shown in blue, that become more common as you go to the

1 northwest in the Upper Cherry Canyon. The brown shading  
2 represents shales at the bottom of this exhibit.

3 Q. Okay. Could you discuss the continuity of the  
4 formation which is being unitized? And I'd refer you to  
5 your cross-section, Exhibit 16.

6 A. Okay. Yes, if you'll refer to Exhibit 16, this  
7 is, once again, a dip-oriented cross-section -- in other  
8 words, running from the northwest to the southeast. The  
9 location map on the right there, just above the title  
10 blocks, identifies the location of this cross-section.

11 On this cross-section I've colored in each of the  
12 two reservoirs, the major producing intervals that we  
13 discussed earlier, the lower interval being this Upper  
14 Brushy Canyon reservoir, the upper interval being the Upper  
15 Cherry Canyon reservoir.

16 As you can see, the two producing intervals are  
17 geologically continuous across the proposed unit area,  
18 especially in the Upper Brushy Canyon.

19 Please note that the Upper Brushy Canyon is not  
20 productive in the low structural positions off the flanks  
21 of the structure.

22 Now, Exhibit 16 also displays some of the  
23 variability that we discussed earlier in the Upper Cherry  
24 Canyon. Note that the upper part of this reservoir changes  
25 from dominantly porous sandstones in the southeast portion

1 to low-porosity carbonates to the northwest.

2 At the northwest corner -- By the time that you  
3 get to the northwest corner of this cross-section, rock of  
4 significant reservoir quality is greatly reduced and occurs  
5 only in the lower part of the Upper Cherry Canyon.

6 Q. Okay, Mr. Cantrell, could you now move on and  
7 discuss the areal extent of the Avalon Pool? And I'd refer  
8 you to your Exhibits 17 and 18.

9 A. Yes, if you'll please refer to Exhibits 17 and  
10 18, these are structure maps on the tops of the two  
11 reservoir intervals.

12 Exhibit 17 is a top of the structure of the Lower  
13 Cherry Canyon/Upper Brushy Canyon reservoir. This exhibit,  
14 Exhibit 17, displays the -- strongly, the anticlinal nature  
15 at the top of the reservoir in the Lower Cherry/Upper  
16 Brushy Canyon reservoir, with beds dipping away in all four  
17 directions from a structural crest.

18 I've also annotated on this map in red the limits  
19 of proven production, known, proven primary production, and  
20 shaded within that in green.

21 These limits appear to correspond fairly well to  
22 the structurally highest portions of this surface.

23 In contrast, if you'll look at Exhibit 18, which  
24 shows the top of the Upper Cherry Canyon Reservoir, there  
25 doesn't appear to be much in the way of structural closure

1 along this reservoir.

2 I've also annotated on this map the limits of  
3 known proven primary production. As both these maps show,  
4 Exhibit 17 and Exhibit 18, the unit area includes all known  
5 proven primary production.

6 Q. How was the unit outline determined?

7 A. If you'll refer to Exhibit 19, the unit outline  
8 as it was originally proposed in 1991 and as it currently  
9 exists, was designed to include all tracts that have  
10 currently active Upper Cherry or Upper Brushy completions,  
11 and these are shown in the middle of the unit outlined  
12 there in the sort of dark green/bright green shading there.

13 In addition to this core of primary development,  
14 we've also included an outer ring of adjacent 40-acre  
15 tracts from this core of primary development. This outer  
16 ring was included for two main reasons: first off, to allow  
17 expansion for a later potential CO<sub>2</sub> project, as well as to  
18 utilize existing wellbores that may occur in this outer  
19 lane, existing Delaware wellbores.

20 This proposed unit outline, which is labeled on  
21 this map, corresponds to the areas of highest mapped net  
22 thickness, hydrocarbon pore volume and moveable oil and has  
23 been approved by both the State Land Office and the Bureau  
24 of Land Management.

25 Q. Kind of skipping to a separate subject, Mr.

1 Cantrell, are there any faults or hydrologic connections  
2 between freshwater sources in this area and the injection  
3 formation, injection intervals?

4 A. After reviewing the surface and subsurface  
5 geology for two miles within and around the proposed unit  
6 area, I found no evidence of faulting in the area which  
7 might provide a conduit between the injection intervals and  
8 any freshwater sources.

9 Q. Were Exhibits 10 through 19 prepared by you or  
10 under your direction?

11 A. Yes, they were.

12 Q. And in your opinion, are the granting of Exxon's  
13 Applications in the interests of conservation, the  
14 prevention of waste and the protection of correlative  
15 rights?

16 A. Yes.

17 MR. BRUCE: Mr. Examiner, at this time I'd move  
18 the admission of Exxon Exhibits 10 through 19.

19 EXAMINER STOGNER: Are there any objections?

20 MR. KELLAHIN: No objection.

21 EXAMINER STOGNER: Exhibits 10 through 19 will be  
22 admitted into evidence at this time.

23 Are you passing the witness at this time, Mr.  
24 Bruce?

25 MR. BRUCE: Yes, sir.

1 EXAMINER STOGNER: Mr. Carr, your witness.

2 MR. CARR: I have no questions of this witness.

3 EXAMINER STOGNER: Thank you, Mr. Carr.

4 Mr. Kellahin, your witness.

5 MR. KELLAHIN: Thank you, Mr. Examiner.

6 EXAMINER STOGNER: Do you need a little bit of  
7 time, sir?

8 MR. KELLAHIN: No, sir, I'm just looking for the  
9 reference in Exhibit 10.

10 CROSS-EXAMINATION

11 BY MR. KELLAHIN:

12 Q. Mr. Cantrell, let's focus on the upper reservoir  
13 of the Cherry Canyon. There's a portion of Volume I,  
14 Exhibit 10, and it's in the E section --

15 A. Okay.

16 EXAMINER STOGNER: Which section?

17 MR. KELLAHIN: It's in E.

18 EXAMINER STOGNER: E?

19 THE WITNESS: It says "Mapping and Volumetrics"?

20 MR. KELLAHIN: Yes, sir, it says "Mapping and  
21 Volumetrics", Section E.

22 The narrative that's contained in this geologic  
23 portion of the work, does that represent your work product?

24 A. The narrative part -- Yes, it does. Not all of  
25 the tables do, however.

1 Q. All right, sir. If you'll turn -- Some of the  
2 numbering is a little confusing until you work with the  
3 books a little bit, so bear with me.

4 A. Okay.

5 Q. If you'll turn in the narrative text, turn to  
6 where the bottom of the page is numbered E-4 and the next  
7 page is E-5. You've got a narrative presentation that  
8 deals with the Upper Cherry Canyon. Are you with me?

9 A. Uh-huh.

10 Q. Okay. Now, you can -- Independently of what you  
11 have testified to, you could read this and get your  
12 geologic conclusion about the Upper Cherry Canyon?

13 A. In general, yes.

14 Q. All right, sir. Are there any statements in this  
15 part of the narrative with which you now have disagreement?

16 A. I'd have to review this at this point. This  
17 report came out in 1992. I think in general the geologic  
18 model has not changed since then.

19 Q. All right. Since August of 1992, have you  
20 changed any of the material geologic components in either  
21 of these two parts to Exhibit 10?

22 A. I don't believe so.

23 Q. All right. When we work with the narrative, then  
24 we can go to the map book, which is Volume II, and let's  
25 follow how you have constructed the geometry and the



1 architecture of the upper reservoir, and let's start --  
2 I'll simply take the sequence that you have chosen in the  
3 narrative.

4 In looking at the Upper Cherry Canyon, the first  
5 component of the analysis deals with maps 15 through 18.  
6 Here you're attempting to deal from a gross to a net --

7 A. Correct.

8 Q. -- get a net thickness based upon some porosity  
9 cutoff and other components to derive maps 15 through 18,  
10 all right?

11 A. That's correct.

12 Q. Okay. As we build the maps for the upper  
13 reservoir, turn to Map 18 and describe for me how this  
14 porosity thickness map fits in.

15 Now, I want to have you help me. The orientation  
16 as I see you present it is a difference between what you  
17 see in the southeastern part of the reservoir, moving into  
18 the northwest.

19 A. Right.

20 Q. That's the orientation?

21 A. That's correct.

22 Q. All right. When we start in the southeast part  
23 of the reservoir, then, in the Upper Cherry Canyon --

24 A. Right.

25 Q. -- using Map 18 --

1           A.    Right.

2           Q.    -- take me from that point up northwest and show  
3 me what happens to porosity thickness.

4           A.    Okay. Well, basically it runs -- That cross-  
5 section runs from the southeast corner of Section 25 across  
6 Section 31, down into -- what is it? -- Section 32 there.

7                    So, you know, the point I was making before about  
8 how net thickness, porosity thickness, if you wish to  
9 consider that parameter, is greater, you have more porous  
10 sand in this southeastern and central portion of the field  
11 than you do as you move updip, as you move toward that  
12 shelf margin we described earlier.

13          Q.    In this reservoir, when you dealt with the net  
14 porosity thickness, I think it was a 10-percent cutoff?

15          A.    That's right.

16          Q.    All right, generalize for me what happens to that  
17 net porosity thickness. It moves from a general range of  
18 net in the southeast up to what level of net porosity  
19 thickness in the northwest?

20          A.    Well, you can see for yourself on the map. I'll  
21 just read off for you some typical values.

22                    You know, in the -- What? The southwestern  
23 portion of Section 31, I'm seeing values on the order of  
24 30, in terms of feet of porosity thickness.

25                    Moving across Section 31, on the order of -- I

1 don't know, 25 to 20, on average, I guess.

2 And then by the time you move on over, across,  
3 onto the northeast there, the southeastern corner of  
4 Section 25, porosity thickness is getting down into the  
5 order of eight to ten feet.

6 Q. Okay. Stop for a moment and pick up the type  
7 log. I've lost track of the exhibit number, but it's --

8 A. Okay.

9 Q. -- it's the little type log that you have.

10 A. Right, that is Exhibit 13.

11 Q. I want to make sure the Examiner understands the  
12 nomenclature, is what I'm driving at here.

13 When we look at Map 18 and we're looking at a net  
14 porosity thickness, we have a top and a bottom to the  
15 interval being mapped?

16 A. That's correct.

17 Q. Using Exhibit 13, for purposes of Map 18,  
18 describe for us the interval that's being mapped.

19 A. It is from the -- Well, the top of the reservoir  
20 is sort of a combination of the base of the Goat Seep Reef  
21 and the top of the Upper Cherry Canyon reservoir.

22 At times, as we noted earlier, that red surface  
23 comes down and erodes the green one -- okay? -- in which  
24 case we use the red surface.

25 So it's from the top of the Upper Cherry Canyon

1 reservoir to the base of the Upper Cherry Canyon reservoir,  
2 as it's labeled on this exhibit.

3 Q. That is the interval I'm looking at on Map 18?

4 A. That's correct.

5 Q. All right. When you're looking at that interval  
6 on a given log, for example, the FV3 -- and we have an  
7 example of it in the book, there's a cross-section --

8 A. Yeah.

9 Q. -- that shows that -- how are you determining the  
10 value by which you have determined the height of that  
11 porosity?

12 A. The height of the porosity? I'm not sure what  
13 you're saying.

14 Q. Well, you're counting values, you've got 10-  
15 percent porosity cutoff on the log.

16 A. Right, just --

17 Q. Within this gross interval, then, you are  
18 identifying a certain thickness?

19 A. That's correct.

20 Q. Okay?

21 A. Just as you described it, we apply a porosity  
22 cutoff, and all porosity greater than cutoff is counted on  
23 a foot-by-foot basis.

24 Q. All right. That net thickness becomes one of the  
25 values, then, in determining under your analysis what the

1 distribution of the reservoir pore volume is eventually  
2 going to be?

3 A. That's correct.

4 Q. All right. The next component is, you have to  
5 deal with a water-saturation component?

6 A. Right.

7 Q. And in order to get the hydrocarbon pore volume  
8 distribution, you're going to take height times porosity,  
9 times one minus this water saturation component?

10 A. That's right. We'll -- Porosity thickness, the  
11 map we were just looking at, which is the product of net  
12 thickness times average porosity for that interval, gives  
13 you porosity thickness. Porosity thickness times one minus  
14 water saturation gives you hydrocarbon pore volume.

15 Q. All right, let's deal with the water saturation  
16 portion, then.

17 A. Okay.

18 Q. If you'll look in the narrative, the next  
19 paragraph that's been prepared refers you back to Map 19.  
20 So let's turn in the map book and go to the next map.

21 When you dealt with water saturations in the  
22 upper reservoir, lead us through a word description of what  
23 you are visualizing when you look at Map 19 and follow  
24 water saturation values.

25 A. Okay. Well, water saturation values are

1 obviously decreasing as you go from the southeastern  
2 portion of the mapped area to the northwest.

3 Q. Give us a range. When we start in the southeast,  
4 the water saturation values are in this 70 percent?

5 A. Yeah, 65 to 70, something like that.

6 Q. And by the time we get up into the Premier tracts  
7 up in the east half, east half of 25, what does the map  
8 show you as to the value?

9 A. I'm seeing 40 to 50 percent.

10 Q. Is there a geologic explanation to the change of  
11 percentage value and water saturation?

12 A. To the change in --

13 Q. Yeah, going from 70 up to 40, 45.

14 A. Well, it's decreasing water saturation.

15 Q. Okay. The closure of the reservoir --

16 A. Right.

17 Q. -- describe for us what you see in terms of  
18 reservoir closure to give us a container in which to hold  
19 the hydrocarbons, starting again at the southeast.

20 A. Okay --

21 Q. What do you do?

22 A. Yeah, again, as I tried to describe in my  
23 testimony --

24 MR. BRUCE: Are we talking Upper Cherry?

25 Q. (By Mr. Kellahin) Only Upper Cherry.

1           A.    Right.  As I tried to describe in my testimony,  
2   there's several components to the trap for this reservoir.  
3   One of them is the structure.  We presented a structure  
4   map, okay?  And what you see in the structure is basically  
5   a structural nose, okay?  So there's some small closure on  
6   that structure, but not a whole lot.  At any rate, so there  
7   is a structural component to it.

8                   But the main trapping mechanism is a lateral seal  
9   to the reservoir, and that is the loss of porosity, loss of  
10  porosity thickness as you've just described, from the  
11  southeast to the northwest, again owing to this increasing  
12  presence of tight carbonates as you go to the northwest.

13          Q.    As you're attempting to geologically describe the  
14  container for the hydrocarbons, when we look at the  
15  southeastern corner, the values that control the  
16  hydrocarbons in that southeastern corner of the reservoir  
17  are what, sir?

18          A.    I'm sorry, I don't understand your question.

19          Q.    All right.  What is the closure process by which  
20  the hydrocarbons are not moving farther southeast?

21          A.    Okay, it's just a structural closure.

22          Q.    All right.  When you go to the north and  
23  northwest, as you've illustrated, I think, on the cartoon,  
24  Exhibit 15 --

25          A.    Right.

1 Q. -- when you're moving up into the north and  
2 northwest, you have a different geologic component --

3 A. That's correct.

4 Q. -- by which to determine what that  
5 western/northern boundary is?

6 A. That's correct, a stratigraphic component, again,  
7 this updip pinchout of porous basinally restricted sands  
8 into tight carbonates.

9 Q. As you attempt to approximate the edge of the  
10 container on the north, you're looking at log information?

11 A. Up in -- Where?

12 Q. In the northwest, in the Premier tract.

13 A. Yeah, in the Premier tracts, correct.

14 Q. When you drew the line that shows the productive  
15 limits of the Upper Cherry Canyon, Exhibit 18, what caused  
16 you to draw the red line where it is within the interior of  
17 the boundary?

18 A. I'm sorry?

19 Q. Exhibit 18 was in the supplemental package.

20 A. Okay.

21 Q. The whole unit area is shaded with blue, and then  
22 superimposed upon that is the green area with a red border  
23 to it.

24 A. And what is your question?

25 Q. The question is, what is the relationship to the



1 limits of the reservoir versus the proven primary  
2 production limits as inferred on this display?

3 A. Well, as I testified, the limits of proven  
4 primary production from this reservoir are completely  
5 enclosed within this unit outline.

6 Q. All right. What tells you geologically that  
7 there is not production beyond the red line on the display?

8 A. The red line represents nothing geologically.  
9 The red line simply represents proven primary production.  
10 In other words, where is there production from the Upper  
11 Cherry Canyon? There's nothing geologic about that line.

12 Q. And the Examiner should not take it to mean that  
13 that's the limit of production --

14 A. Possible -- It's the limits --

15 Q. -- of possible future production?

16 A. It's the limits of primary production.

17 Q. And that's all it is?

18 A. And that's all it is.

19 Q. When you're trying to determine the western  
20 boundary of the reservoir for the container and you're  
21 looking to decide where that porosity stops and you make  
22 that transition into nonproductive rock -- I guess it's a  
23 dolomite at that point --

24 A. For the most part, that's correct.

25 Q. What tells you as a geologist that you're into

1 that transition?

2 A. I'm sorry, can you restate your question?

3 Q. Yes, sir. What values or data are you using as a  
4 geologist to set the western boundary?

5 A. The western boundary of the unit?

6 Q. Yes, sir.

7 A. The western boundaries of the unit are not really  
8 defined on the basis of geologic parameters, although they  
9 do support the definition that we've used.

10 As I testified, the unit outline was defined on  
11 the basis of first off looking at where are there active  
12 Upper Brushy and Upper Cherry completions, where is there  
13 current production?

14 And from that core of proven primary -- current  
15 primary development, we've extended out one tract,  
16 basically, one 40-acre ring all the way around, for the  
17 reasons that I testified to.

18 Q. All right. I don't want to misunderstand you.  
19 That unit boundary does not represent the limits of the  
20 reservoir?

21 A. What it -- Well, it does represent the areas of  
22 highest oil satura- -- of highest hydrocarbon pore volume,  
23 of highest net thickness, moveable oil and so forth.

24 So it does correspond to the best parts of this  
25 reservoir.

1           Q.    When we look at Map 20, then, you've got the  
2   Upper Cherry Canyon, you've got your hydrocarbon porosity  
3   thickness map.  There are going to be areas of the  
4   reservoir to the west that are still reservoir in the Upper  
5   Cherry Canyon that are outside the current boundary of the  
6   unit, are there not?

7           A.    There is indeed mapped hydrocarbon pore volume  
8   west of that unit boundary, as we've drawn.

9           Q.    Is the method one where you would construct a  
10  cross-section using values from east to west, from  
11  northwest to southeast, and then on that cross-section  
12  you're going to make a judgment as a geologist as to where  
13  between those two control points this reservoir thins to  
14  the point that you can draw a zero line on your contour  
15  map?

16          A.    Again, the zero line, the line that's on here, is  
17  not geologically defined.  It was more than geology that  
18  went into defining the reservoir or the proposed unit area.  
19  Beyond a certain point, you're only relying upon mapped oil  
20  in place, and you're really getting far away from proven  
21  primary production.

22          Q.    Remove the dark line from Exhibit 20 visually.  
23  There are values beyond that line that show hydrocarbon  
24  porosity thickness?

25          A.    That's correct.

1           Q.    The methodology employed by you and others is to  
2 simply construct values, either in the way of a cross-  
3 section or otherwise, to estimate between control points  
4 what happens to the reservoir?

5           A.    That's correct.

6                    The point I would refer you to, though, again,  
7 coming back to primary production, if you look at the wells  
8 that produce from this reservoir on the east side -- I  
9 mean, you mentioned the FV3 earlier. It has cum'd 5000  
10 barrels of oil.

11                   There's another well immediately to the south of  
12 it in the Citadel ZG State Number 1 that has cum'd a little  
13 over 3500 barrels of oil and has an estimated ultimate  
14 recovery of about 6000.

15                   So there's more than geology in the unit outline,  
16 is the point.

17           Q.    Having constructed your description of the  
18 reservoir and reduced it to a map, show me in the book  
19 where I go to find the net thickness value attributed to  
20 the FV3 that has been put on the map. There's a table  
21 somewhere in this --

22           A.    Well, it -- Yeah, it's actually probably  
23 annotated on the map. We can just look at that. I'm not  
24 at this point aware of the table. There may be one in  
25 there.

1           The point is, you can read off the map what the  
2 value would be at that point.

3           Q.    And that's where I want to ask you the question.  
4 When you're working with the logs, how are you mechanically  
5 -- your methodology for handling that correlation and  
6 picking those values. Has someone taken these logs and  
7 digitized them for usefulness in terms of computer review,  
8 and then you've drawn your map from there? Or did you  
9 simply go in and look at each log on a hands-on basis and  
10 try to pick that porosity thickness?

11          A.    I have to ask you a question about your question,  
12 first off. Are you talking about the volumetric work, or  
13 are you talking about correlations or --

14          Q.    I'm talking about the volumetric work.

15          A.    Okay. Yes, the logs -- You know, as we mentioned  
16 in Exhibit 11, I believe, the stratigraphy summary --

17          Q.    Twelve.

18          A.    Twelve, thank you. There are 71 wells out there  
19 that we had digital data for in the field area.

20          Q.    All right. Who digitized the logs that were then  
21 used for the rest of the review?

22          A.    A vendor in Houston, QC Data.

23          Q.    Okay, you could do that manually, I guess?  
24 There's another way to go about it, right?

25          A.    Exactly.

1 that?

2 A. Right.

3 Q. And when I'm looking at net average water  
4 saturation, I'm looking at a log-derived value, am I not?

5 A. That's correct.

6 Q. That's not been adjusted or otherwise  
7 manipulated? This is your log-derived value?

8 A. That's right.

9 Q. How do you -- how is it -- Maybe it's the  
10 engineer that answers the question. How do you take that  
11 distribution of porosity, the hydrocarbon pore volume  
12 distribution, and reduce it to the value that we talked  
13 about with Mr. Thomas in the spreadsheet that's contained  
14 in the unit agreement?

15 A. I'm sorry, I'm not familiar with the spreadsheet  
16 you're talking about. Is it a reserves statement? Is  
17 that --

18 Q. In effect, I think that's where you end up.

19 A. Again, that is -- I'm not qualified to --

20 Q. That's an engineering function that occurred  
21 after your work?

22 A. Right.

23 Q. If you'll turn to the map book and if you'll go  
24 past the maps and let's look at a cross-section there, it's  
25 captioned at the top, "Avalon (Delaware) Field Structural

1           Q.    All right.  Now, we know the thickness value,  
2   we've got the water saturation, you have drawn your map of  
3   the reservoir.

4                    Show me where you have constructed the map that  
5   gives me the hydrocarbon pore volume distribution for the  
6   Upper Cherry Canyon reservoir.

7           A.    It's the map you were just referring to, I  
8   believe.  For the Upper Cherry Canyon it would be Map 20.

9           Q.    All right.  Completing the narrative for the E  
10   section, if you move behind that there's a series of  
11   exhibits, and what I want you to look at is Exhibit E-5,  
12   which is -- I'm sorry, it's E-4.  E-4 is the summary.

13          A.    Uh-huh.

14          Q.    Are you with me?

15          A.    Uh-huh.

16          Q.    On the summary of volumetrics, then, what has  
17   occurred is, Map 20, someone has gone through and  
18   planimetered or figured out the size of the container to  
19   give you an Upper Cherry Canyon original oil in place value  
20   of 107 million, all right?  Is that correct?  Is that how  
21   that's done?

22          A.    Yes, that's correct.  It's all done in the  
23   computer, but essentially it's the same process.

24          Q.    All right.  And the values by which oil in place,  
25   then, is calculated are listed on this spreadsheet above

1 Cross-Section 2".

2 A. I'm sorry, I don't have a copy of Volume II.

3 Could I borrow --

4 Q. You don't have -- It's the map book, Volume II.

5 A. The big one there?

6 Q. Yes, sir. It's the cross-section 2.

7 EXAMINER STOGNER: What's the headline again?

8 Q. (By Mr. Kellahin) It says "Avalon (Delaware)  
9 Field Structural Cross-Section 2".

10 On the far left of the cross-section it says  
11 "Northwest". The first well is the FV1, the second well is  
12 the FV3. The next well is the C5.

13 A. All right.

14 Q. Using the shorthand code, I think just for  
15 convenience's sake, we've reduced some of these  
16 descriptions to a few letters. Let's take the type log  
17 which was shown on Exhibit -- Was it 18? The exhibit  
18 that's got the values on --

19 A. Here it is.

20 Q. All right, Exhibit 13. Exhibit 13 has got the  
21 nomenclature --

22 A. Okay.

23 Q. -- on the type log. And for reference, if I'll  
24 set that beside this cross-section, when we're looking at  
25 the Upper Cherry Canyon reservoir, on the log for the FV3



1 show me where we have the top and the bottom of the  
2 reservoir in that log.

3 A. Okay, the top of the reservoir in the FV3 would  
4 be the heavy bold black line there, labeled "UCH Downlap".  
5 The base would be the lower heavy bold line labeled "UCH  
6 Base".

7 Q. In this instance, the downlap is not in close  
8 proximity to the base of the Goat Seep?

9 A. Correct.

10 Q. And you've used the downlap, then, as the upper  
11 part of the reservoir?

12 A. That's right, exactly.

13 Q. What caused you to pick -- or perhaps you didn't.  
14 Do you have a geologic explanation as to why Exxon has the  
15 top of the reservoir in this log at this point?

16 A. Yes, I mean, there was a surface, and in this  
17 exhibit it's labeled the UCH downlap. There was a surface  
18 that we were mapping across the field.

19 And on a fieldwide basis, as I said, the surfaces  
20 were -- that one in particular is capped by shales, anti-  
21 carbonates. It's sort of a couplet there. This appeared  
22 to describe the top of the reservoir.

23 Above this point, even though there may indeed be  
24 porous sands present in a few wells, there were no mud log  
25 shows, there was no perforation, no production above that

1 point.

2 Q. When we look at the FV log itself, what caused  
3 you to put the downlap at that point, just above the 2600?

4 A. At this point we were going on the presence of a  
5 limestone shale, limestone couplet -- or carbonate  
6 dolomite, as you were saying.

7 Q. Are you reading the gamma-ray track on the left  
8 side?

9 A. Yeah, that is the interpretation we made; when  
10 it's low gamma ray, we're generally interpreting that it's  
11 probably a carbonate.

12 Q. And because you're looking for this presence of  
13 dolomite in the absence of reservoir porosity in the  
14 western boundary, that's the kind of thing you look for?

15 A. Well, that is one of the things that we look for.  
16 Again, let me reiterate something I said in my direct  
17 testimony. The correlations here are not necessarily based  
18 on a single surface or a single kick or a single point on  
19 the well log. We're looking at overall stacking patterns  
20 that occur in the reservoir.

21 Q. Well, I understand the point is that once you  
22 make this pick you want to see if it fits in to be logical  
23 with offset well control and to have some regional sense to  
24 it?

25 A. That's right, with offset well control, as well

1 as what's going on underneath the surface in this well.  
2 Now, there's -- What is the rest of the section doing?  
3 What is the picture that emerges from looking at that as  
4 well? And how does that total package, then -- you know,  
5 not only the individual little pick that we made here, but  
6 the package of events that occurred below that, how does  
7 that correlate with the offset wells?

8 Q. All right. When you look at the middle marker  
9 here, Upper Cherry middle marker that's on the log here --

10 A. Uh-huh.

11 Q. -- what value on the log did you use to tell you  
12 that's where it ought to be located?

13 A. In general, it was a high gamma-ray signature,  
14 again at the top of a -- you know, a significant series of  
15 markers.

16 Q. And then again, the base, how was that determined  
17 on this log?

18 A. Well, the same procedure. The methodology was  
19 consistent throughout.

20 Q. Did you do the actual work on the FV3 well?

21 A. Well, I along with another Exxon geoscientist.

22 MR. KELLAHIN: Thank you, Mr. Examiner, that  
23 concludes my questions.

24 EXAMINER STOGNER: Thank you, Mr. Kellahin.

25 Mr. Bruce, any redirect?

1 MR. BRUCE: Mr. Examiner, I have just one point  
2 of clarification.

3 REDIRECT EXAMINATION

4 BY MR. BRUCE:

5 Q. Mr. Cantrell, I think if you'd look at your  
6 Exhibit 18 -- Do you have that?

7 A. Yes, uh-huh.

8 Q. And you've got that red line, the limit of proven  
9 primary production in the Upper Cherry Canyon, and you  
10 referred to a couple of wells, the FV3 and the ZG1. Let's  
11 identify those for the Examiner.

12 Now, let's -- The Premier tract is the tract in  
13 the northwest corner of the unit; is that correct? The  
14 sections aren't numbered, but it's the east half, east half  
15 of Section 25?

16 A. That's correct.

17 Q. And the Premier well you were talking about, the  
18 FV3 --

19 A. Right.

20 Q. -- is in the southeast quarter, southeast quarter  
21 of that section?

22 A. That's right, it's in the extreme southeastern  
23 corner of that section.

24 Q. And then immediately below that is the Yates ZG1  
25 well; is that correct --

1 A. That's correct.

2 Q. -- in the northeast quarter, northeast quarter of  
3 Section 36?

4 A. That's correct.

5 Q. And once again, what are the primary production  
6 figures on those two wells?

7 A. The FV3 well, the Premier well, has a total  
8 cumulative production of 5100 barrels of oil.

9 The ZG1 at this point -- well, the last  
10 production data I have is as of April, had a total  
11 cumulative production of a little over 3600 barrels of oil,  
12 on its way to what we estimate an ultimate recovery for  
13 that well to be, about 6000 barrels.

14 Q. And those wells have no Upper Brushy Canyon  
15 production?

16 A. That's correct.

17 Q. It's solely Upper Cherry Canyon production?

18 A. That's correct.

19 Q. So they appear to be correlative wells?

20 A. Right, analogous, geologically analogous.

21 Q. Okay. And there's no proven production to the  
22 west of that from this zone?

23 A. From this zone, that's correct.

24 MR. BRUCE: Nothing further, Mr. Examiner.

25 EXAMINER STOGNER: Thank you, Mr. Bruce.

1 I don't believe I have any further questions of  
2 Mr. Cantrell at this time. He may be excused, unless  
3 there's anything further.

4 MR. BRUCE: Nothing of Mr. Cantrell at this time.  
5 There is a chance I may recall him as a rebuttal witness.

6 EXAMINER STOGNER: Okay, at this time let's take  
7 a 10-, 15-minute recess.

8 (Thereupon, a recess was taken at 1:57 p.m.)

9 (The following proceedings had at 2:18 p.m.)

10 EXAMINER STOGNER: Hearing will come to order.

11 Mr. Bruce?

12 GILBERT G. BEUHLER,

13 the witness herein, after having been first duly sworn upon  
14 his oath, was examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. BRUCE:

17 Q. Would you please state your name and city of  
18 residence?

19 A. Gilbert Beuhler, from Houston, Texas.

20 Q. What is your occupation and by whom are you  
21 employed?

22 A. I'm a reservoir engineer with Exxon Corporation.

23 Q. Would you please describe your educational and  
24 employment background?

25 A. Yeah, I have a bachelor's of science in petroleum

1 engineering from the University of Kansas. I've been  
2 employed by Exxon for 12 years. I have several years'  
3 experience in operations of many Permian Basin fields, and  
4 I've had responsibility in areas such as drilling,  
5 workovers, forecasting field production, economics and  
6 such. I've also had several years' experience in property  
7 acquisition with responsibility for evaluating field  
8 performance and future value.

9 Q. Have you previously testified before the Division  
10 as a reservoir engineer?

11 A. Yes, I have, and I've also testified a number of  
12 times before the Texas Railroad Commission in Permian Basin  
13 cases.

14 Q. Would you please describe your involvement in the  
15 proposed Avalon-Delaware unit?

16 A. I've worked Avalon since October of 1989. I  
17 assisted in the preparation of the technical report which  
18 was used as the basis for unit equity.

19 My responsibilities have included analyzing field  
20 performance using data such as historical production, fluid  
21 data, special core analysis and bottomhole pressures.

22 I was part of the engineering team responsible  
23 for analyzing the field performance and determining the  
24 optimum future field development of Avalon. This included  
25 reservoir simulation and history matching of past well and

1 field performance.

2 I was also the engineer responsible for the  
3 approval and analysis of the Yates C Federal Number 36,  
4 which was a well drilled in the Avalon field in 1990, which  
5 gathered extensive data used in the development of the  
6 technical report.

7 And I'm currently responsible for field  
8 performance predictions and economic analysis.

9 MR. BRUCE: Mr. Examiner, I tender Mr. Beuhler as  
10 an expert engineer.

11 EXAMINER STOGNER: Are there any objections?

12 MR. KELLAHIN: No objection.

13 EXAMINER STOGNER: Mr. Beuhler is so qualified.

14 Q. (By Mr. Bruce) Mr. Beuhler, referring to  
15 Exhibits 20 and 21, will you please describe the history of  
16 the Avalon-Delaware Pool?

17 A. Okay. Exhibit 20 is a plat of the unit. It  
18 indicates development of the pool.

19 The first completion and commercial production  
20 within the proposed unit area occurred in December of 1983.  
21 There have been 37 completions within the unitized --  
22 proposed unitized formation, all on 40-acre spacing.

23 The current status within the unit area, proposed  
24 unit area, is 25 active producers and three active water  
25 disposal wells.



1           And let me note some of the things on this plot  
2   to kind of get you oriented.

3           The proposed unit area is the solid line around  
4   it, and we have noted the various operators. There's  
5   currently four operators. They're lined out, and the  
6   various acreage operated is shown in different colors with  
7   Exxon being in yellow, Yates being in green, Premier being  
8   in kind of that light stippled blue, and MWJ in that light  
9   stippled red.

10          Also note that green 80-acre Yates-operated tract  
11   over on the west side of the field.

12          The wells that have completed in the Delaware  
13   within the proposed unit area are shown as black dots.  
14   These would be wells that would be owned by the unit.  
15   Current injectors are shown with black dots with the arrow  
16   through them, and then other associated wells are shown as  
17   open dots.

18          Turn to Exhibit 21, the next exhibit. It's a  
19   plot of historical production of oil, gas and water for all  
20   unit wells, and let me describe it for you.

21          It's a plot of log rate versus time. Oil  
22   production in barrels of oil per day is shown as a solid  
23   green line. Gas production in MCF per day is shown as a  
24   solid red line. And then water production is the blue  
25   line.

1           The -- It's on a semi-log scale from 100 to  
2   10,000 on rate.

3           Oil production reached a maximum in July of 1984  
4   at 1760 barrels a day -- that's that peak you see in 1984  
5   -- after which production began a primary decline.

6           Due to workovers and special pool rules,  
7   production decline was mitigated for a while in the early  
8   1990s. That's that rise you see in oil production there.  
9   Thereafter, production has declined at approximately a 20-  
10  percent rate.

11          The large production drop that occurred in 1994  
12   is due to the shut-in of two wells in order to make up some  
13   overproduction.

14          Cumulative production through January of 1995 was  
15   3.4 million barrels.

16          Q.    Would you describe the distribution of production  
17   from the pool? And I refer you to your Exhibit 22.

18          A.    Yeah, Exhibit 22 is a map of the primary  
19   production distribution. It's -- Well, it's just like  
20   Exhibit 20 as far as showing the proposed unit area and the  
21   operators colored in.

22          But now each well location is shown as a pie  
23   diagram, and the size of the pie is the well's primary  
24   estimated ultimate recovery. The various slices are shown  
25   on the legend. The cumulative production to 1-1-93 is

1 shown as the red part of the pie. The production that has  
2 occurred between 1-1-93 and 1-1-95 is shown as yellow. And  
3 the remaining primary reserves from decline-curve analysis  
4 is shown as the green part.

5 Note the area of significant primary production.  
6 It's about a 1000 acres there in the central part of the  
7 proposed unit.

8 About three-quarters of the production has  
9 occurred on Exxon-operated leases, and over 99 percent of  
10 the total production has occurred on Exxon and Yates-  
11 operated leases.

12 Q. What is the drive mechanism in the pool?

13 A. The drive mechanism is a solution gas drive.  
14 Current GOR is about 3000. Reservoir pressure has declined  
15 from initial pressure of 1195 p.s.i. in the Upper Cherry  
16 and 1579 in the Upper Brushy, to an estimated pressure of  
17 about 1000 p.s.i. in both zones.

18 Q. Is the unit area in an advanced state of  
19 depletion with respect to primary production?

20 A. Yes. Turn to Exhibit 23. This is a plot of  
21 historical production rate, oil rate per active producer  
22 and GOR.

23 Once again, it's on time, 1983 to 1995, semi-log  
24 plot. The green curve is as before, it's barrels per day  
25 from proposed unit wells, now showing gas-oil ratio as the

1 red line in standard cubic feet per barrel.

2 And if you take the oil in barrels per day and  
3 divide by the active producer, you get the purple line,  
4 which is barrels per day per producer.

5 Production overall has declined from over 1700  
6 barrels a day down to the current approximately 400 barrels  
7 a day, and oil rate per active producer has declined from a  
8 peak of about 60 barrels a day down to the current 18  
9 barrels a day, while the GOR has increased from 600 to  
10 about 3000.

11 Note that the solution GOR is approximately 400,  
12 which means that the reservoir is below bubble point and  
13 producing free gas, which can cause oil viscosity to  
14 increase and future waterflood recovery to potentially  
15 decrease due to the increasing mobility ratio.

16 Turning to Exhibit 24, this is a plot of oil rate  
17 versus cumulative oil. The green curve is barrels of oil  
18 per day, as shown on the Y axis. But now instead of  
19 plotting versus time, I'm plotting versus cumulative oil  
20 production in thousands of barrels.

21 So just pick a number. That 3000 in the middle  
22 would represent 3 million barrels from the unit.

23 Note that the solid line, vertical line splits  
24 historical and future projection. That future projection  
25 was based on reservoir modeling and decline curve analysis.

1 Cumulative production, as noted before, through  
2 January of 1995, was 3.4 million barrels. You can see  
3 where it slices the X axis there.

4 And the field is at an advanced stage of primary  
5 depletion with the remaining reserves of continued  
6 operations of 800,000 barrels, and that's noted underneath  
7 that projection, which is the dot-dashed green line.

8 With a total EUR of 4.2 million barrels, the  
9 field is over 80-percent depleted.

10 Q. Has the portion of the pool which you propose to  
11 unitize been adequately defined by development?

12 A. Yes, it has.

13 Q. And is the portion of the pool being unitized  
14 suitable for unitization and waterflooding?

15 A. Yes.

16 Q. Referring to your Exhibit 25, what injection  
17 pattern do you propose to use for the waterflood?

18 A. Okay, Exhibit 25 is a plat showing the planned  
19 development for implementation of a waterflood in the  
20 Avalon field.

21 Location of the initial water injections are  
22 shown, and as on the legend they're shown in the open  
23 circles with arrows through them.

24 Just to briefly describe the rest of the plot,  
25 the proposed unit area is now shown in the light blue, and

1 then the current wells are shown in dark green, solid  
2 green, with other wells that would not be used during the  
3 waterflood but be available for future use as open circles.

4 As I noted, the wells that would be used for  
5 injection are shown by the blue open circles, with one  
6 proposed conversion as a solid blue circle with the arrow  
7 through it, and the pattern lines are drawn in.

8 The proposed pattern would be a 40-acre inverted  
9 fivespot, and there would be 19 injectors, 27 producers,  
10 one saltwater disposal well and three water-supply wells.

11 Under "Scope" notice that -- Of course, we would  
12 also be installing water-treating and -injection  
13 facilities, and we estimate we could start two months after  
14 the unit is approved.

15 Q. How did you project reserves to be recovered by  
16 the waterflood and by the potential CO<sub>2</sub> flood? And I would  
17 refer you to your Exhibit 26.

18 A. Okay, Exhibit 26 summarizes the methodology that  
19 we use to predict future field performance at Avalon.

20 The geologic model results are combined with  
21 fluid properties and development plan and are used with a  
22 numerical simulator to predict future flow streams and  
23 reserves.

24 On the first bullet there, "From the Geologic  
25 Model", we use it to build the layering model and

1 volumetrics used in the simulation.

2 Second bullet down, the numerical simulator we  
3 used is a three-phase two-dimension simulator that used 312  
4 gridblocks for ten acres.

5 Several calibrations were performed, and we  
6 calibrated with actual field performance available, such as  
7 cumulative oil, gas, water, oil rate, water cut, GOR,  
8 things like that.

9 Future primary prediction, continued operations,  
10 was checked by well and field decline curve analysis. That  
11 also predicted the 4.2 million barrels of EUR I noted  
12 before.

13 The model agreed quite closely with historical  
14 production and decline-curve analysis. We used this model,  
15 note on the last dot, to predict continued operations,  
16 waterflood and CO<sub>2</sub> recoveries.

17 Q. Does the close match you mentioned help verify  
18 Exxon's geologic model?

19 A. Yes, it does.

20 Q. Let's move on to your Exhibit 27, and would you  
21 discuss the predicted unit performance under waterflood  
22 conditions?

23 A. Okay, Exhibit 27 is a plot of the projected  
24 production for the unit under continued operations and  
25 waterflooding. Now, I'm showing production rate versus

1 time for the next, in effect, 25 years, from 1980 through  
2 the year 2020.

3 Production in barrels of oil per day is plotted  
4 on the Y axis there. The current date is designated with a  
5 solid line, vertical line, historical and future there.  
6 The cum production is shown as the solid green line, the  
7 3.4 million barrels I noted before. The continued  
8 operations estimate of .8 million barrels is shown by the  
9 dash-dot, long-dot-short-dot, green line. And then the  
10 waterflood prediction is shown as the solid blue line.

11 The waterflood reserves would extend the life by  
12 over 50 years and yield reserves of 8.2 million barrels,  
13 which is over 10 times the reserves that would be recovered  
14 without the project.

15 Q. You mean the remaining reserves in the --

16 A. Remaining, yeah, sorry, remaining -- continued  
17 operation.

18 Q. What is Exhibit 28?

19 A. Okay, given the amount of oil i place and the  
20 high initial water saturation we've seen at Avalon, we do  
21 feel there is potential for a miscible CO<sub>2</sub> flood in the  
22 future, and Exhibit 28 does show a potential development  
23 plan for implementation of a CO<sub>2</sub>-injection project.

24 As noted, the map is pretty much the same as  
25 before with the waterflood proposal, except for now we've



1 added the black triangles, which would be proposed CO<sub>2</sub>  
2 phase injectors.

3 The pattern would not change from the waterflood  
4 We'd still use a 40-acre inverted fivespot. The  
5 development would add 18 new patterns, effectively doubling  
6 the size of the developed area, and would encompass 37  
7 patterns with 37 CO<sub>2</sub> injectors, 55 producers, one saltwater  
8 disposal well and one water-supply well.

9 The earliest we could start would be 1999, and  
10 the issue there is, we need to wait until we have attained  
11 miscibility pressure for CO<sub>2</sub> and reduced gas saturation.  
12 That takes at least three years.

13 Also, we need to run injectivity tests. That's a  
14 key parameter for the running of a CO<sub>2</sub> project.

15 And of course it would be contingent upon  
16 prediction of oil prices at the time.

17 Q. What is Exhibit 29?

18 A. Okay, Exhibit 29 is a plot of the field  
19 performance, with a CO<sub>2</sub> flood implemented as shown on the  
20 previous development map.

21 The flow streams shown are determined using the  
22 same methodology that were discussed before, both primary  
23 and waterflooding.

24 The map -- The plot is pretty much the same as  
25 before, except for now we've added the solid red line,

1 which would be a future CO<sub>2</sub> reserve flow stream prediction.  
2 And the project life is very long; it would be over 60  
3 years. But the reserve target is large, 39.9 million  
4 barrels, versus the 9 million that are estimated for  
5 remaining primary and waterflooding.

6 Q. Now, you've already touched on this a little bit,  
7 Mr. Beuhler, but I'd like you to reiterate.

8 What about the carbon dioxide flood potential?  
9 Why aren't the working interest owners making a commitment  
10 today, in 1995, to go forward with that aspect of the  
11 project?

12 A. Yeah, I did touch upon this a little bit before.  
13 But here's -- They key thing is, we need to analyze what we  
14 do early on in the waterflood. We need to analyze the  
15 drill well data, the waterflood -- early waterflood  
16 performance data. Like I said, do a CO<sub>2</sub> injectivity test;  
17 that's a key economic parameter, certainly. And make sure  
18 we have achieved CO<sub>2</sub> miscibility pressure and reduced the  
19 gas saturation. Like I said, it would take at least three  
20 years from when water injection begins to do that.

21 At that time the working interest owners must  
22 then review many factors, of course, including predicted  
23 oil prices, in order to determine whether to proceed with  
24 the CO<sub>2</sub> flood. The capital investment for a CO<sub>2</sub> flood  
25 project could exceed \$70 million, and therefore the

1 decision on whether or not to proceed must be made very  
2 carefully.

3 Q. With respect to the waterflood alone, what  
4 additional facilities will Exxon need to install for the  
5 unit?

6 A. It will need to install facilities necessary for  
7 the treatment of produced water, of supply and make-up  
8 water and the injection of both.

9 Q. Referring to your Exhibit 30, would you discuss  
10 the economics of the waterflood project?

11 A. Okay, in Exhibit 30 I have a summary of estimated  
12 incremental waterflood project economics. Note the  
13 assumptions I'm using.

14 I'm assuming the entire unit, 100 percent of the  
15 working interest, with an average 80-percent net-to-gross  
16 there.

17 Product pricing assumptions are shown. I'm using  
18 oil at \$17.10 a barrel, escalated at 5.4 percent a year,  
19 and gas at \$1.50 a thousand, escalated at 6.1 percent a  
20 year.

21 The capital investments for the project would be  
22 \$14,400,000. As noted before, the incremental reserves  
23 received from that investment are 8.2 million barrels.

24 At the initial price shown of \$17.10, these  
25 incremental reserves will generate approximately \$140

1 million of revenue to the pool.

2 The present worth of the future profit,  
3 discounted at 10 percent, is \$21,500,000 worth of payout in  
4 five years and a discounted rate of return of 30 percent.

5 Q. Will the oil and gas recovered by unit operations  
6 exceed the unit costs plus a reasonable profit?

7 A. Yes.

8 Q. And what is the estimated life of the waterflood?

9 A. About 50 years.

10 Q. Is the project area so depleted that it's prudent  
11 to apply an enhanced recovery program at this time?

12 A. Yes, it is.

13 Q. And is the waterflood Application economically  
14 and technically feasible, in your opinion?

15 A. Yes.

16 Q. Will waterflood operations in this portion of the  
17 pool prevent waste?

18 A. Yes.

19 Q. Will the operations result, with reasonable  
20 probability, in the increased recovery of more  
21 hydrocarbons, substantially more hydrocarbons, from the  
22 pool than would otherwise be recovered?

23 A. Yes.

24 Q. Will the unitization and secondary recovery  
25 benefit the working interest owners and the royalty

1 owners --

2 A. Yes.

3 Q. -- within the pool included in the unit area?

4 A. Yes.

5 Q. Now, as a portion of this Application, Mr.

6 Beuhler, you've requested some unorthodox well locations.

7 What is Exhibit 31?

8 A. Exhibit 31 is a listing of the wells for which we  
9 seek unorthodox locations. These wells would be drilled as  
10 producers but will probably produce for less than 12 months  
11 if they are produced. They will then be converted to water  
12 injection for the waterflood.

13 Q. Let's move on to the injection portion of your  
14 Application. What is Exhibit 32?

15 A. Okay, 32 is the NMOCD form C-108, and its  
16 attachments, which was submitted with our Application.

17 Q. Okay. Would you please discuss the proposed  
18 water injectors?

19 A. Yeah, as I noted before, one proposed injector is  
20 currently producing and will require conversion to water  
21 injection. Its well data sheet is shown on page number 4.  
22 The page numbers are in the upper right, probably in pen,  
23 upper right there. And its wellbore sketch is on page  
24 number 5. That's the one conversion.

25 As to the new injectors that would be drilled, a

1 well data sheet for a typical well is shown on page 6, and  
2 a generic schematic of the wells is given on page 7.

3 On each injector, we plan to install a seal-bore  
4 assembly, which basically serves the same function as a  
5 packer, within 300 feet of the top perforation and have a  
6 fluid circulated into the casing tubing annulus.

7 New wells will be acidized and frac'd during  
8 completion, and all wellheads will have pressure gauges  
9 installed on the casing tubing annulus.

10 Q. Now, keeping Exhibit 32 in front of you, Mr.  
11 Beuhler, and also Exhibit 33, would you briefly discuss the  
12 wells in the area of review?

13 A. Yeah, if you look at pages 12 through 15 -- I  
14 guess I can find that -- of the C-108, it contains a  
15 spreadsheet list of all mechanical information for the  
16 wells in the area of review, which penetrate the unitized  
17 formation.

18 Exhibit 33, the next exhibit, contains the  
19 calculation on top of cement. The top of cement was  
20 calculated by evaluation of temperature logs, cement bond  
21 logs or calculated from sacks of cement, but most strings  
22 did have cement circulated.

23 Q. Are there any plugged-and-abandoned wells in the  
24 area of review?

25 A. No.

1           Q.   And are all freshwater zones isolated from  
2 injected fluids in the area of review?

3           A.   Yes.

4           Q.   Are there any freshwater wells in this area?

5           A.   Yes, there are.

6           Q.   Would you refer to your Exhibit 34, discuss its  
7 contents, and would you comment for the Examiner whether  
8 tests have been taken from those wells?

9           A.   Yes, we have taken samples on two wells.

10                   Exhibit 34, note it's the same proposed unit  
11 area, with all the wells shown.

12                   A list of freshwater wells was obtained from the  
13 records of the State Engineer, verbally from our field  
14 employees and from area land owners.

15                   Four freshwater wells may be active in the area  
16 of interest. All of these wells produce from the Rustler  
17 formation, the shallow freshwater zone.

18                   Two of these wells were sampled, and these wells  
19 are shown on Exhibit 34. The two sampled wells are shown  
20 as the dark blue diamond.

21                   Again, none of our injection water should reach  
22 these freshwater sources.

23           Q.   And you mentioned samples. Are those water  
24 samples Exhibit 35?

25           A.   Yeah, those two samples are contained on Exhibit

1 35.

2 Q. Now, Exhibit 35 is a two-page sheet; mine wasn't  
3 stapled.

4 A. Yeah, it's not stapled. It's two pages, one for  
5 each well.

6 Q. What will the initial injection pressure be?

7 A. Okay, initially we will comply with the  
8 .2-p.s.i.-per-foot surface injection pressure required by  
9 the Division.

10 Subsequently, we may seek approval of injection  
11 pressures higher than this, validated with step rate tests.

12 Q. Okay, and what is the source of water for the  
13 waterflood?

14 A. We'll use produced Delaware water.

15 Q. Is the unitized management, operation and further  
16 development of this pool necessary in order to effectively  
17 carry on your proposed secondary recovery operations?

18 A. Yes.

19 Q. And will these operations substantially increase  
20 the ultimate recovery of oil from this pool?

21 A. Yes.

22 Q. Now, let's move on to the participation of  
23 interest owners in the unit.

24 You have reviewed the participation formula in  
25 the unit agreement, Mr. Beuhler?



1 A. Yes.

2 Q. And in your opinion, does the unit agreement  
3 provide for a fair and equitable plan of unitization?

4 A. Yes, it does.

5 Q. Would you review your Exhibit 36 and describe how  
6 production will be allocated among the various tracts under  
7 the unit agreement?

8 A. Okay, Exhibit 36 is from Section 13 on page 7 of  
9 the unit agreement, which sets out the participation  
10 formula to be used for allocating production. This formula  
11 is based on primary, secondary and tertiary reserves.

12 And as shown on the bottom, the reserve --

13 Q. Mr. Beuhler, I think -- Let's look at Exhibits 36  
14 and 37 together.

15 A. Okay.

16 Q. Thirty-seven is actually the participation  
17 formula; is that correct?

18 A. Yes, it is, that's the actual formula.

19 Q. Okay, go ahead with Exhibits 36 and 37 together,  
20 then.

21 A. Right. Thirty-six denotes by tract the reserves  
22 that are used in the formula that's shown on 37. The  
23 reserve figures used are shown there on the bottom.

24 For remaining primary, it's 1,192,200 barrels of  
25 oil, as of 1-1-93, as set out by the technical report.

1           The secondary reserves are 8,269,400 barrels.

2           And the tertiary reserves are 39,883,000 barrels,  
3 and they're split by various tracts.

4           These reserves were developed using the  
5 methodology discussed in Exhibit 26 and are consistent with  
6 the future production flow streams shown.

7           Q.   And again, these reserve figures on Exhibit 36  
8 come from the technical report?

9           A.   Yes, they do.

10          Q.   Okay. Did the working interest owners agree to  
11 use these numbers?

12          A.   Yes, we took a ballot in April of 1994, and over  
13 90 percent of the working interest owners agreed to use the  
14 technical report as the basis for unitization --

15          Q.   Okay.

16          A.   -- with only one percent disagreeing.

17          Q.   Let's move on, then, to your Exhibit 37, which is  
18 the actual participation formula. Would you discuss the  
19 basis of the participation formula?

20          A.   Yeah, what Exhibit 37 does is, it shows the  
21 rationale for the participation formula proposed in the  
22 unit agreement.

23                The basic framework for this formula was offered  
24 by Yates Petroleum. Exxon, with over 80 percent of the  
25 production, had taken the lead in proposing an equity

1 formula. There were some injections to the formula  
2 proposed by Exxon, mostly pertaining to it being a two-  
3 phase formula. And in order to ensure working interest  
4 owner participation Yates offered to propose a single-phase  
5 alternative, and this equity formula shown on Exhibit 37 is  
6 the result of that Yates proposal.

7 Q. What is the underlying basis for this formula?

8 A. The intent was to base the formula on recoverable  
9 oil and include risk, basically risk with economic factors.

10 If we go through each piece, primary oil has the  
11 lowest risk, it's already developed, has established  
12 decline, has the highest value per barrel since it has low  
13 operating costs and no development costs. While there's a  
14 fair amount of remaining primary reserves, they constitute  
15 a small part of the total unit potential reserves, roughly  
16 two percent. It was given a 25-percent weighting factor,  
17 based on these factors.

18 Skipping down to tertiary, tertiary reserves are  
19 by far the largest part of the potential recovery, roughly  
20 80 percent of future unit production, but they also have  
21 the highest risk. It involves large expansions of the unit  
22 area or developed area, and they are very sensitive to  
23 future production -- future pricing -- with the long  
24 project life.

25 They also have the lowest value per barrel, given

1 that they have high development and operating costs. Thus,  
2 they were given a 25-percent weighting factor, equal to the  
3 primary reserves.

4 Secondary reserves are between primary and  
5 tertiary, both in amount and value. But the main objective  
6 of the unit is the implementation of the waterflood.  
7 Secondary reserves also have a relatively low risk with the  
8 project area encompassing the primary developed area.  
9 Thus, they were given the highest weighting factor, 50  
10 percent.

11 And all these factors are shown on Exhibit 37.

12 Q. Did any other factors enter into this formula?

13 A. Yeah, and since initially only about half the  
14 unit is being developed, the working interest owners  
15 thought it fair to assign a participation factor to tracts  
16 on the fringe of the unit, tracts with only CO<sub>2</sub> potential,  
17 in return for their acreage being included in the future  
18 field development.

19 Q. Again, in your opinion is this formula fair?

20 A. Yes, I think it is.

21 Q. Could you give us an example?

22 A. Well, for instance, Exxon currently has 80  
23 percent of the current production, but its participation  
24 under this formula would be reduced to 74 percent.

25 Q. You've sat in meetings where Premier's

1 representatives were present, have you not?

2 A. Yes.

3 Q. And you've been made aware of at least some of  
4 Premier's objections to the equity formula?

5 A. Yes.

6 Q. In your opinion, is the participation formula and  
7 is the tract participation factors set forth in these  
8 documents fair to Premier?

9 A. Yes.

10 Q. Why do you so believe? And if you would, refer  
11 to your Exhibit 38.

12 A. Okay. Looking at 38 to help show this, Premier  
13 has had a total cumulative production from their tracts of  
14 5100 barrels of oil, but they have no current primary  
15 production and no primary or secondary reserves.

16 But nonetheless, Premier would get one percent of  
17 production of the unit from day one. In fact, due to  
18 investment equalization set out in the unit agreements,  
19 Premier will probably have a positive cash flow from the  
20 beginning of the project.

21 Premier's one-percent equity, as shown, would  
22 give them 8000 barrels of oil for the unit's remaining  
23 primary production, and with the waterflood project would  
24 give them a total of 90,000 barrels. If the CO<sub>2</sub> flood is  
25 implemented, Premier would receive a grand total of 489,000

1 barrels.

2 Q. So Premier gets some of the value up front?

3 A. Right.

4 Q. What about -- You've heard Mr. Kellahin request  
5 that Premier be left out of the unit. What about that  
6 suggestion?

7 A. Well, first, as we noted, this field is a good  
8 candidate for a CO<sub>2</sub> flood. But to unitize without  
9 anticipating a CO<sub>2</sub> flood would be shortsighted, because by  
10 eliminating Premier's tracts, the potential CO<sub>2</sub> flood would  
11 have to be scaled back somewhat, causing a loss of  
12 reserves, income and royalties.

13 Second, if the tract is omitted now, it may never  
14 be brought in. And from a practical aspect, it will cause  
15 amendments to the unit documents and new state and federal  
16 approvals and re-ratification by interest owners.

17 Q. Have any interest owners on these fringe tracts,  
18 as we refer to them, other than Premier, approved  
19 unitization?

20 A. Yes, MWJ operates Tract 8 -- I think it's easiest  
21 to see if you go back to my Exhibit 20 -- which, like  
22 Premier's tract, is a fringe tract with low cumulative oil  
23 and features CO<sub>2</sub> reserves only. And they have approved the  
24 unit.

25 Also, the Commissioner of Public lands, which is

1 the lessor of Premier's Tract 6 and other tracts, has  
2 approved the unit.

3 Q. Does the participation formula contained in the  
4 unit agreement allocate the produced and saved hydrocarbons  
5 to the separate unit tracts on a fair, reasonable and  
6 equitable basis?

7 A. Yes.

8 Q. One final exhibit, Mr. Beuhler, Exhibit 39.  
9 Could you identify that and describe what Exxon requests  
10 for the initial project area for the waterflood?

11 A. Yeah, if you look at Exhibit 39, the initial  
12 project area, pursuant to Division Rule 701 G, Part 3, will  
13 encompass 1200 acres, all located inside the unit boundary,  
14 and this area is described on Exhibit 39.

15 Q. And what project allowable does Exxon request?

16 A. We request that each producing well be granted an  
17 allowable equal to its capacity to produce.

18 Q. In your opinion, will the granting of these  
19 Applications be in the interests of conservation, the  
20 prevention of waste and the protection of correlative  
21 rights?

22 A. Yes.

23 Q. And were Exhibits 20 through 39 prepared by you,  
24 under your direction, or compiled from company --

25 A. Yes.

1 Q. -- records?

2 A. Yes.

3 MR. BRUCE: At this time Mr. Examiner, I'd move  
4 the admission of Exhibits 20 through 39, and we pass the  
5 witness.

6 EXAMINER STOGNER: Are there any objections?

7 MR. KELLAHIN: No objection.

8 EXAMINER STOGNER: Exhibits 20 through 39 will be  
9 admitted into evidence at this time.

10 Thank you, Mr. Bruce.

11 Mr. Carr, your witness.

12 MR. CARR: I have no questions of this witness.

13 EXAMINER STOGNER: Thank you, Mr. Carr.

14 Mr. Kellahin?

15 MR. KELLAHIN: Thank you, Mr. Examiner.

16 CROSS-EXAMINATION

17 BY MR. KELLAHIN:

18 Q. Mr. Beuhler, if you'll pull out Exhibit 25, which  
19 is a pattern for the waterflood, --

20 A. Yeah. Okay, I'm there.

21 Q. -- then you have a spreadsheet that shows the  
22 reserves by tract, broken out. It was attached to the unit  
23 agreement. Thirty-six and 25.

24 A. Okay.

25 Q. Thirty-six appears to be a reproduction of



1 Exhibit "D" to the Exhibit 2, which was the operating  
2 agreement?

3 A. Yes.

4 Q. When we look at the waterflood aspects of the  
5 project by itself, the eastern stack of 40-acre tracts,  
6 which include the Premier tracts, under your analysis they  
7 have no relative value for the waterflood purposes; isn't  
8 that true?

9 A. Correct.

10 Q. Under your analysis they have no contribution of  
11 remaining primary recoverable reserves; is that not true?

12 A. Correct.

13 Q. When you look at the waterflood map, there are no  
14 producer wells to be in the western tier of 40-acre tracts  
15 that were discussed; is that not true?

16 A. Correct.

17 Q. And you can complete your injection pattern for  
18 the waterflood project without utilizing any of those  
19 tracts?

20 A. Correct.

21 Q. The calculation of remaining primary reserves for  
22 the Premier tract was done by you?

23 A. It was done with my assistance. It was done by  
24 several people.

25 Q. All right, sir. Do you understand the process

1 that was utilized by Exxon to determine whether or not  
2 there were any remaining reserve potentials for that tract?

3 A. Yes.

4 Q. All right. Describe for me the method used.

5 A. Well, the remaining primary reserves of the  
6 current Premier well, the FV Number 3, is 5000 barrels, and  
7 that well has been shut in for at least a couple years.

8 Q. Now, you just took out production --

9 A. Right.

10 Q. -- and plotted the decline curve, and you had  
11 that value?

12 A. Right.

13 Q. But in terms of what you contend is no further  
14 primary reserve potential for the Premier tracts, how was  
15 that determination made?

16 A. It was determined by the same way we determined  
17 for the rest of the field where there was no primary  
18 production.

19 Q. And how did you do that?

20 A. As noted before in the flowstream methodology --  
21 Let's refer to that.

22 Q. All right.

23 A. We used the original geologic model which  
24 provides a layering model, volumetrics, goes into a  
25 numerical simulator calibrated against the actual

1 production results, and then it's used to determine  
2 economic primary, and if it's not economic it's of course  
3 not included.

4 Q. All right. If you'll turn to that portion of  
5 Exhibit 10 in Book I where we have Exhibit G-19, it's the  
6 exhibit part that follows the G narrative, where you're  
7 doing this stuff --

8 A. I'm not sure I understand the right area.

9 Q. Yeah, I'm looking for Exhibit G-19 --

10 A. Got you.

11 Q. -- out of the thick book. There's a spreadsheet  
12 there.

13 A. Got you.

14 Q. All right. Let's talk about how the work between  
15 you and Mr. Cantrell is organized, if you will. He's got a  
16 volumetric sum for the Upper Cherry Canyon. It's 107  
17 million, give or take; is that not true? Original oil in  
18 place?

19 A. Something like that.

20 Q. Okay. Did you have as an engineer the ability to  
21 run material balance calculations on that reservoir  
22 container size to see if you could match back to that  
23 volumetric amount?

24 A. In effect that's what we do in a history match.  
25 When we're matching, it's actual production. We're not

1 only matching oil rate, we're matching total fluid rate  
2 too, and we received a very good match.

3 Q. In turn -- In order to derive that number, what  
4 percentage of the decline rate -- or percentage recovery of  
5 original oil in place were you using?

6 A. I think that's shown in the technical report. I  
7 think it's G-18. It works out to five-percent recovery.

8 Q. All right, sir. When you look at calculating  
9 remaining recoverable reserves for the Premier tract, did  
10 you use the log-derived water saturation value for the FV3  
11 as derived by Mr. Cantrell?

12 A. That was where we started initially.

13 Q. Okay. That initial value is determined by  
14 looking at one of these spreadsheets in the exhibit book,  
15 isn't it?

16 You can go to the E section of the book, and  
17 through all that tabulation of information there will be a  
18 corresponding value in here that will tell you the log-  
19 derived average water saturation for this well in the Upper  
20 Cherry Canyon is 0.385, all right? 0.385. Is that the  
21 value you used when you as an engineer calculated a  
22 remaining original oil in place for the Premier tract?

23 A. As I noted, we started with that value.

24 Q. Yes, sir.

25 A. But the key here is, we have a geologic model

1 which is the start of determining future reserves. The key  
2 is, we have actual production available from this tract,  
3 and we can use that to calibrate the volumetrics in that  
4 area, and that's what we did.

5 Q. All right. In part of that calibration work you  
6 did, you adjusted the water saturation value in the  
7 calculation and you increased it to approximately 60  
8 percent, didn't you?

9 A. Just under.

10 Q. And by increasing the water saturation value up  
11 to 60 percent, you are contracting the oil-in-place result  
12 from the calculation?

13 A. Correct, to match actual well performance.

14 Q. All right. Let's go back to G-19, Mr. Beuhler,  
15 and let's go through how this is put together.

16 There's the waterflood distribution map,  
17 Exhibit -- I lost track of the exhibit. Exhibit 25.

18 All right, Exhibit 25 gives us a code for going  
19 down the western boundary of the waterflood, and as we look  
20 at these various values, for waterflood purposes none of  
21 the tracts on the eastern value of the proposed unit are  
22 going to have any positive effect in contributing reserves  
23 for waterflood purposes; is that not true?

24 A. I think you're talking the -- tracts, and no,  
25 they will not contribute to the waterflood reserves.

1 Q. Okay. When we look at the unit well numbers on  
2 Exhibit G-19, that's a code that will help us locate where  
3 that well is --

4 A. Correct.

5 Q. -- or that 40-acre tract. It's a 40-acre tract  
6 code, is it not?

7 A. Correct.

8 Q. When we look at the first entry, 1109 is in fact  
9 the northeast-northeast of 25, right?

10 A. Correct.

11 Q. And for remaining primary, there is no value  
12 placed in that?

13 A. Correct.

14 Q. And that's how you -- and the method that you  
15 used to calculate that absence of remaining primary oil  
16 production was these production-adjusted values that you  
17 just described when you calculated oil in place?

18 A. Correct.

19 Q. All right. When you read over, you show that  
20 there's no workover value for that particular tract?

21 A. Correct.

22 Q. All right. What do you mean when you talk about  
23 a workover value for that tract?

24 A. These are workovers to capture behind-pipe pay  
25 that would be performed during the waterflood.

1 Q. All right. You can log-derive a potential by  
2 examination that there are existing wells that have not yet  
3 been adequately perforated, and they're still behind-the-  
4 pipe oil potential; is that what you're looking for?

5 A. These are workovers that will be done during the  
6 waterflood.

7 Q. All right. Look at the next tract down. It's  
8 1111, which is the northwest-northwest of Section 30. It's  
9 where Yates has the EP7 well. Do you see that?

10 A. Uh-huh.

11 Q. It has a workover potential. What is this value?  
12 266,000 barrels of oil?

13 A. Correct.

14 Q. How do you get that number?

15 A. That is derived from the hydrocarbon pore volume  
16 available.

17 Q. Okay. And delta is -- ? When you read over on  
18 the spreadsheet -- ?

19 A. Oh, yeah, delta is, in effect, the incremental of  
20 each step. The EUR adds each step, and the delta gives you  
21 the incremental.

22 Q. All right. I'm looking at delta, then, because I  
23 want the incremental reserves attributed to the waterflood  
24 portion for the workover, right?

25 A. Correct.

1 Q. And I get the 266 for that particular well.

2 When you go over and read it again for the  
3 waterflood part, there's additional contribution for  
4 waterflood, and how does that occur?

5 A. It's the same methodology as described before.

6 Q. In this instance, this well should receive some  
7 potential response from the injection well that's located  
8 to the south and east of this well?

9 A. Correct.

10 Q. Is that what is factored in here?

11 A. Correct.

12 Q. Okay. When you read on down the table and you  
13 get to the row that has 1709, on Exhibit G-19, that is the  
14 entry that corresponds to the FV3 well, does it not?

15 A. Right.

16 Q. And as you read across you've got the 5100;  
17 that's current cum on that well?

18 A. Uh-huh.

19 Q. We know what that is?

20 A. Uh-huh.

21 Q. But you show no incremental workover additional  
22 contribution for that well?

23 A. Right.

24 Q. And that is because of what?

25 A. Because it's not economic to go develop those



1 tracts.

2 Q. Based upon what?

3 A. Based on the available amount of waterflood and  
4 primary oil.

5 Q. Okay. That entire engineering analysis is based  
6 in the accuracy of Mr. Cantrell's geologic interpretation  
7 about the distribution of the reservoir pore volume in that  
8 tract, is it not?

9 A. No, in fact it's quite the opposite. We're  
10 able -- Because we have production available from people  
11 who have developed their tracts, we can calibrate that  
12 geologic model with actual production.

13 Q. And the calibration that occurred in the FV3 was  
14 to increase the water saturation, because you had water  
15 production from that well that increased the water cut, and  
16 therefore you attributed that water production directly to  
17 that interval in the well?

18 A. Water as well as cumulative oil, yes.

19 Q. And if that is flawed, then we have undervalued  
20 the Premier tract in terms of its value for remaining  
21 recoverable oil and any waterflood potential?

22 A. The history match to that tract would be based on  
23 what the well has actually done.

24 Q. Yes, sir. And if there's a mistake in that  
25 methodology or in that log analysis for that well, then

1 there's going to be a mistake in failing to attribute  
2 recoverable reserves to this tract?

3 A. No, we're history-matching to actual production.  
4 It's the 5100 barrels that is the key thing here.

5 Q. And if the well has further potential beyond the  
6 5000 barrels, then it's not incorporated in this analysis?

7 A. Correct.

8 Q. Okay. When we get to the CO<sub>2</sub> plan -- I've lost  
9 track of my exhibit numbers, Mr. Beuhler. What's the  
10 schematic that shows the --

11 A. Oh, it's about 27, I think, 28. The development  
12 plan?

13 Q. Yes, sir. All right, if we put this concept into  
14 operation, describe for me as a reservoir engineer the  
15 missing technical components that you need to make the  
16 decision about the CO<sub>2</sub> project.

17 A. Can you give further detail?

18 Q. Yes, sir. In response to Mr. Bruce, you said you  
19 needed more information with regards to the issue of  
20 whether you implement a CO<sub>2</sub> project, and that had to do  
21 with -- principally, I think, the missing ingredient was an  
22 injectivity test.

23 A. No, that was one of the things I said; I wouldn't  
24 say it's principally. That's an important economic  
25 parameter, certainly because that determines -- one of the

1 things that determines how fast you can flood the field.

2 Q. All right, give me a list of what's missing at  
3 this point.

4 A. A complete list would be very difficult. I can  
5 give you some of the key ones, and I think the key one is  
6 being able to match against actual performance. And that's  
7 what we can do in the actual primary developed area, we  
8 have actual reserves that we can match against.

9 And so the key thing is, we have a better idea of  
10 what the CO<sub>2</sub> flood performance is in the actual developed  
11 part of the field.

12 As you extend beyond that, you don't have as much  
13 information, because the operator has not developed that  
14 area.

15 Q. All right. And the injectivity results that  
16 you're trying to see is whether or not water injected into  
17 an injection well is going to have a positive injection  
18 response in the pattern for the producing wells; is that  
19 what you're talking about?

20 A. No, the injectivity test I'm talking about is to  
21 determine how fast the CO<sub>2</sub> goes in.

22 Q. How will you determine that only within the  
23 context of the waterflood operation?

24 A. You can put it in any well.

25 Q. All right, and so the plan is to run a test with

1 CO<sub>2</sub> within the confines of a waterflood pattern?

2 A. That has not been determined yet --

3 Q. All right.

4 A. -- as far as which well we would predict -- we  
5 would pick.

6 Q. But that's the method. The method to determine  
7 the effectiveness of the injectivity of CO<sub>2</sub> is going to be  
8 to take an injector, or multiple injectors, from the  
9 waterflood and run that test?

10 A. It is to take a well that is injecting into the  
11 Delaware and put CO<sub>2</sub> into the Delaware and see how fast it  
12 goes in.

13 Q. Well, you're doing that now, aren't you? You  
14 don't have any of that capacity in this project at this  
15 point?

16 A. I don't understand.

17 Q. Well, you've got disposal wells. What zones are  
18 they disposing in?

19 A. Various zones, from the lower part of the Brushy  
20 to the upper part of the Cherry.

21 Q. All right. Can you run laboratory tests to  
22 determine the injectivity of the CO<sub>2</sub> in a project like  
23 this?

24 A. You could. You would always prefer well tests.  
25 That's the reason we want to do one.

1 Q. Do you have an analogy in another Delaware field  
2 where you could run the test to get the results to  
3 determine the feasibility of the CO<sub>2</sub> flood?

4 A. We do have analogies, but you'd always rather  
5 have one in the field of interest.

6 Q. All right. How soon could you start running that  
7 test?

8 A. I'm not sure. Right now the primary importance  
9 is getting the waterflood up and running.

10 Q. Anything else missing, to decide the feasibility  
11 of instituting the CO<sub>2</sub> project?

12 A. Number one is a nonreservoir issue. It's oil  
13 prices, prediction of oil prices.

14 Q. And what's your prediction? Is there a threshold  
15 prediction at which this is not feasible?

16 A. We don't look at it that way. It's -- When the  
17 working interest owners would be asked to make a decision,  
18 everybody would have to predict their own oil price and  
19 decide whether it was worth going for.

20 Q. Okay, anything else?

21 A. I think I've hit the significant ones.

22 Q. Describe for me the reasoning that you want to  
23 keep what appears to be 40-acre buffer of tracts that are  
24 not contributing to the waterflood project available as, I  
25 guess, an inventory of tracts for the CO<sub>2</sub> project. Why do

1 you want to do that now?

2 A. Because we're looking ahead to a possible CO<sub>2</sub>  
3 project.

4 Q. That's it?

5 A. That's a good reason.

6 Q. The timing now is to put these tracts in now  
7 before you know if it's a feasible project?

8 A. As noted, it would be very difficult, we feel, to  
9 go back in and do something later on. It would require  
10 re-ratifications, re-approvals. It might not ever be done.

11 Q. You've never seen units expanded?

12 A. Of course they do.

13 Q. Were you involved in the working interest owner  
14 meetings back in June of 1994? Did you attend these  
15 things?

16 A. Yes.

17 Q. By unanimous agreement, the working interest  
18 owners excluded the Premier tract back in June of 1994,  
19 didn't it?

20 A. I think it notes that -- on the spreadsheet it  
21 says all working interest owners agree.

22 Q. And that included Exxon, didn't it?

23 A. Yes.

24 Q. And the technical information available at the  
25 time that that decision was made to exclude the Premier

1 tract is no different than the information we have now, is  
2 it?

3 A. Well, you have to remember this was not a formal  
4 proposal being made. There was many issues being  
5 negotiated. This was just one of them.

6 Q. And as to this issue, the parties agreed to take  
7 the Premier tract out; is that not what this says?

8 A. Within that meeting, yes. But soon after that  
9 meeting Yates came back and said let's talk about this.

10 Q. And how was that done then? Was that on an  
11 agenda for a formal vote by the working interest owners, to  
12 now bring back in Premier who had just been voted out?

13 A. Once again, a formal proposal was never made to  
14 exclude Premier. This was another negotiation step.

15 Q. The decisions made about Premier were made  
16 between Exxon and Yates --

17 A. No.

18 Q. -- to the exclusion of Premier; is that what  
19 you're telling me?

20 A. No, no.

21 Q. Did you know that Mr. Ken Jones did not want his  
22 tracts in this unit?

23 A. At some point, yes.

24 Q. All right, sir. What changed between June of  
25 1994 and now that caused these tracts to be put back in?

1           A.   Well, like I said, very soon after June -- the  
2   June meeting -- Yates came back and said, We need to get  
3   the working interest owners together and decide what the  
4   unit outline should be.

5           Q.   And based upon that, then, you brought back --  
6   Because of Yates, you wanted the Premier tracts back in?

7           A.   Yeah, there's important issues that have to be  
8   decided, like unitizing the entire pool, expediting  
9   efforts, things like that.

10          Q.   If you exclude the Premier tracts from the CO<sub>2</sub>,  
11   what's the consequence?

12          A.   Those tracts probably would never be developed  
13   under CO<sub>2</sub>, and therefore both the working and royalty  
14   interest owners would lose those reserves.

15          Q.   Have you attempted to quantify what that would  
16   be?

17          A.   I do not know that.

18          Q.   Will the CO<sub>2</sub> project still be practical,  
19   feasible, and economic with the exclusion of the Premier  
20   tracts?

21          A.   On all the other tracts, yes. You just exclude  
22   this tract and lose the reserves from those tracts.

23                   MR. KELLAHIN: Thank you, Mr. Examiner.

24                   EXAMINER STOGNER: Mr. Kellahin.

25                   Any redirect?



1 MR. BRUCE: Just a few questions, Mr. Examiner.

2 REDIRECT EXAMINATION

3 BY MR. BRUCE:

4 Q. The last question, Mr. Beuhler, the CO<sub>2</sub> project  
5 could be done without Premier's tracts, but wouldn't  
6 reserves, future reserves, be lost?

7 A. Oh, yes, of course it would be a smaller project  
8 because you would lose those tracts.

9 Q. And you do map substantial tertiary reserves  
10 under the Premier tract?

11 A. Yeah, as noted it's one percent of the unit.  
12 That's a substantial amount of reserves.

13 Q. Now, regarding the so-called agreement to exclude  
14 Premier, as Mr. Kellahin characterized it, really wasn't  
15 that an agreement to consider excluding Premier?

16 A. Well, I think that's the whole point; it was  
17 never on the docket, it was a formal proposal to leave  
18 Premier out.

19 Q. So it came up at this working interest owners'  
20 meeting, people agreed to consider it, but there was no  
21 final action on that request?

22 A. Correct.

23 Q. And once again, really the unit outline you're  
24 proposing today is the same as it was in 1991?

25 A. Correct.

1 Q. A couple other points.

2 Mr. Kellahin asked you about the FV3 well,  
3 Premier's well in the southeast-southeast of Section 25.  
4 Does that well have any potential beyond its current  
5 cumulative recovery?

6 A. No, it's made 5000 barrels, and that's all it's  
7 going to...

8 Q. And on what do you base that?

9 A. Well, of course it hasn't made any in years, and  
10 a very analogous well is just to the south. It's  
11 geologically fairly -- very close, just to the south. It's  
12 -- As Mr. Cantrell has noted, it's the Citadel ZG Number 1,  
13 very similar in many aspects, and it's cum'd to date about  
14 4000 barrels, and on current decline it might hit 6000.

15 Once again, it looks about the same, and it's  
16 going to give out the same amount of oil as the Premier  
17 well has.

18 Q. And one final issue. Mr. Kellahin was referring  
19 to Exhibit 10, the Exhibit G-19 of Exhibit 10, and he asked  
20 you about, I think, the top two wells, the Well Number 1109  
21 and Well Number 1111.

22 A. Correct.

23 Q. Now, your treatment, Exxon's treatment in the  
24 technical report, say, Well 1109 in the northeast-northeast  
25 of Section 25 is no different than you treated similar

1 tracts. For instance, the northeast quarter, northwest  
2 quarter of Section 30, would be 1113. That was treated  
3 similarly to the Premier tract, was it not?

4 A. Correct, the methodology was all the same.

5 Q. And so the Yates tracts, the Exxon tracts, the  
6 Premier tracts were all treated similarly under those  
7 conditions?

8 A. Correct.

9 MR. BRUCE: I have nothing further, Mr. Examiner.

10 MR. KELLAHIN: A follow-up, Mr. Examiner.

11 EXAMINER STOGNER: Please, go ahead.

12 RECROSS-EXAMINATION

13 BY MR. KELLAHIN:

14 Q. If you'll look at Exhibit 28, Mr. Beuhler, do you  
15 see the lease line injection pattern here with the  
16 additional CO<sub>2</sub> injectors?

17 A. Sorry, I'm not there yet.

18 Q. All right, sir. I apologize for moving ahead.  
19 It's the schematic that shows the CO<sub>2</sub> development plan.

20 A. What exhibit number is that?

21 Q. Twenty-eight.

22 A. Thank you.

23 Q. Have you got it?

24 A. Yes, sir.

25 Q. All right. Look at the boundary between Section

1 25 and 30. The ability to recover the CO<sub>2</sub> reserves  
2 attributed to the Premier tract is made possible because of  
3 the location of those three injection wells along that  
4 section line; is that not true?

5 A. Correct.

6 Q. Are you familiar with the concept of cooperative  
7 lease line injection programs?

8 A. Yes, I am.

9 Q. And so you are accustomed to seeing this at least  
10 in waterfloods where adjoining properties would come  
11 together, each operator on each side would agree to  
12 participate in the injection wells, and as to the property  
13 or tracts on their sides, they get the benefit of that  
14 secondary or tertiary recovery plan?

15 A. Under waterfloods they are pretty common. Under  
16 CO<sub>2</sub> floods, I've never heard of one.

17 Q. But this pattern fits itself at least to the  
18 concept of a lease line cooperative plan where the Premier  
19 tracts can participate in some cooperative fashion without  
20 being included in the big unit?

21 A. From that one issue, yes.

22 MR. KELLAHIN: No further questions, Mr.  
23 Examiner.

24 EXAMINER STOGNER: Thank you, Mr. Kellahin.

25 Mr. Bruce?

## FURTHER EXAMINATION

BY MR. BRUCE:

Q. Mr. Beuhler, what would Premier do with the produced CO<sub>2</sub>?

A. That's a difficult question. That's why I make the point about it's common for a waterflood. I've never heard about it for a CO<sub>2</sub> flood.

That would appear to be a pretty big problem with water. Of course, everybody disposes of water, just about, but CO<sub>2</sub> flood requires pretty complex and expensive facilities to dispose of, and that would be pretty expensive for a small tract.

MR. BRUCE: Thank you.

## EXAMINATION

BY EXAMINER STOGNER:

Q. Mr. Beuhler, while we're on this topic, this Exhibit 28, essentially 29, the earliest start would be 1999 for CO<sub>2</sub>.

I don't see here any issues where the actual physical ability to inject CO<sub>2</sub> -- Is there a source of CO<sub>2</sub> planned for this area, or is there one in existence, and what would that entail?

A. There is no CO<sub>2</sub> source directly in the area. There would be the possibility of coming down from Maljamar to the north. There's another line from the south. That

1 would, of course, be determined when we looked at this as  
2 we went.

3 But it would still involve the putting of a CO<sub>2</sub>  
4 pipeline into this immediate area.

5 Q. Would this project alone sustain the cost --  
6 substantiate the cost to bring a line of CO<sub>2</sub> from the  
7 closest source, the Maljamar area, according to your  
8 testimony, in this, or would you have to have other CO<sub>2</sub>  
9 projects in the area?

10 A. We've always looked at it on a stand-alone basis.  
11 So yes, it would foot the bill for a CO<sub>2</sub> line designed for  
12 just this project. Of course, it might be larger to  
13 include other projects.

14 Q. Assuming that you had your waterflood, flood  
15 equipment and everything out there at that time, what  
16 additional equipment and how much -- has there been a cost  
17 estimate to drill the additional CO<sub>2</sub> wells?

18 And I guess once you got CO<sub>2</sub> breakthrough you'd  
19 need additional equipment on the producing wells, wouldn't  
20 you?

21 A. Yeah, the number that I testified previously to  
22 that it would require, like I said, more than \$70 million  
23 to install a CO<sub>2</sub> project, that was the sum total of both  
24 the drilling and the facilities required to process the  
25 produced gas. It's pretty expensive as far as capital

1 investments.

2 Q. Now, you assumed the economics, if I remember  
3 right, of a little over \$17 a barrel with a five-percent  
4 increase or something?

5 A. Yes, sir, it starts at \$17.10 and increases at  
6 5.4 percent per year.

7 Q. Does that tie back into the 1999 date?

8 A. The 1999 date is purely looking at the reservoir.

9 Q. And not economics?

10 A. Correct.

11 Q. When you said -- or claimed or testified to Mr.  
12 Kellahin's cross-examination that you had never heard of a  
13 cooperative agreement with CO<sub>2</sub>, are you saying in this  
14 state, or where you're familiar with in the Southwest?

15 A. In my experience, and that's in Texas and New  
16 Mexico.

17 Q. Would those wells actually be strict CO<sub>2</sub>  
18 injection wells, or would they be a water/CO<sub>2</sub> injection  
19 combination?

20 A. Yeah, I actually call them CO<sub>2</sub> phase injectors  
21 for a simplification. They would be what we call a WAG  
22 well, a water-alternating-gas well, if that looks like the  
23 best option.

24 Usually, most CO<sub>2</sub> fluids do alternate the  
25 injected CO<sub>2</sub> with some bank of water in phases.

1 Q. How is that initially kicked off? With CO<sub>2</sub> or  
2 with water, or do you follow through after six months of  
3 water or what?

4 A. Sometimes it's done on a time basis, sometimes  
5 it's done on a volume basis that's determined by the amount  
6 of pore volume you want to flood.

7 Usually you start off with a good slug of CO<sub>2</sub>  
8 maybe larger than your following slugs. Then you switch to  
9 water for conformance reasons and to put produced water  
10 away, then you switch to CO<sub>2</sub> back. But that initial slug  
11 is usually a larger volume of CO<sub>2</sub>.

12 Q. In most of these proposed CO<sub>2</sub> injection wells, I  
13 notice that they're on the periphery. So if this was to  
14 occur, you would have some producing wells that would  
15 probably see some activity or response from the  
16 waterfloods, would you not? Those wells, those internal  
17 wells that -- producing wells.

18 A. Are you talking about the wells that were active  
19 during the waterflood?

20 Q. Yeah.

21 A. They would have already seen waterflood response,  
22 and now you're putting in CO<sub>2</sub>.

23 Q. So you're backing up on the periphery, flooding  
24 CO<sub>2</sub> towards some wells that's already had some secondary  
25 recovery, but also the CO<sub>2</sub> miscibility or the CO<sub>2</sub> flooding



1 is going out to, in some cases, virgin areas?

2 A. There might be some confusion. We would be  
3 putting CO<sub>2</sub> in all injectors within the pattern area. So  
4 those -- If you're looking at Exhibit 28, the wells that  
5 are shown as wells that would be drilled for the water  
6 injection phase, we would also be putting CO<sub>2</sub> in those  
7 wells.

8 So it's a full 40-acre inverted fivespot flood.  
9 I might have confused you there.

10 Q. Okay. So the wells with -- The blue water  
11 injection wells, if the CO<sub>2</sub> injection proceeded, you would  
12 have these wells in place and then start flooding all  
13 injection wells with CO<sub>2</sub>?

14 A. Yes, sir.

15 Q. Quite a substantial volume, is it not?

16 A. Of CO<sub>2</sub>?

17 Q. Yes.

18 A. Oh, yes.

19 Q. Has Exxon had any experience with Delaware CO<sub>2</sub>  
20 injection?

21 A. Not Delaware. The other two Delaware floods that  
22 have been operated in the past are two Freds -- It's been  
23 operated by several people and then Conoco's --

24 Q. What was the first one that you said?

25 A. Two Freds, sorry. It's in Loving County, Texas.

1 Q. Loving County.

2 A. Both these are Texas.

3 Q. Two Freds, like in Fred Flintstone?

4 A. Right, exactly. I think it was operated by HNG  
5 during most of its flood.

6 Q. Do this -- Those ones that you had mentioned in  
7 Loving County, Texas, were they of the same scope? Are  
8 they smaller or larger?

9 A. Areally, they're about the same size. They're  
10 thinner reservoirs, and therefore smaller total recoveries.

11 EXAMINER STOGNER: Any other questions of this  
12 witness? You may be excused.

13 Mr. Bruce, do you have --

14 MR. BRUCE: That concludes my direct  
15 presentation, Mr. Examiner.

16 EXAMINER STOGNER: You don't wish to recall  
17 anybody at this time?

18 MR. BRUCE: Not at this time, no.

19 EXAMINER STOGNER: Mr. Carr, would you like to  
20 present your witness at this time?

21 MR. CARR: Yes, sir. Can we take just about five  
22 minutes to set up?

23 EXAMINER STOGNER: Let's take a five-minute  
24 recess then.

25 (Thereupon, a recess was taken at 3:27 p.m.)

1 (The following proceedings had at 3:45 p.m.)

2 EXAMINER STOGNER: Hearing will come to order.

3 Mr. Carr?

4 MR. CARR: May it please the Examiner, at this  
5 time we would call David Boneau.

6 DAVID F. BONEAU,

7 the witness herein, after having been first duly sworn upon  
8 his oath, was examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. CARR:

11 Q. Would you state your name for the record, please?

12 A. David Francis Boneau.

13 Q. Where do you reside?

14 A. Artesia, New Mexico.

15 Q. By whom are you employed?

16 A. I'm employed by Yates Petroleum Corporation.

17 Q. And what is your current position with Yates  
18 Petroleum Corporation?

19 A. My current position is called manager of non-  
20 operated properties.

21 Q. By training are you a petroleum engineer?

22 A. I have been trained and worked as a petroleum  
23 engineer for many years.

24 Q. Have you previously testified before this  
25 Division?

1 A. Yes, sir.

2 Q. At the time of that prior testimony, were your  
3 credentials as a petroleum engineer accepted and made a  
4 matter of record?

5 A. Yes, they were.

6 Q. Are you familiar with the Exxon-proposed  
7 statutory unit in the Avalon-Delaware Pool?

8 A. Yes, I am.

9 Q. And are you familiar also with the plans to  
10 waterflood and ultimately CO<sub>2</sub> flood this unit?

11 A. Yes, sir.

12 Q. Did you participate for Yates Petroleum  
13 Corporation in the negotiations which resulted in the  
14 proposed unit agreement and the proposed unit?

15 A. Yes, I have negotiated with Exxon and the other  
16 people in this unit.

17 Q. Are you familiar with the proposed unit areas and  
18 the wells located therein?

19 A. Yes, sir.

20 MR. CARR: Are the witness's qualifications  
21 acceptable?

22 EXAMINER STOGNER: Any objections?

23 MR. KELLAHIN: Oh, not to Dr. Boneau.

24 EXAMINER STOGNER: Dr. Boneau is so qualified,  
25 Mr. Carr.

1           Q.    (By Mr. Carr) Dr. Boneau, would you briefly  
2 state what Yates' purpose is in participating in this  
3 hearing?

4           A.    Yates' purpose in participating in this hearing  
5 is to support the Application of Exxon for the unit and the  
6 waterflood and the proposed operations in this area.

7                   And the reason we're here is that we participated  
8 through a lot of the preliminaries that led up to this day,  
9 and we're able to give a story that's not the Applicant and  
10 not the opposing people; it's another observer that was  
11 there the whole time.

12          Q.    Now, Dr. Boneau, have you prepared certain  
13 exhibits for presentation here today?

14          A.    Yes, sir.

15          Q.    Let's go to what has been marked as Yates  
16 Petroleum Corporation Exhibit Number 1. Would you identify  
17 that for Mr. Stogner, please?

18          A.    Exhibit Number 1 is a single piece of paper that  
19 summarizes what our purpose is in being here.

20                   I have three points to make in the presentation,  
21 and those are listed.

22                   The first is that Yates argued with Exxon a lot,  
23 and you'll see that "a lot" covers quite a number of  
24 issues.

25                   The second point is, after more than two years of

1 negotiations, we have come to an agreement with Exxon, and  
2 that is a fair agreement. And as a result of all that  
3 work, Yates is now in a position to support the unit, and  
4 that's why we're here.

5 And the third point I wanted to make is to  
6 essentially remind the Examiner to please go back and look  
7 at NMOCD Case 10,145 that occurred in 1990. I was the  
8 Applicant for Yates Petroleum in a GOR case in the Avalon-  
9 Delaware field, and Premier opposed that and promised some  
10 things that may or may not have been done.

11 Q. All right, Dr. Boneau, let's go to the first  
12 point, Yates arguing or negotiating with Exxon, and I would  
13 ask you to refer to Exhibit Number 2 and explain what  
14 Exhibit Number 2 is designed to show.

15 A. Okay, I've divided our arguing with Exxon,  
16 negotiating with Exxon, into three separate issues.

17 The first of those issues is talked about on  
18 Exhibit Number 2, and that's where we discussed with Exxon  
19 the technical report. And there's a chronological on  
20 Exhibit 2, and you may note off to the right side of  
21 Exhibit 2 there's some notations to Exhibits 2-A, 2-B, et  
22 cetera, and those are letters and correspondence that are  
23 contained in these red books.

24 Q. And the correspondence indicated on this Exhibit  
25 2-A through 2-G is what has been marked as Yates Exhibit

1 Number 6; is that right?

2 A. That's correct.

3 Q. And then the remaining of the correspondence  
4 supporting the next two pages, or the next two exhibits, is  
5 what has been marked Yates Exhibit 7?

6 A. Yes, sir, that's correct.

7 Q. Now, initially negotiations took place concerning  
8 the technical committee report; is that correct?

9 A. Yes, you've heard Exxon describe how the -- their  
10 technical report, a big fat book with a large book of maps,  
11 came into existence, and it's labeled, I think, August,  
12 1992.

13 But in -- As my first point says, in September,  
14 1992, they sent that out to the owners of the tracts in the  
15 proposed unit, and I suddenly had a big fat book on my desk  
16 to read.

17 Q. Had Yates been involved with the development of  
18 the technical committee report prior to that time?

19 A. We knew that -- As Exxon stated, we knew that  
20 they were working on this, and they would send us a map of  
21 the proposed area, and we were inside that area, we knew  
22 that they were working on a technical committee.

23 Frankly, I didn't realize they were going to come  
24 with such a detailed and concise study. But they came with  
25 this big book, and it arrived about September, 1992.

1           Q.    Was it agreeable to Yates for Exxon to go forward  
2   and prepare the technical committee report without the  
3   involvement of Yates Petroleum?

4           A.    Yes, that was agreeable to Yates.

5           Q.    Could you review the negotiations between Yates  
6   and Exxon concerning the technical committee report?

7           A.    Yes, sir, that's my intention.  When that report  
8   arrived, I read it and an engineer that works with me read  
9   it.

10                   There were some things in it that we thought were  
11   -- incorrect, actually, is what we thought, and we figured  
12   that we were the second biggest owner after Exxon.  And we  
13   contacted in November Coquina, who was the third biggest  
14   owner.

15                   To confuse the Examiner, the Coquina interest has  
16   been owned by -- like a rubber ball.  It was Coquina, then  
17   it was ANP, then it was Patrick, and now it's the Unit  
18   Petroleum people that are here.

19                   But they are -- That interest is the third  
20   biggest interest in the unit.

21                   I contacted the Coquina people and told them our  
22   concerns and ended up convincing them that they should be  
23   their concerns too.

24                   Then in item number 3, later in November of 1992,  
25   I wrote a letter to Exxon with our reactions to the



1 technical report. And the two main things we didn't like  
2 are what's listed there. In shorthand, it's listed.

3 My main concern was that Exxon was proposing to  
4 send the owners an \$80 million AFE for a CO<sub>2</sub> flood without  
5 doing a pilot or without regard to whether it worked -- it  
6 failed the first month or not. They were going to go spend  
7 \$80 million without looking back. And as an independent to  
8 which \$80 million is a lot of money, we didn't think that  
9 was the most prudent approach.

10 And the other thing we didn't like about their  
11 report was that they had -- We thought that the reserves  
12 that they had ascribed to four wells were incorrect, and  
13 they were incorrect such that they hurt Yates and  
14 benefitted Exxon.

15 We brought those things and a couple other minor  
16 items to Exxon's attention.

17 Then shortly after that, in December, we got --  
18 we went to Midland to talk with Exxon about the report, and  
19 they explained in detail what they had done, and we tried  
20 to tell them what our concerns were.

21 And as a result of that meeting, on December  
22 22nd, 1992, Exxon sent us revised reserves for -- not four  
23 wells but five wells. They had adjusted the four wells  
24 more or less the way we wanted, but they found one other  
25 one to change that benefitted them, and they stuck that in

1 too, which was really kind of clever.

2 But they did address the issue of the reserves.

3 Q. Were there any other working interest owners at  
4 that meeting?

5 A. My memory is that there were not.

6 Q. Okay. And then what happened?

7 A. The after Christmas, I wrote back to Coquina a  
8 big long letter explaining all the things that had been  
9 done and where we stood with Exxon. And where we stood was  
10 that we still didn't -- I think I used the word -- you  
11 know, Exxon's approach is crazy, is what I think I said in  
12 that letter, regarding the \$80-million AFE.

13 And so eventually in February Exxon proposed --  
14 Well, it makes sense. They didn't want to redo this whole  
15 great big book, and their approach was, can we make a  
16 couple pages of amendments in critical points so that we  
17 can get it right, but not republish this gigantic book?  
18 And so they proposed some changes to the language regarding  
19 the implementation of the CO<sub>2</sub> flood.

20 And then a couple of weeks later in March, we  
21 sent back a counterproposal kind of draft. And by April  
22 15th we had reached a point where there was -- I think  
23 there ended up being four pages of revisions or of  
24 amendments to the agreement that were acceptable to us and  
25 that Exxon would add to the technical report.

1           And that's what was accepted as the final  
2     technical report, that big fat volume, plus these few pages  
3     of amendments.

4           Q.     Basically, what happened was, Yates' working  
5     interest owner expressed concern about the technical  
6     committee report to Exxon, negotiations took place, and  
7     that report was revised; is that fair to say?

8           A.     Yes, that's the short of it.

9           Q.     Let's go to what has been marked as Yates  
10    Petroleum Corporation Exhibit Number 3. Could you identify  
11    this, please?

12          A.     Yes, Exhibit Number 3 is a longer chronological  
13    -- a longer history of our negotiations with Exxon over the  
14    ownership formula, over the -- what you would call the  
15    participation formula, the formula that tells how much of  
16    the unit each tract and each working interest owner owns.

17                 And the discussions over the technical report  
18    were just a preliminary to this. This is when what I  
19    consider the important stuff started.

20          Q.     Does a break of almost a year between the  
21    discussions on the technical committee report, ending in  
22    April of 1993, and discussions concerning the ownership  
23    formula -- Do you know why there was that kind of break in  
24    the chronology?

25          A.     I think I found out later that what happened was

1 that Exxon spent a lot of time after they got the technical  
2 report approved making agreements, and deciding internally  
3 their proposal for the ownership and the operation and the  
4 various details of the agreement, and they must have gone  
5 through a huge procedure to do that.

6 But they came in April of 1994, saying -- with a  
7 notice for a meeting, but saying that Exxon has really  
8 studied this, and Exxon has an excellent and detailed  
9 proposal to present to the working interest owners, and  
10 please come hear about it.

11 I think that it just took them that long to get  
12 the fat agreement and the detailed -- and kind of different  
13 proposal that they came with, to get it together. I think  
14 it just took them a while to get it together.

15 Q. Did you attend the April 26th, 1994, meeting?

16 A. Yes, I attended it. I think all the parties  
17 involved here attended it. I think Premier and of course  
18 Exxon attended it.

19 And at that first working interest owners'  
20 meeting -- Like I said, the purpose was, come and hear what  
21 Exxon has to propose. And it took several hours to hear  
22 what Exxon had to propose.

23 And what they proposed was a two-phase formula  
24 where Phase 1 consisted of the remaining primary and the  
25 waterflood, and Phase 2, if it happened, was the CO<sub>2</sub> flood,

1 and the ownership that they proposed was based on the  
2 present value, based on economic calculations of a dollar  
3 value of the oil to each owner done at a 20-percent  
4 discount.

5           There were -- well, there were -- very detailed,  
6 a long list. But those were the main things. It was  
7 different from the -- what we ended up with in the usual  
8 agreement where you talk about primary reserves, CO<sub>2</sub>  
9 reserves, waterflood reserves.

10           They talked about the dollar value of the primary  
11 reserves, waterflood reserves, CO<sub>2</sub> reserves, via some  
12 economic calculations that they couldn't tell you the  
13 details of because they were proprietary company secrets.  
14 Anyway, it was a different proposal.

15           And we heard it out. And we went home and said,  
16 There's some things about that that's got to be changed.

17           Q. Okay. What was the next thing that occurred?

18           A. Well, the next thing that occurred was kind of a  
19 sidelight that's very important to this hearing.

20           At the end of that April 26th meeting, I believe  
21 it was Mr. Mayhew, but the Exxon representative came up to  
22 me and said, Premier has come and they've got some real  
23 concerns about the picks on the logs and these wells out on  
24 the west side, and we'd like to get the geologists together  
25 to meet. Would Yates be willing to come to a meeting to

1 discuss just the geology of those well logs?

2 And on May 4th they actually sent us an agenda  
3 for the meeting, but I knew about the meeting at the end of  
4 the day on April 26th.

5 I went right home and talked to the geologist who  
6 worked in my group at Yates, and that's a lady named D'Nese  
7 Fly, who doesn't work for Yates anymore, but told her about  
8 this meeting coming up and told her that she needed to  
9 study it for the next two weeks and figure out whether she  
10 agreed with the Exxon or the Premier view of the logs.

11 So the next thing that happened between us was on  
12 May 13th there was a meeting in Midland, and the attendees  
13 were Premier, Yates and Exxon. And the topic was geology.  
14 It was these logs, specifically, the FV3 and the logs in  
15 that area.

16 And the other people can -- Well, Premier  
17 presented how they viewed the logs, and Exxon presented how  
18 they viewed the logs.

19 And D'Nese had spent these two weeks looking at  
20 the logs and the associated geology. And towards the end  
21 of the meeting, the people asked me, What is Yates'  
22 position on this?

23 And I said, Yates' position on this is whatever  
24 this lady geologist tells you that Yates' position is. And  
25 she said her two weeks of study --

1 MR. KELLAHIN: I'm going to object to Dr. Boneau  
2 testifying about what D'Nese Fly has concluded about the  
3 geology. It's an out-of-court statement offered to prove  
4 the matter asserted. Ms. Fly needs to be present to be  
5 cross-examined.

6 It's inappropriate for Dr. Boneau to put a  
7 geologic position on his company through an absent witness.

8 EXAMINER STOGNER: Mr. Carr?

9 MR. CARR: I think I can handle this without  
10 asking Dr. Boneau to testify about what D'Nese Fly stated,  
11 if I can ask him several questions.

12 EXAMINER STOGNER: I think that would be  
13 appropriate.

14 Q. (By Mr. Carr) Dr. Boneau, you attended the  
15 meeting on May 13, 1994, with representatives of Exxon and  
16 Premier, did you not?

17 A. Yes.

18 Q. And attached in Exhibit 7 are the notes of that  
19 meeting; is that correct?

20 A. Yes, there are notes of that meeting.

21 Q. And they are included in Exhibit 7 as Exhibit  
22 3-D; is that correct?

23 A. Yes, sir.

24 Q. And also there are comment letters as a result of  
25 that meeting that are included in Exhibit Number 7 as

1 Exhibit 3-F -- or --

2 A. No, you're misreading.

3 Q. 3-D and 3-E are the documents; is that correct?

4 A. No, 3-E is not related to that meeting.

5 Q. All right. So only 3-D are the notes --

6 A. Only 3-D is related to that meeting.

7 Q. And what are those, without going into the  
8 details? 3-D is what?

9 A. 3-D is an agenda of the meeting, some notes from  
10 Exxon on the meeting, some notes from Premier on the  
11 meeting.

12 Q. And are these notes from the business records of  
13 Yates Petroleum Corporation?

14 A. Yes, sir.

15 Q. And is it the normal course of Yates Petroleum  
16 Corporation to keep notes of this nature?

17 A. Yes, sir.

18 MR. CARR: I would move the admission at this  
19 point in time, Mr. Stogner, of Exhibit 3-D. It's the  
20 business records of Yates Petroleum Corporation, and it is  
21 an exception to the hearsay rule, Rule 807, and they may be  
22 admitted as such.

23 EXAMINER STOGNER: Mr. Kellahin?

24 MR. KELLAHIN: One moment. May I ask Mr. Carr  
25 where he is in this?



1 MR. CARR: Yeah, it's Exhibit 7, Tom.

2 Q. (By Mr. Carr) Dr. Boneau, can you turn to -- can  
3 you take out the book which is Exhibit 7, please, and can  
4 you --

5 A. Pull the tab that says 3-D.

6 Q. And can you identify for us what you have  
7 described as the notes from the UCC meeting, this Upper  
8 Cherry Canyon meeting? Can you identify those, please?

9 A. The first page of 3-D says Proposed Avalon-  
10 Delaware Unit Technical Report Discussions.

11 Q. And the material behind this tab, these are the  
12 records of Yates Petroleum Corporation?

13 A. Yes, they are the records of Yates Petroleum  
14 Corporation. They came from handouts at that meeting.

15 Q. And these were prepared on or about the time of  
16 that meeting?

17 A. The pieces of paper that are there were prepared  
18 by Exxon or Premier for that meeting.

19 Q. And are these documents that are kept by Yates as  
20 part of its business records?

21 A. Yes, sir.

22 Q. And is it -- In the ordinary course of Yates'  
23 business are records of this nature kept in its files?

24 A. Yes, sir.

25 MR. CARR: I move the admission of the documents

1 behind 3-D.

2 MR. KELLAHIN: No objection.

3 EXAMINER STOGNER: So admitted.

4 MR. CARR: And those documents, Mr. Stogner, we  
5 submit, speak for themselves, and we will move on in the  
6 presentation.

7 EXAMINER STOGNER: Thank you.

8 Q. (By Mr. Carr) Dr. Boneau, I'd like to go to what  
9 is item number 5 on Yates Petroleum Corporation Exhibit  
10 Number 3.

11 A. Yeah, let's get back to the main story.

12 Q. All right.

13 A. The main story was, we didn't like their  
14 ownership formula.

15 Q. All right. What happened at that -- Following  
16 the UCC meeting, what happened?

17 A. At the original working interest owners' meeting,  
18 we heard Exxon's presentation, and the idea was, people  
19 would go back and react to that, and then the working  
20 interest owners would reassemble and talk about the  
21 reactions to the Exxon proposal.

22 That meeting -- Well, the first meeting generated  
23 some comment letters from Premier, Yates, Hudson, Whiting,  
24 ANP, various people, about things they didn't like about  
25 the Exxon proposal.

1           And the working interest owners reassembled on  
2   June 17th, 1994, item number 6, and most of that meeting  
3   was spent discussing Yates' list of reactions, of things we  
4   didn't like about the Exxon proposal. And I've listed the  
5   main things there.

6           We didn't like the ownership formula, we didn't  
7   like what Exxon proposed for the voting percentage that was  
8   required to approve an AFE, nobody liked their overhead  
9   rates of \$725 a month. Things like that.

10          Yates -- I was there with a couple other Yates  
11   people, but I did most of the talking, and we discussed why  
12   we didn't think the ownership formula was fair. The  
13   ownership formula proposed by Exxon gave Yates 9.8 percent  
14   of the unit in this Exxon Phase 1, which was the primary in  
15   the waterflood. It gave Yates about 11.5 percent of the  
16   unit in the CO<sub>2</sub> phase.

17          The numbers from the technical report are that  
18   Yates has a little less than 8 percent of the primary  
19   reserves, Yates has 14 percent of the waterflood reserves,  
20   Yates has 12 percent of the CO<sub>2</sub> reserves, and we didn't  
21   think that 8 and 14 and 12 added up to 9.8. From our  
22   position, those are the numbers.

23          The other people there felt similar. I tried to  
24   lay out why we thought the Exxon formula was giving too  
25   much to Exxon and not enough to the other people, and I did

1 that.

2 The result of that meeting -- and I -- And at  
3 that meeting, I told Exxon that Yates preferred a one-phase  
4 formula, if possible.

5 And the result of that meeting was that Exxon  
6 stuck me with the job of coming up with a suitable one-  
7 phase formula, and I went home and actually tried to do  
8 that.

9 And item number 8 is a draft of an internal Yates  
10 memo discussing what turned out to be Yates' proposal A.

11 Q. And what did you do with that proposal?

12 A. I talked about it with Peyton Yates several  
13 times, but it's not a one-phase formula. The more I looked  
14 at it, the more I decided that the logical division was to  
15 break it into a primary phase where Yates and the other  
16 people had a relatively small interest, and Exxon has 80  
17 percent of the remaining primary reserves, and separate  
18 that from everything that would come after it, from the  
19 waterflood and CO<sub>2</sub>.

20 And so the proposals that I came up with were  
21 really two-phase, or where the first phase was a very short  
22 phase representing the remaining primary, and Phase 2 was  
23 starting with the waterflood on. And the idea was, Yates  
24 would accept a small interest in Phase 1 in the near-term  
25 operation, because we had a small part of the remaining

1 primary reserves, but we should have a -- around 12 percent  
2 or so of the waterflood and CO<sub>2</sub>, because that's what the  
3 report said we had of the reserves.

4 So item number 8 is an internal Yates memo, and a  
5 -- I think there's actually two of them there.

6 And then on September 6th of 1994 I sent to Exxon  
7 what I'm calling Yates' Proposal A that was approved by the  
8 Yates management, and it does the kind of things that I'm  
9 talking about.

10 Phase 1 is only the primary. We proposed that  
11 the Phase 2 owners pay all the capital costs, right from  
12 the start, and that meant that at the start of the flood  
13 Yates would be paying 12 percent of the cost and getting 7  
14 or 8 percent of the income, but we thought that was fair.

15 Those are the two main things in the proposal  
16 that we sent out.

17 Q. And what sort of a response did you receive from  
18 Exxon?

19 A. Exxon did not make a counterproposal. They  
20 responded and said, Your proposal causes other problems.  
21 They responded with what I would call questions.

22 And one of the main things they responded with  
23 was that charging the capital costs the way I wanted to do,  
24 which benefitted Exxon, hurt Premier. Okay, I guess I  
25 should say the original Exxon proposal, you know, way back

1 in April, gave Premier zero, until the end of the  
2 waterflood.

3 My proposal included CO<sub>2</sub> reserves in both Phase 1  
4 and Phase 2 and therefore gave Premier some interest right  
5 from the start.

6 But what Exxon pointed out was that Premier would  
7 be paying four times more for capital in the early part  
8 than they were getting in the income. And Yates was  
9 willing to accept an 8-to-12 ratio but Exxon wondered  
10 whether Premier would be willing to accept a 1-to-4 ratio.

11 Anyway, we talked about problems with -- Well, I  
12 hate to say "problems with our proposal", but they were  
13 problems with our proposal.

14 Q. All right. And that takes us to --

15 A. That takes us to 10 and 11.

16 Q. All right.

17 A. And then as a result of those meetings, I got  
18 Yates' management to approve a couple other proposals that  
19 were kind of similar in that they were two-phase, but we  
20 addressed the problem of Premier paying more than they were  
21 getting by creating what I call a special Phase 2 owners,  
22 where the idea was that Exxon and Yates would lend these  
23 excess capital costs to people like Premier at zero  
24 interest, so that they could not have huge bills at the  
25 start, but we could still give Exxon the benefit of us

1 paying for the cost of the waterflood that was really going  
2 to benefit us.

3 And these new proposals included detailed things  
4 on overhead where we didn't mind paying high overhead  
5 during the CO<sub>2</sub> flood, but during the waterflood we thought  
6 the overhead should be lower.

7 We gave them a comprehensive proposal there in  
8 December.

9 Q. And what was their response?

10 A. Between Christmas and New Year's, they called me  
11 with a counterproposal, and this was the first time that  
12 Exxon had actually made a counterproposal, and I was  
13 hallelujah'ing about that.

14 And I wrote up internal -- the differences  
15 between where Yates was and where Exxon was, and we were  
16 getting pretty close. In fact, over a series of -- We're  
17 now down to item 14 or so. Over a series of phone calls  
18 during that time, Mr. Mayhew and myself, talking with  
19 Yates' management, came to the point where we had a two-  
20 phase formula that we were willing to accept.

21 And when Mr. Mayhew took that to his management  
22 and went through it, at least the report I got from him was  
23 -- He called me up and said, You won't believe what  
24 happened; my manager wants us to go to a one-phase formula  
25 that does this and this and these other things.

1           And I said, I can make a one-phase formula that  
2     does that. And in item 15 I sent him a one-phase formula  
3     which has the shorthand that's listed there. It was 23  
4     percent primary reserves, 47 percent waterflood reserves  
5     and 37 percent CO<sub>2</sub> reserves.

6           And the response I got back from Exxon was a  
7     letter that recommended the 25-50-25 that we -- that  
8     appears in the final agreement.

9           Q.    So is it fair to say that as to the ownership  
10    formula that is in the unit documents, that over a nine-  
11    month period of time Yates and Exxon were in active  
12    negotiation, trying to develop a formula that would be  
13    acceptable to the working interest owners in this unit?

14          A.    Yes, that's fair to say. And it's fair -- I  
15    think it's fair to say that the final result is fair. We  
16    think it's fair. Our interest went from 9.8 percent to 12  
17    percent. Premier's interest went from zero to one percent.

18               And yes, it accomplished, in terms of ownership,  
19    the goals that got us to the items that I laid out in June  
20    of 1994 at that second working interest owners' meeting.  
21    And six months later, we had an agreement that accomplished  
22    the major goals that I thought that Yates should have, and  
23    the other people that were in more or less the same  
24    position as Yates.

25          Q.    Now, Dr. Boneau, let's go to what has been marked



1 as Yates Petroleum Corporation Exhibit Number 4. Could you  
2 briefly review this exhibit?

3 A. Hopefully this one can be briefer.

4 Exhibit Number 4 is a similar kind of chronology  
5 for the third set of negotiations with Exxon. I thought  
6 after we had the ownership formula fixed that we were in  
7 good shape, and I was wrong.

8 The last item on Exhibit 3 was January 19th,  
9 1995. And on January 31st, 1995, I received written from  
10 Exxon a letter laying out the proposed changes to the  
11 original Exxon proposal that Yates and Exxon had agreed  
12 upon, and it had the formula like we had agreed, et cetera.

13 But it had a procedure for voting on AFEs that  
14 shocked me, basically, that -- and my reaction was, as I  
15 wrote, the voting procedure stinks. And what Exxon had  
16 proposed was that they own about 73 percent, 73-and-a-  
17 fraction percent, and they wanted anything to be approved  
18 by less than 76 percent, so they needed only like 2.5  
19 percent additional people to approve anything.

20 And Yates' concern was that this was a really  
21 expensive project, and we thought that big expenditures  
22 should be subject to kind of a supermajority vote, that the  
23 minority -- we didn't mind having little say on workovers  
24 and the more or less normal operations. But when you're  
25 going to go out and spend \$14 million or \$40 million or \$80

1 million, we thought that there needed to be a voting  
2 procedure that let the minority people have more of a say  
3 than Exxon was proposing.

4 Q. Okay, and what happened?

5 A. We paid a lot of fax bills, I think.

6 Q. And what was the result of that?

7 A. Exxon -- Yeah. We sent Exxon proposals, and they  
8 sent proposals back to us. And we got a committee of five  
9 Yates people together, and we had a -- five different  
10 things to send them every day, that they found confusing.

11 Finally, about February 22nd, there's a memo that  
12 -- where Exxon says, I'm at my limit on this. And my  
13 return says, this is as far as Peyton will go. And we were  
14 still, you know, more than a millimeter apart.

15 And Mr. Mayhew, I think, took those two things to  
16 his manager and worked them out and sent us back a letter  
17 saying that in a spirit of cooperation, we'll compromise in  
18 these areas.

19 And we ended up with a voting procedure where the  
20 big expenditures require 85-percent approval and the  
21 smaller expenditures require the approval that Exxon  
22 proposed.

23 Q. Now, Dr. Boneau, the second matter on Exhibit 1  
24 is a statement that a fair agreement was reached, and Yates  
25 supports the unit as proposed by Exxon. Can you explain

1 that, please? Upon what do you base that statement?

2 A. I have two ideas involved in calling it fair.

3 I very much believe that the whole reservoir  
4 should be included in the unit, so that you don't have  
5 problems down the road and so that you can really operate  
6 on the whole reservoir. And so I was -- I did not like at  
7 all that the original Exxon proposal -- it gave nothing to  
8 these ring people until you got to the CO<sub>2</sub>. And so all my  
9 proposals involved bringing Premier and these -- what I  
10 called the people in the ring into the unit.

11 And the final proposal, the final agreement, had  
12 those people in from the start, they had Premier at one  
13 percent.

14 My other idea of fair was that the ownership that  
15 we got when it was commensurate with our portion of the  
16 primary waterflood and CO<sub>2</sub> reserves -- which were 8, 14 and  
17 12 percent, and like I said, I didn't think 9.8 was a fair  
18 average of those but that 12 was a fair average of those,  
19 and we got to an agreement where Yates got 12 percent of  
20 the unit, based on having 8, 14 and 12 percent of the  
21 component reserves.

22 Q. Is it your testimony that the formula in the unit  
23 documents is fair to Yates?

24 A. It's my testimony that the agreement is fair to  
25 Yates.

1           Maybe the Examiner -- Maybe I didn't make it  
2 clear. There's a real clear division of ownership in this  
3 where some wells are owned 100 percent by Exxon and the  
4 other wells for the most part are owned by a group of  
5 people that includes Yates and Coquina.

6           And so there were a group of people that were in  
7 the same boat as Yates. And if the agreement could be made  
8 more fair for Yates, it was automatically made more fair  
9 for a long list of those owners, those non-Exxon owners.

10          Q. In your opinion, is the agreement fair to that  
11 non-Exxon owner list?

12          A. Yes, it's my opinion that it's fair to that non-  
13 Exxon owner list and that it's fair to the ring people.  
14 And Exxon is big enough to take care of itself, and so I  
15 think it's fair to Exxon.

16          Q. Is it fair to Premier?

17          A. Yes, they're one of those ring people. They're  
18 probably the biggest of the ring people.

19          Q. Now, Dr. Boneau, the third item on Exhibit Number  
20 1 states that Premier promised Delaware development by  
21 1991. Can you explain what you mean by that statement?

22          A. Yes, I'll attempt to do that, briefly, hopefully.

23                 In November of 1990, I appeared before -- Jim  
24 Morrow, actually, was the hearing examiner, in Case 10,145,  
25 seeking to increase the GOR. You heard testimony today

1 about how the GOR has risen to about 3000. The GOR in the  
2 normal statewide rules is 2000, and there was a need to  
3 increase it, and Yates had pretty solid engineering data to  
4 support that.

5           Anyway, Premier opposed that application. And  
6 Larry Jones, who has since died, was the person who  
7 testified. And his testimony -- part of his testimony  
8 essentially said, I've had this lease since July of 1990,  
9 it's now only a few months later, you're doing something  
10 that's going to affect me, and I haven't had time, really,  
11 to develop my lease and I'm going to develop it within the  
12 next year. And he made that statement a couple times.

13           I think it hasn't happened, but -- And we haven't  
14 heard from Premier yet, but they talked about developing  
15 this lease in 1990, and they're going to talk about it, I  
16 guess, again tomorrow. And you just need to remember the  
17 transcript from Case 10,145.

18           Q. Now, Dr. Boneau, you were present this morning  
19 when there were discussions with the land witness for Exxon  
20 concerning minutes of the June 17 working interest owner  
21 meeting, were you not?

22           A. I was here, yes, sir.

23           Q. And you were present when there was a discussion  
24 about actions taken at that meeting concerning whether or  
25 not the interests of Premier could or should be excluded

1 from the unit area. Do you recall that conversation?

2 A. Yes, sir, I recall that.

3 Q. What has been Yates' position on the inclusion of  
4 the Premier acreage in this unit?

5 A. Yates' position has always been that the entire  
6 reservoir needed to be unitized, and all the -- like I say,  
7 all the formulas I proposed included -- including that  
8 entire reservoir, Premier and everybody in the reservoir.

9 At that meeting on June 17th, there were  
10 discussions about the Premier acreage, and people agreed  
11 that it would solve the problem, that you could go ahead by  
12 omitting the Premier acreage.

13 But I was -- I agreed that that was a possible  
14 solution, but it was always a position that I was opposed  
15 to. I take exception to saying that I agreed to taking  
16 them out. I never agreed to take -- Yates never agreed to  
17 taking them out.

18 Q. Is it your recollection that this acreage was  
19 ever voted out of the proposed unit area?

20 A. No, it was never voted out of the proposed unit  
21 area, and I went home from that meeting and immediately  
22 started preparing formulas that included Premier in the  
23 unit.

24 Q. If that acreage is excluded from the unit area,  
25 what will the impact ultimately be on the unit operations?

1           A.    If that acreage is excluded, we're back to square  
2 one, or we're not even up to square one.  If that acreage  
3 is excluded, obviously, we lose the reserves that exist  
4 between the westernmost Yates wells and the Premier  
5 acreage.  There's no way to get those without an injector  
6 over there.

7                   Worse than that, we've got to renegotiate who  
8 owns the shrunken unit, and Yates will be credited -- or  
9 Yates and its partners will be credited with fewer CO<sub>2</sub>  
10 reserves, and Exxon's going to want us to lower our  
11 interest in the unit, and we're not going to want to lower  
12 our interest in the unit, and we're going to be back  
13 fighting again.

14                   The reason that concerns me, I think that this is  
15 really a very important unit to get started in southeast  
16 New Mexico, for a couple of reasons.

17                   It's the first unit, including Brushy Canyon and  
18 Cherry Canyon, to be put together for waterflood, and there  
19 are a bunch of other Delaware fields out there in Sand  
20 Dunes and Livingston Ridge, et cetera, that are looking to  
21 this flood to be a prototype and a leadership role in  
22 developing those other Delaware reserves.

23                   I'm real happy to have Exxon involved in this  
24 first flood.  Exxon has fantastic technology, and if we're  
25 going to get a successful CO<sub>2</sub> flood Exxon are the people to

1 bring the technology so that it works.

2 Exxon are the people to bring a CO<sub>2</sub> pipeline down  
3 there. If we can get that, there will be other fields that  
4 are developed.

5 There is just so much potential riding on this  
6 flood, and we'd be back to square zero. I really don't  
7 want this unit to fall apart.

8 Q. Comments have been made today during testimony or  
9 questions asked in which it's been suggested that the  
10 Premier tracts are of no value to the unit. Do you concur  
11 in that?

12 A. No, I disagree with that idea entirely, and all  
13 the proposals that I've made for formulas gave value to  
14 Premier, to the Premier wells.

15 The Premier wells are valuable because they serve  
16 as host of CO<sub>2</sub> reserves and as site of injection wells, to  
17 push those CO<sub>2</sub> reserves to producing wells, some of which  
18 are on acreage operated by Yates.

19 Q. If this acreage is not included, will the  
20 ultimate recovery from this unit be affected?

21 A. Yes, very much so, because there's about four or  
22 five million barrels of reserves on those westernmost  
23 tracts operated by Yates, and you're going to lose, you  
24 know, two million or more of those barrels for sure.

25 Q. And will those be wasted?



1           A.    They will not be recovered, and they could have  
2    been otherwise.  That's called waste, yes, sir.

3           Q.    Do you have anything further to add to your  
4    testimony?

5           A.    No, sir.

6           Q.    Were Exhibits 1 through 7 prepared by you?

7           A.    Yes, they were prepared by me.

8           Q.    Or compiled under your direction?

9           A.    They were prepared by me.  A lot of them  
10   consisted of gathering up papers that other people have  
11   sent me or I've sent other people.  Yes, they were prepared  
12   by me.

13          Q.    And the papers that you've gathered together and  
14   have included in Exhibits 6 and 7, are those from the  
15   business records of Yates Petroleum Corporation?

16          A.    Yes, sir, they are.

17          MR. CARR:  At this time, Mr. Examiner, I move  
18   into evidence Yates Exhibits 1 through 7.

19          EXAMINER STOGNER:  Are there any objections?

20          MR. KELLAHIN:  No objection.

21          EXAMINER STOGNER:  Exhibits 1 through 7 will be  
22   admitted into evidence.

23          MR. CARR:  And that concludes my direct  
24   examination of Dr. Boneau.

25          EXAMINER STOGNER:  Thank you, Mr. Carr.

1 Mr. Bruce, your witness.

2 EXAMINATION

3 BY MR. BRUCE:

4 Q. Just one question, Dr. Boneau. The May 13th,  
5 1994, meeting, at the conclusion of that meeting did the  
6 Yates geologists agree with Exxon's geologists?

7 A. Yes.

8 MR. BRUCE: Thank you.

9 EXAMINER STOGNER: Mr. Bruce.

10 Mr. Kellahin, your witness.

11 CROSS-EXAMINATION

12 BY MR. KELLAHIN:

13 Q. Dr. Boneau, I need you to refresh my recollection  
14 of some of the chronology early on in the unit process.

15 Exhibit 7 from Exxon shows some entries back in  
16 1991. The very first entry is a May 29th, 1991, entry  
17 where it says the working interest owners, apparently at  
18 Exxon's request, had a preliminary meeting. Were you  
19 involved in this process for Yates back that far?

20 A. My memory is yes.

21 Q. And so you would have been Yates' representative  
22 back in May of 1991?

23 A. I attended that -- My memory is, I attended that  
24 meeting and one or two other Yates people attended that  
25 meeting.

1 Q. Do you recall if Premier was at that meeting?

2 A. I do not recall.

3 Q. Was that the meeting in which the working  
4 interest owners that were present decided that they would  
5 accept Exxon's offer to use Exxon's technical personnel to  
6 prepare or begin preparing a technical report?

7 A. My memory is yes, but I haven't looked at that  
8 letter recently.

9 Q. I was trying to fit in where you had said earlier  
10 that Yates had agreed to let Exxon's technical people  
11 prepare the report.

12 Is this the May of 1991 meeting that we're  
13 talking about?

14 A. I think so. The chronologies I did prepare were  
15 too lengthy anyway, and I tried to omit that early stuff.  
16 But yes, my memory is in agreement with your statements.

17 Q. Was there a technical report generated by Exxon's  
18 personnel that predates this August, 1992, book that we're  
19 looking at today?

20 A. Not as far as I know.

21 Q. Okay. Then the next meeting that's shown on the  
22 Exxon chronology is this November 20th of 1991. There's a  
23 second preliminary meeting on a technical discussion and  
24 project plan. Were you at that meeting?

25 A. I think so.

1 Q. Do you know whether or not there was any  
2 technical report presented at that meeting back in 1991?

3 A. I know there was no technical report in the sense  
4 of a bound or unbound group of papers. There was some --  
5 what shall we call it? -- Exxon handouts.

6 But no, it was not what you would call a report;  
7 it was some preliminary papers about production, and here's  
8 an area that looks like it has a common reservoir.

9 Q. Do you know if Premier was involved in that  
10 meeting back in November of 1991?

11 A. I'm sorry, I don't remember.

12 Q. At what point in this chronology did you examine  
13 the reserves attributed to the Yates tracts and request  
14 that there be adjustments made in those reserve  
15 calculations? I believe you mentioned four tracts?

16 A. Four wells, yes, sir. There were no -- My memory  
17 is, there were no hard numbers until the technical report  
18 dated August, 1992, came into existence.

19 Q. All right. And so it is that report, then --

20 A. It is that report that has reserves in it, well  
21 by well reserves, and we disagreed with the primary  
22 reserves assigned to four wells, two Yates wells that we  
23 thought they had given too few reserves to, and two Exxon  
24 wells that we thought they had given too large reserves to.

25 Q. Do you recall how Exxon had calculated or

1 formulated their conclusion about their reserve calculation  
2 for those wells?

3 A. We got the report with the associated verbiage,  
4 and we did reserves independently, and we got different  
5 numbers.

6 We told Exxon that we had -- we had different  
7 numbers, and the numbers we had made sense in our head, and  
8 their numbers didn't make sense, and we went and -- we told  
9 them that we didn't agree.

10 We went to this meeting, and they explained how  
11 they had done it in detail at that meeting. It involved  
12 GOR limits and rate-versus-cum curves. It involved them  
13 setting up a procedure, a rather elaborate procedure, and  
14 what I would call slavishly applying it to every single  
15 well, and it turned out that we thought that the GOR limits  
16 that they had assumed were unreasonable for these few  
17 wells, and -- you know, as a result of this meeting we saw  
18 a reason why they had a different number than we had. And  
19 at least in a couple of the cases, I thought we convinced  
20 them that -- go look at the production of this well, and  
21 your number is unreasonable.

22 Q. Are those amendments reflected now in the  
23 documents that we received today, whereby --

24 A. Those amendments -- There are three or four pages  
25 of amendments to the -- what I'm calling the technical

1 agreement, and at least one of those pages is a relisting  
2 of the reserves, well by well, and it has different numbers  
3 than the original report for at least five wells, four of  
4 those being the ones that Yates brought up.

5 Q. All right. If I showed you a copy of Map 1,  
6 which is simply the index map, would you be able to  
7 identify the four Yates wells or tracts for which there was  
8 reserve adjustments?

9 A. I don't think so.

10 Q. You wouldn't be able to do that? Is there any  
11 way to document which tracts were adjusted in terms of  
12 reserve? Perhaps we could do that at the break if  
13 there's --

14 A. Yeah, the only way to document it is to look at  
15 the technical report and look at the amendments and see  
16 where those numbers differ.

17 Q. All right. Let me show you the -- Map 1. Map 1  
18 is out of the Exxon book, so you have that reference. And  
19 I want to show you Exxon's Exhibit G-19, which is out of  
20 the bigger report, and it's the summary of potential  
21 reserves, including the workover and the waterflood. Let  
22 me hand that to you so that you have that in front of you.

23 All right, sir, here's the base map, and here's  
24 the spreadsheet.

25 A. Here's the way to answer your question. My

1 Exhibit 2-G is the letter of revisions -- It's the last  
2 part of Exhibit 6.

3 Q. All right, sir.

4 A. And at the bottom of that page it says something  
5 about reserves have been adjusted for five wells and lists  
6 them there, I believe.

7 Q. All right, I've got it.

8 A. Is that a way to answer your question?

9 Q. Yes, sir, I hope so.

10 When you look at the map and look at the Yates  
11 tracts that are in the -- Let's see if I get my sections  
12 right. In the northwest quarter of Section 30 there exist  
13 four tracts. Each of them has a number code.

14 And if you go down on the Exhibit G-19, you're  
15 going to find that code repeated, and you can read across.  
16 For example, if you look at what is identified as the EP7  
17 well, it's within Tract 1111, and if you look on G-19 and  
18 find 1111, read across, it shows a workover potential for  
19 that well that gains it an additional 266,000 barrels of  
20 oil, attributed to workover. Do you see that?

21 A. Yes, sir.

22 Q. Has Yates independently evaluated the workover  
23 potential for their wells within this particular quarter  
24 section?

25 A. Yates -- How to say this. Yates thinks that the

1 workover reserves estimated by Exxon are probably high,  
2 statement number one.

3 Statement number two, Exxon -- no, Yates, I work  
4 for Yates. Yates has recompleted a well -- I think it is  
5 EP7 -- and the result of that work is a well that is not  
6 going to make 266.6 thousand barrels of oil.

7 Q. That EP7 has been a producing well. Do you know  
8 what it's cum'd?

9 A. It has been a producing well. It has been a  
10 producing well in the Bone Springs Pool for a long time,  
11 and it was recompleted to the Delaware within the last 18  
12 months or so. We could look on the Exxon exhibit and see,  
13 but it has cum'd --

14 Q. If you look at their Exhibit 22, they attribute  
15 approximately 2000 barrels of oil, it appears, if I've read  
16 this display correctly.

17 Do you have that display?

18 A. My recollection is, it had cum'd under 10,000  
19 barrels, but it has cum'd -- It is far short of being on  
20 its way to 266,000 barrels.

21 Q. Okay. Do you know how they got these  
22 calculations for the workover potentials on your wells?

23 A. They explained it to me one time, but for you to  
24 expect me to explain their method to you now, it's not  
25 going to happen right, so --



1 Q. Have you independently verified the workover  
2 potential of your wells, or simply accepted what they gave  
3 you as a number?

4 A. Well, you can look back through these letters.

5 This is from my memory, but if you look at my  
6 letter of November 25th, 1992, that talks about their  
7 technical report, it says Yates is concerned that the  
8 workover reserves are too high, but since they benefit  
9 Yates by being too high we don't care if you change them or  
10 not.

11 Q. Okay, and so they weren't changed.

12 A. And they weren't changed.

13 Q. Look down for me on the tract that's 1311 now,  
14 which is the south offset to 1111. The workover potential  
15 in the Upper Cherry is another 213,000 barrels of oil. Do  
16 you see that?

17 A. Are you talking about 1311?

18 Q. Yes, sir.

19 A. Okay.

20 Q. They're going to give you another 213,000?

21 A. I see -- I see those numbers, yes.

22 Q. Okay, and when you read down and look at the next  
23 one, 1313, which is in the southeast of the northwest of  
24 30, they're going to give you another 141,000?

25 A. Yeah, and those wells may actually have it, would

1 be my off-the-cuff opinion, but --

2 Q. Those workover values, then, go into the primary  
3 reserve component --

4 A. No.

5 Q. -- for which you receive credit, do they not?

6 A. No, they go into the waterflood component.

7 Q. All right. So tell me how that is factored into  
8 the waterflood component.

9 A. What we have been calling waterflood reserves is  
10 what the technical report -- and by "we" I think I mean the  
11 whole hearing here today.

12 What we have been calling waterflood reserves are  
13 what the technical report calls waterflood reserves plus  
14 workover reserves.

15 Q. All right. So when I look at the spreadsheet  
16 that's attached to the unit agreement and I find it broken  
17 off into three columns, primary, waterflood and tertiary --

18 A. Yeah, and if you go to G-19, there are four  
19 columns and they match. If you add a workover and  
20 waterflood on G-19, you get waterflood on the one you're  
21 looking at there.

22 Q. That's what I was asking. I wanted to know where  
23 to put the workover reserves. They go into the waterflood  
24 column?

25 A. The workover reserves go into the waterflood

1 column.

2 Q. All right. And so we'll -- We can look at the  
3 tracts and see where the workover reserves were added to  
4 the values of those tracts that had that potential, and  
5 they will appear in the calculation for the waterflood?

6 A. That's correct.

7 Q. All right. When we look down at the Premier  
8 tract, Exxon's concluded there's no workover potential for  
9 that well, and so no workover potential is added to the  
10 waterflood reserves for Tract 6.

11 The sum total of the calculation is -- In fact,  
12 there is no positive benefit for Tract 6 for waterflood?

13 A. You add zero and zero, and you get zero.

14 MR. KELLAHIN: That's all I need. Thank you.

15 EXAMINER STOGNER: Thank you, Mr. Kellahin.

16 Mr. Carr, any redirect?

17 MR. CARR: No, sir.

18 EXAMINER STOGNER: I have nothing of Dr. Boneau  
19 at this time. You may be excused.

20 Mr. Kellahin, let's take a ten-minute recess at  
21 this time, and we'll discuss how we want to proceed with  
22 this.

23 (Thereupon, a recess was taken at 4:49 p.m.)

24 (The following proceedings had at 4:58 p.m.)

25 EXAMINER STOGNER: Your attention, please. Let's

1 convene for today until 8:15 in the morning, which we will  
2 proceed at that time with Mr. Kellahin's direct  
3 presentation.

4 Have a good night, see you at 8:15 in the  
5 morning.

6 (Evening recess taken at 4:58 p.m.)

7 \* \* \*

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22


23

24

25

*what portion of these  
proceedings  
so designated*

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case Nos. 11297/11298  
heard by me on 29 June 1995.

  
Oil Conservation Division, Examiner


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                              )   ss.  
COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript, Volume I, of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 8th, 1995.



STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 1998